

UNITED STATES  
NUCLEAR WASTE TECHNICAL REVIEW BOARD

QUALITY ASSURANCE AND  
STRUCTURAL GEOLOGY AND GEOENGINEERING  
JOINT PANEL MEETING

The Adolphus  
Sam Rayburn Room  
1321 Commerce  
Dallas, Texas

March 26, 1991

BOARD MEMBERS PRESENT

Dr. Don U. Deere - Chairman, Nuclear Waste Technical  
Review Board  
Dr. Clarence R. Allen, Chair, SG&G Panel, Nuclear Waste  
Technical Review Board  
Dr. John E. Carlton, Chair, QA Panel, Nuclear Waste  
Technical Review Board  
Dr. Melvin W. Carter, Member, Nuclear Waste Technical  
Review Board  
  
Dr. Roy E. Williams, Consultant  
Dr. Sherwood C. Chu, Senior Professional Staff  
Mr. Russell K. McFarland, Senior Professional Staff

I N D E X

| <u>SPEAKERS:</u>   | <u>PAGE NO.</u> |
|--|-----------------|
| Opening Remarks, Introduction  |                 |
| Don U. Deere, Chairman, Nuclear Waste<br>Technical Review Board (NWTRB)                    | 3               |
| John E. Cantlon, Chair, Quality Assurance<br>Panel, NWTRB                                  | 6               |
| Clarence R. Allen, Chair, Structural Geology<br>& Geoen지니어ing Panel, NWTRB                 | 8               |
| Quality Assurance  |                 |
| Donald Horton, Acting Director, Office of<br>Quality Assurance, Department of Energy (DOE) | 9               |
| Development of Design Requirements   |                 |
| Dwight Shelor, Acting Associate Director, Office<br>of Systems and Compliance, DOE         | 17              |
| Overview of Design Control for the Exploratory<br>Studies Facility (ESF)                   |                 |
| Ted Petrie, DOE  | 50              |

1 P R O C E E D I N G S

2 8:30 a.m.

3 DR. DON U. DEERE: Good morning. Welcome to the joint  
 4 meeting of the Panel on Structural Geology and Geoengineering  
 5 and the Panel on Quality Assurance. I am Don Deere, Chairman  
 6 of the Nuclear Waste Technical Review Board, and am also a  
 7 member of the Panel of Structural Geology and Geoengineering.  
 8 Dr. Clarence Allen is chairman of that panel. Chairman of  
 9 the Panel on Quality Assurance is Dr. John Cantlon. You will  
 10 be hearing shortly from both of those gentlemen.

11 Why are we all here? I will give two answers as I  
 12 see it. One, as Chairman of the TRB and one as a panel  
 13 member, the first reason deals with the makeup and the mode  
 14 of operation of the Technical Review Board. We operate by  
 15 means of technical panels, each treating a set of related or  
 16 scientific or technical issues. This format allows two or  
 17 three of us to delve deeper into DOE's program, to study and  
 18 to question it and to report our findings twice a year back  
 19 to the DOE through the Secretary and to Congress.

20 The individual panels bring back their findings to  
 21 the Board and the Board then has a chance to consider these,  
 22 they question the panel members, but there is one shortcoming  
 23 in this mode of operation. While this mode of operation does  
 24 allow us to go deeper into some subjects, and allows us to  
 25 make our scheduling a little bit easier, it is much easier to

1 bring together two or three people from our Board than it is  
2 to get a full Board Meeting of the nine people, which  
3 hopefully, shortly will be eleven, the full Board membership.  
4 So there is an efficiency involved, and I think it does  
5 allow us to go into questions considerably deeper than we  
6 would if we were just sitting as a Board.

7           However, there is one major shortcoming, and that  
8 is the board members that are not here, today we happen to  
9 have four board members of the nine that are representing the  
10 two panels, but the other five board members are missing  
11 something in that they are not going to hear or to see the  
12 main players in the game from DOE, from the National Labs,  
13 the U.S. Geological Survey, the State of Nevada and the  
14 Utility Industry when they appear to brief the Board on  
15 particular subjects. Therefore, by bringing two panels  
16 together in a joint meeting where there is some overlapping  
17 interest, we do achieve a greater board member participation,  
18 and I think a better overall understanding of the DOE  
19 program. And as a Chairman, I feel part of my duty is to try  
20 to foster this cross-fertilization.

21           The second reason for this meeting, is for the  
22 Panel on Structural Geology and Geoengineering to find out  
23 how DOE is progressing with the ESF design studies, and  
24 specifically how QA is factored into the present plans and  
25 the futures planes. In December I read a note that an audit

1 of the Yucca Mountain Project had found among the QA  
2 deficiencies one related to design. Well, since many of the  
3 activities at the moment are related to the layout of the ESF  
4 facility, it seemed that this is something that the Board on  
5 Structural Geology and Geoengineering would be interested in  
6 finding out what these deficiencies were. So I immediately  
7 telephoned John Cantlon of the QA, Chairman of the QA Panel  
8 and told him about this, and wouldn't it be a good idea for a  
9 joint meeting. And he felt that this was a topic that we  
10 ought to pursue farther and after additional consultations  
11 with panel chairmen, panel members and staff, why we were  
12 able to arrange this particular meeting.

13           I am sure that the Panel on Structural Geology and  
14 Geoengineering is going to learn a lot today and tomorrow  
15 about QA, and I think this is good. And that the Panel on QA  
16 is going to know a lot more about the ESF facility and the  
17 design studies and how QA will work into that particular  
18 work.

19           I would like to thank very much the DOE and the  
20 related entities that have taken their time to respond to our  
21 request to prepare for the briefings that we are going to  
22 give today.

23           I will ask John Cantlon to say a few words on the  
24 QA Panel's interest and their meeting tomorrow, and then  
25 Clarence Allen to introduce his panel and staff, and then to

1 continue to take over this meeting as Chair of today's  
2 meeting.

3 I also have been asked to remind us all including  
4 panel members to speak into the mike so that we get a good  
5 quality of reproduction.

6 So, John Cantlon, please.

7 DR. JOHN CANTLON: Well, good morning.

8 Let me say just a few words about the Quality  
9 Assurance interests of the Board. I think that obviously the  
10 Board along with the Department of Energy and the Nuclear  
11 Regulatory Agency and the Environmental Protection Agency,  
12 the public at large in the State of Nevada, because of the  
13 nature of a high level waste repository put the quality of  
14 the data that go into those decisions at a quality level, a  
15 demand for quality level that probably exceeds most of what  
16 one does in science and technology today. The level of broad  
17 paranoia is not uniquely an American thing. We visited in  
18 Germany and Sweden and we know that these kinds of concerns  
19 about the nuclear elements of their long life and the nature  
20 of those compounds are such that the public has a great deal  
21 of concern.

22 So we are really as scientists and engineers, as  
23 research managers, agency managers, politicians, whatever are  
24 involved in this, the quality of the data that go into the  
25 decision making is probably at a level that we are really

1 beginning to appreciate as necessary. And I think that what  
2 we are looking at is, how has the Department of Energy in  
3 deploying its Quality Assurance Program, how has it put it  
4 together? We know from our earlier and first meeting on  
5 Quality Assurance and also from talking with the scientific  
6 community and with the regulatory agencies that the initial  
7 deployment of the Quality Assurance program didn't get off to  
8 its most illustrious start. What we want to look at in our  
9 session tomorrow is the progress that is being made in the  
10 reorganization and redesign of the Quality Assurance program  
11 and the nature of the progress.

12           To DOE's credit, they discovered very early on that  
13 there were problems in two directions. One, the Regulatory  
14 Commission found deficiencies in the Quality Assurance  
15 program, but at the other end of the spectrum, the scientific  
16 community also found deficiencies in the constraining nature  
17 of the Quality Assurance program as one gets out into  
18 exploratory research and prototype exploration. So, at the  
19 two ends of the spectrum, the system needed some change, some  
20 adjustment, and those processes are underway and we'll be  
21 listening tomorrow to the progress that is being made in that  
22 direction.

23           Let me introduce now the Panel Members. Dr. Melvin  
24 Carter from Georgia Tech University, he is a specialist in  
25 the area of health and environment, and, Dr. Clarence Allen

1 who is also on the Quality Assurance Panel who is a  
2 specialist in seismology. Staff member, Dr. Sherwood Chu,  
3 who supports us, and we have asked Dr. Roy Williams who is a  
4 consultant to the program who has also been supportive.

5           So, I'll turn the chair over to Clarence Allen for  
6 his session today.

7           DR. CLARENCE ALLEN: Thank you, John.

8           My remarks are very brief, so I think I'll simply  
9 do it from here.

10           Let me welcome you here on behalf of our Panel.  
11 The other member of our Panel who is present is Don Deere  
12 whom you have already met this morning, but I should also  
13 point out that Russ McFarland, Sr. Professional Associate  
14 Staff member is here and we are actually indebted to him for  
15 spearheading the program that we have today.

16           Let me just mention that you'll notice on the  
17 agenda that at 3:15 this afternoon we have a round table  
18 discussion, including most of the people who will have spoken  
19 during the day. And after lunch, at the start of the  
20 afternoon session, I will detail a list of questions that we  
21 hope you people will be considering that we might discuss  
22 during the round table discussion. And we will specify this,  
23 perhaps we can write them out if it is appropriate so that we  
24 can focus the round table discussion on particular issues  
25 that are of interest to the Board, and of the other people



1 present.

2           In terms of today's proceedings also, let me  
3 emphasize what Don said. We do have a court reporter  
4 present. It is absolutely essential that people who speak,  
5 particularly from the audience who have comments, that they  
6 speak in to the mike and also identify themselves so this can  
7 be appropriately logged.

8           So, without further adieu then, I guess, I think  
9 I'll turn the meeting over to Don Horton for the introductory  
10 comments from the DOE.

11          MR. DON HORTON: Good morning, I'm Don Horton. I am  
12 Acting Director of Office of Quality Assurance for the  
13 Department of Energy. What I'd like to do is start out this  
14 morning by providing a quick overview of our presentations  
15 and then I would like to go into an overview of the QA  
16 program for the Department of Energy.

17           We are going to start out, as I said, by me giving  
18 the overview of the Quality Assurance program for ESF design  
19 process, and Dwight Shelor from our headquarters office is  
20 going to describe the development of the design requirements.  
21 Then after that, Ted Petrie from the project office, will  
22 give an overview of the ESF design control and then Ted will  
23 go into the Quality Assurance criteria applicable to the  
24 design process. Then after lunch, Al Stevens from Sandia  
25 will go into the control of the development of design inputs.

1 Subsequent to that, Dr. Bullock from Raytheon will go into  
2 the control of the actual design process from the AE  
3 standpoint. Then of course, this afternoon we will go into  
4 round table discussion questions.

5           What I am going to briefly cover this morning is  
6 the summary of the OCRWM Program, the relation to the  
7 overview of participants QA programs and the QA role in the  
8 design process.

9           Now from the project office standpoint, the QA  
10 organization is made up of verifications group which includes  
11 audits and surveillances not only internal to DOE but also  
12 external organizations such as Raytheon, Sandia and the other  
13 participants in the program. The program control group which  
14 includes the preparation of the procedures, review of the QA  
15 program documents of the participant's and also assistance in  
16 the development of the overall QA program documents for DOE.  
17 And then the site overview group which at the current time  
18 is not staffed subsequent to getting on site and starting a  
19 site exploratory work, we will staff someone on site for that  
20 organization.

21           Our current documents at the project level consists  
22 of the Quality Assurance Requirements Document, the Quality  
23 Assurance Program Description which are for OCRWM and then at  
24 the project we have APs and QMPs which are the implement  
25 procedures to address the requirements of these two

1 documents.

2           The interaction with OCRWM, the QA organization  
3 being one organization now for both headquarters and the  
4 project, we perform overviews of the activities of the  
5 headquarters organization. Specifically we will be  
6 reviewing the preparation of the requirements documents that  
7 Mr. Shelor performs, and by doing audits and surveillances of  
8 his activities.

9           Also, the headquarters in the project office QA  
10 organizations work together in development of the upper tier  
11 QA documents, the QARD and QAPD and also we are working on an  
12 effort on combining many of the procedures so we have one  
13 procedure for the overall program versus separate procedures.

14           In relation to the overview of the participant's QA  
15 programs, first of all we have to review and approve the QA  
16 program documents that are prepared by each of the  
17 participants. These documents are reviewed to the  
18 requirements of our upper tier QA documents. Once we have  
19 reviewed these any comments resolved, we approve these  
20 documents and we formally submit a letter through Dwight  
21 Shelor to NRC for their acceptance of these documents. To  
22 date all of these have been done.

23           Subsequent to review and approval of their QA  
24 documents, we go in and we perform a qualification audit of  
25 each of the participants, and this has been done on all of

1 them. The only one that is currently scheduled is Raytheon  
2 and this may be just a small audit to verify transition of  
3 the implementation of their program since F&S and Holmes and  
4 Narver were combined into Raytheon.

5           After the qualification audit and all the  
6 deficiencies have been resolved they go ahead and implement  
7 their program, and then at various times during the year we  
8 go in and perform surveillances of specific activities that  
9 we feel that are important to the process that they are  
10 performing. In this case, the design process. We go in and  
11 we perform surveillances on critical areas which we feel we  
12 need to assure that the design control process is being  
13 implemented. Then in addition, on an annual basis we go in  
14 and do another qualification audit to maintain their  
15 qualification.

16           In addition to all of the audits, surveillances and  
17 subsequent reviews of the QA programs and any changes, we  
18 also have meetings on a bi-monthly basis of all of the QA  
19 managers from all the participants on the program. In these  
20 meetings, we discuss specific concerns that any of the  
21 managers have, not only in their area, but overall program  
22 area. It is an open discussion. Any problems or  
23 recommendations we have for improving the program are  
24 identified at this meeting and we take action on it. In  
25 addition to that we give specific presentations from each of

1 the organizations to see if there are certain things that are  
2 being done that other participants can benefit from.

3           And as many of you heard in November, we have  
4 several workshops going now which we will discuss further  
5 tomorrow. We have currently the scientific workshop,  
6 Software Quality Assurance. We have scheduled a workshop  
7 starting in April on the trending program, enhancing the  
8 trending program, resolving any concerns there and we are  
9 also contemplating a workshop on data. At our original  
10 meeting in Denver one of the problems identified was the  
11 preparation and submittal of "data". We are trying to define  
12 what the problems are with the scientific personnel, and also  
13 get a firm definition of what "data" is and when it is  
14 required to be submitted.

15           The QA role in the design process consists of, as I  
16 stated earlier, the audits and surveillances of the design  
17 activities. We also participate in the design review  
18 meetings, which are held throughout the process. We have  
19 close interaction with the responsible design organizations.  
20 I have a QA project engineer which is specifically assigned  
21 the responsibility to interface with the design  
22 organizations, attend all the meetings, get back with me on  
23 any problems. The individual reviews the design documents,  
24 procedures, et cetera. And, in addition, they review the  
25 design requirements documents.

1           Through this process and the processes that are  
2 implemented by the design organization's QA groups, DOE feels  
3 we have enough overview of the overall program that we can  
4 feel confident that an adequate design program is being  
5 implemented.

6           Dwight Shelor can now go through the development of  
7 the design requirements.

8           Any questions?

9           DR. ALLEN: Any comments or questions from the Board  
10 members?

11          DR. DEERE: I mentioned a report that was published of a  
12 deficiency in the design process. Would that have come in  
13 your next to the last slide, the audit and surveillance of  
14 activities? Or, was it the first audit that was made? Of  
15 course my reference is rather obscure.

16          MR. HORTON: I have two answers to that. Number one,  
17 yes it would have, but I guess the other one is not an answer  
18 it is a question. I am not really sure what that deficiency  
19 was. I don't recall any being identified in that in  
20 December.

21          DR. DEERE: There were about seven that were listed, and  
22 only one said design. It seemed to me like it was a general  
23 audit and this was published in the Radioactive Exchange. Is  
24 that the name of the magazine?

25          MR. PETRIE: This is Ted Petrie, DOE. The deficiency in

1 design control was related to the design inputs to the actual  
2 design. In that the NRC reviewers are our design review, and  
3 I'm reading the SCP, felt that some of the input information  
4 or requirements with respect to waste isolation had not been  
5 adequately addressed in the design input requirements on the  
6 exploratory studies facility.

7 DR. DEERE: I see. Thank you.

8 MR. HORTON: It was an old finding then. I wasn't aware  
9 of any recent findings in December, that is why I questioned  
10 Dwight if he knew of any finding that was identified in  
11 December.

12 DR. DEERE: It was published in December, but I think  
13 the finding was before that.

14 MR. DWIGHT SHELOR: It was probably last April.

15 DR. DEERE: Oh, I didn't realize it was that far back.

16 MR. HORTON: Any other comments or questions?

17 MR. RUSS MCFARLAND: Yes, one.

18 You make a comment that you pass judgment with  
19 regard to the adequacy of the design process, I think were  
20 your words. Is that adequacy--what is the perspective of the  
21 term adequacy? Is it technical? Is it from QA? What is the  
22 scope of your purview there when you say adequacy?

23 MR. HORTON: It can be both. If it is from the  
24 technical aspects, we take technical personnel along with us  
25 on our surveillances, and we try to determine the technical

1 adequacy of it. Normally the technical adequacy is  
2 determined during the design review process by the technical  
3 organization, and we go with them or behind them and see if  
4 they follow the correct process. Ordinarily QA determines  
5 the adequacy of the QA content of the design, not the  
6 technical portion. If we do get in technical, we have  
7 technical personnel with us.

8 MR. MCFARLAND: But on occasions you do then a technical  
9 evaluation calculations of design processes?

10 MR. HORTON: Normally that is done in the review  
11 process. When we do surveillances and audits, we go in for a  
12 quick review and we don't have time to go into in depth  
13 review of calculations and all that. We verify that the  
14 calculations are there, that they were properly processed in  
15 the design control, but we don't go in and do actual  
16 calculations. Time doesn't allow it.

17 DR. DEERE: John Cantlon.

18 DR. CANTLON: As you have reorganized the QA oversight  
19 process now, you've had a fair amount of interplay and  
20 interaction with NRC. Do you have a pretty good feeling of  
21 confidence that they like the redesign of the DOE QA  
22 oversight process now?

23 MR. HORTON: We feel confident. We will go in during  
24 these next several months, we will be doing several  
25 surveillances on the design process in the NRC and the State



1 of Nevada and the counties will probably be participating  
2 with us. And with that participation I feel that they will  
3 gain the confidence that we can control the design process.

4 DR. CANTLON: Thank you.

5 MR. SHELOR: It is my pleasure to be here this morning.  
6 I am Dwight Shelor. I am the Acting Associate Director for  
7 the Office of Systems and Compliance in the office of  
8 Civilian Radioactive Waste Management.

9 I have several things that I want to touch on  
10 today. Before I start, however, I am going to deviate from  
11 what I've planned to say somewhat in response to Dr. Deere's  
12 introductory remarks and also Dr. Allen.

13 I think we are absolutely correct, this is a first  
14 of a kind endeavor. Nobody has actually designed and built  
15 and licensed and operated a deep geologic repository for high  
16 level waste. And there are elements of this program that do  
17 involve first of a kind scientific investigations. Some very  
18 sophisticated research and analysis particularly in the form  
19 of assessments and design of the waste package and the  
20 engineered barrier. However, our general approach to all of  
21 these is one, recognizing what the objectives are of each of  
22 the scientific investigations and research programs, and  
23 planning and conducting these with some type of a baseline  
24 plan. We can't go into any activity of this type without a  
25 plan. And our plans, we refer to as our baseline. Our

1 activities are controlled and conducted in accordance with  
2 our baseline.

3           The challenge that we face in this endeavor is to  
4 make sure that when we construct the baseline that we have  
5 built in it our planning and analysis of the baseline, the  
6 flexibility to accommodate changes. This is the key part and  
7 it is a key element that we must recognize and have  
8 available. A plan is necessary in order for us to establish  
9 a cost baseline to go to Congress and request appropriations  
10 for a budget to conduct that program. When we see that we  
11 have deviated from that baseline, then we must change the  
12 baseline in accordance with the needs and request additional  
13 funds or reallocate existing funds in order to carry out the  
14 program.

15           Now, I will go into what I originally started out  
16 with.

17           Today, I would like to cover several topics very  
18 briefly starting with what I call the regulatory compliance  
19 approach with the Quality Assurance spin or requirements that  
20 we have. I want to describe again very briefly, the systems  
21 engineering process that we are using. Then I will as part  
22 of the systems engineering process, touch very briefly on the  
23 overall mission statement, the functional analysis approach  
24 that we are using to develop system requirements, and the  
25 development of the ESF technical requirements and how

1 baseline document evolution, how they evolve. And then I  
2 will summarize with the appropriate QA controls that we  
3 utilize in these processes of developing requirements. And  
4 then I want to finish with an explanation with a graphic of  
5 our transition into the new system requirements that we are  
6 currently developing. I want to make it very clear what is  
7 happening now with the existing documents and how the new  
8 documents are developed and then how the program will  
9 transition into use of those.

10           To start with, I want to emphasize that OCRWM is  
11 fully committed to the Quality Assurance program. There is  
12 no--absolutely no doubt, because it is required first of all  
13 by NRC, and secondly is required by the Department of Energy  
14 of which we are an element. We fully support the  
15 implementation and we will describe part of that here today.  
16 And the Quality Assurance is there to assure that adequate  
17 controls for development of requirements and design  
18 activities are in place and documented. This program or the  
19 facility that will accept high level nuclear waste and spent  
20 nuclear fuel, will be licensed by the NRC. It requires fully  
21 documented traceable records, and this is obviously a long-  
22 term program. Most of us here now will not be here when the  
23 facility is operated. The design, the analysis, the review  
24 and the basis for decisions that we make in this program must  
25 be documented for future use. We won't be able to come back

1 and ask us what we meant.

2 DR. DEERE: Before you remove that particular slide, in  
3 the second one down, "assure adequate controls for  
4 development of requirements and design activities", it is  
5 just the development of the requirements that I guess has to  
6 be a predecessor to the design activities?

7 MR. SHELOR: Certainly. I'll emphasize that again when  
8 we get into the design process. It does enhance, obviously,  
9 any design that you come up with to first of all decide what  
10 the requirements are. And in a systems approach, a systems  
11 engineering approach, the very first thing we do is to  
12 develop the requirements. Once we have established the  
13 requirements, then we go to the scientists and engineers and  
14 say okay, now what is the design solution to meet these  
15 requirements?

16 Obviously I've already covered some of them. There  
17 are benefits from doing it this way. One of the obvious  
18 benefits is if we do it correctly and we are successful, we  
19 will obtain a license from the NRC. And it is not as  
20 sufficient, the Quality Assurance is certainly a necessary  
21 condition to obtain the license.

22 In the development of the requirements and the  
23 design, we can be able to show a logical, defensible,  
24 documented process for the characterization and development  
25 of the repository design and operation, by a combination of

1 both the system engineering process with Quality Assurance.  
2 Obviously, by doing this and having the documentation  
3 available which is under continual review by both interested  
4 parties, State of Nevada in this case, other states for other  
5 activities, and the Technical Review Board, we will enhance  
6 our technical credibility, by having this documentation  
7 available.

8           And it is a systematic approach that doesn't  
9 guarantee, but will probably reduce the likelihood of major  
10 redesign and or retrofit at some point in time. It is  
11 obviously, an extra burden, but I think time will demonstrate  
12 that this extra burden and translated to extra cost is a very  
13 economical way to manage the program, because, ultimately by  
14 eliminating many redesigns and retrofits, we will be light  
15 years ahead.

16           A system engineering process is depicted  
17 generically in this graphic, and this is very generic because  
18 there will be slight modifications depending on what the  
19 activity is, but in essence as I indicated earlier, the very  
20 earliest thing to do is to establish the mission need, the  
21 objectives and the requirements. What does the system have  
22 to do and how well does it have to do it?

23           When you have established that as a starting  
24 criteria then you can begin to do a functional analysis which  
25 in a simplified version, is simply taking the overall mission

1 need or the system requirement and breaking that down to  
2 successively lower levels and identifying those functions  
3 that need to be performed to satisfy the mission. Once you  
4 do this then you can establish how well each one of those  
5 subfunctions need to be performed, which are the subsystem  
6 requirements. And then you can begin to make decisions on  
7 the decision architecture. In this case, I recognize that it  
8 is confusing sometimes to call it a system architecture, but  
9 a system architecture is at each succeeding lower level. In  
10 your functional analysis you need to establish what system  
11 configuration if you will, is another word, will satisfy that  
12 requirement.

13           For example, Congress did some systems engineering  
14 for us. They established the system architecture. They made  
15 a decision that the program does not have to make. Congress  
16 specified that this will be a deep geologic disposal. We did  
17 not have to examine alternatives to deep geologic disposal to  
18 make that system architectural decision.

19           Congress also gave us the option of specifying a  
20 monitored retrievable storage. Now we have elected to go  
21 with a monitored retrievable storage. Now at some point we  
22 have to make a system architectural decision on what kind of  
23 storage we will use in the MRS. Will it be wet? A pool?  
24 Or, will it be dry? And what kind of dry storage? There are  
25 many options. So, in some cases, as we'll see in a moment,

1 you will have to go down and do system trade studies to  
2 evaluate alternatives to make architectural decisions.

3           I may be getting slightly ahead of myself, but I  
4 want to emphasize that we continue this process of  
5 subdividing functions that are required to meet the overall  
6 system objective to the lower and lower levels until we have  
7 defined the system.

8           A lot of people are quite concerned on how far down  
9 do you go in this? You go down to a level where it is  
10 commonly understood. You do not have to make any more  
11 architectural decisions. If you come down to the point where  
12 you can specify commercially available equipment or designs  
13 that have been conducted and proven before, then you stop.  
14 Typically, what we will do in the analysis, is to go down one  
15 level below that and then roll back up and say we've gone far  
16 enough. Now we go to the designers to come up with a design  
17 solution which is basically the next step.

18           Once you've established the requirements then you  
19 go into a design synthesis. Now, many cases in our program,  
20 that block we refer to as the conceptual design, and then you  
21 go to system definition which is a combination if you will of  
22 Title I and Title II. It is a preliminary design and then  
23 the final design.

24           Now in many cases we may want to come back here and  
25 look at alternative conceptual designs which meet the system

1 requirements and pick the best, establish the criteria and  
2 then evaluate each of the conceptual designs and pick which  
3 one you want to go with. You may elect to do that also in  
4 the Title I, the preliminary design. There may be more than  
5 one preliminary design alternative, or there may be subparts  
6 in there that you want to do a study, evaluation and a  
7 selection. And eventually, of course, you go to the system  
8 build test and demonstrate.

9           The other thing I would like to point out is, in  
10 this process there may be need to conduct tests and  
11 evaluation to provide data to make decisions that are  
12 required to make decisions or selections. In this continual  
13 process there are feedback loops and down in the lower two  
14 boxes are the system trades, the cost effectiveness, risk  
15 benefit, system analysis, and particularly important is risk  
16 analysis. Risk in this case is technical risk. And risk is  
17 also cost and schedule. All of the risk needs to be  
18 evaluated. We will develop a programmatic process to allow  
19 us to conduct what we refer to as risk management. In the  
20 risk management we will analyze risk from all perspectives,  
21 but specifically cost, schedule, technical performance. We  
22 will analyze the risk. We will normalize if we can that risk  
23 to some common value, probably dollars.

24           When we can assign dollar values to the risk, then  
25 we can design our program to mitigate risk and by mitigating



1 risk, what I mean is we will allocate our resources to those  
2 areas that have high risk. We will conduct our program but  
3 we may reallocate resources on a risk base to keep the  
4 relative risk fairly constant. That will be a basis for that  
5 process.

6           To do this you need models. We need to develop  
7 models. We need system simulation models that can be used  
8 for both cost and technical performance, a life cycle cost  
9 logistics report and effectiveness. All of these will be  
10 done.

11           Go back as I refer back to this graphic as I go  
12 along. But, with respect to the mission need, one thing we  
13 have to start with and we do start with is the mission  
14 statement. What is it we are trying to do? "To permanently  
15 isolate spent nuclear fuel and high-level...", I won't read  
16 that to you, but that is our overall mission. Now we need to  
17 identify all of those necessary functions to accomplish this  
18 mission. And that is what we are about.

19           One of the things that we will be talking about in  
20 the next few minutes are constraints. What are the  
21 constraints? We have a mission. Congress gave us the  
22 mission in the NWPI and its amendments. Now what are the  
23 constraints? Well, the mission plan that we produced will  
24 have many constraints on how we are going to do it. The 10  
25 CFR 60 is a requirement and also a constraint; 72, 960 191,

1 this is just a partial list of all of the constraints that we  
2 have to meet our mission. In addition there are DOE orders  
3 and executive orders of the President that the Department of  
4 Energy has to carry out.

5           So, what are we going to do? We are going to come  
6 through with a systematic approach and decompose this mission  
7 into its respective and logically, necessary functions and do  
8 the best job we can to identify those functions and come up  
9 with design solutions to meet them.

10           This is referred to as the FRA. Functional  
11 analysis specify the requirement or determined functions  
12 specify requirements and set the system architecture, FRA.  
13 One of the things and it is a very key point to keep in mind  
14 here are the legend that we use consistently in our  
15 functional analysis. It is very simple. The input is on the  
16 left, the output is on the right, resources from the bottom,  
17 constraints or controls and requirements come in the top.  
18 And then when you look at this, you can see for example  
19 there's our mission over here. What comes out is a function  
20 hierarchy. We come down to requirements, we have law  
21 standard, regulation commitments. We have experts in the  
22 programs as resources to specify and allocate those  
23 requirements of each function. And then we come down to  
24 selecting an architecture. Again we have criteria, we have  
25 program management, we have trade studies, and alternative

1 architectures that we can select from. This is a systematic  
2 process that we can carry out to lower and lower levels.

3       And again, just to emphasize we are talking about the  
4 next step.

5               I won't dwell on this, but what we are doing right  
6 now is we are looking at both a FRA approach to both the  
7 physical system and the programmatic system. What is the  
8 difference? The physical system is those real pieces,  
9 hardware, items, components, subsystems that you can design,  
10 build and operate. The programmatic system are all those  
11 functions that we as managers and workers must perform in  
12 order for the physical system to be brought into being. What  
13 functions do we as people need to perform to provide the  
14 physical system that satisfies the mission requirement?

15               We are analyzing both. We have two teams. We have  
16 a programmatic task team that is going through again  
17 systematically, identifying programmatic functions such as;  
18 one, Quality Assurance; one is system engineering; one is  
19 design; construction; operation. We are looking at each one  
20 of those major functions decomposing them and developing a  
21 process that people then can use to perform that function.

22               We are doing the same thing obviously, as I have  
23 already gone into for the physical system. We are taking  
24 functional requirements, developing a function tree, taking  
25 the function tree over to a regulatory research team,

1 identifying the regulations that correspond to that function  
2 and feeding it back to the core team. We are also taking the  
3 analytical needs from each functions over to a group of  
4 program experts for them to come back with their performance  
5 requirements for each function, and then developing this tree  
6 and taking it down into a relational data base so that we can  
7 produce the reports that you all have to sit down and read.

8           What does the function tree look like? This is an  
9 early version. We are in the process of review right now.  
10 But on a physical side we can start out saying, our top level  
11 function is manage waste disposal and meet the mission  
12 requirements. When we come through at the first level what  
13 do we have to do? Well, we have to accept waste from the  
14 generators and the utilities. There is also defense waste.  
15 There is commercial high level waste and other types of bits  
16 and pieces that we will take eventually.

17           We have an interface. We haven't settled this yet,  
18 but we recognize that there is an interface between us and  
19 the producers and generators of the waste. They have certain  
20 things that they need to do in order for us to accept the  
21 waste. We do too. Across that interface, the  
22 identification, control and execution of that interface is  
23 critical to the stakeholders in this program.

24           The other thing we have to do is transport waste.  
25 We'll have to transport waste from the generators to an MRS,

1 from an MRS to a repository, most likely. We'll also have to  
2 store waste. We may have to store waste at more than one  
3 location. There may be temporary storage requirements at the  
4 repository. There will be storage requirements for  
5 retrievability in order to meet one of our requirements. We  
6 can identify these.

7       And then there is another function, of course, is to  
8 dispose waste. And when you come down to it, these four  
9 primary functions are, one, necessary and logical. So, they  
10 are based on logical necessity in order to satisfy our  
11 mission requirements. We take for example, in disposed  
12 waste, we can come down to subfunctions like operate the  
13 repository, isolate waste, evaluate system performance and  
14 conduct exploratory studies. This is temporary right now,  
15 but I think it will eventually prevail that these exploratory  
16 studies you'll recognize later on as being the exploratory  
17 studies facility, commonly known as ESF.

18       DR. MELVIN W. CARTER: Dwight, could I ask you a  
19 question about, is there any question at all now regarding  
20 the sites or the places at which DOE or OCRWM will accept  
21 waste. Now, I'm trying to differentiate if there is any  
22 differentiation between commercial waste, the waste say at  
23 West Valley versus defense programs waste. Do you accept it  
24 always at the site?

25       MR. SHELOR: That is correct. Right now to the best of

1 my knowledge, all our plans include accepting defense waste  
2 at their site, for example the DWPF and Savannah River,  
3 Hanford, Idaho, where ever it is generated and packaged for  
4 receipt. We will also accept canisters at West Valley, which  
5 is the commercial high level waste. And we will accept and I  
6 believe the Act specifies that we will take title to spent  
7 fuel when it leaves the reactor gate. When we pass through  
8 their gate we will then take title.

9           Now there are conditions for our taking title.  
10 One, the fee has to be paid; two, it has to meet all our  
11 acceptance requirements. But it is developing and  
12 negotiating with the utilities those acceptance requirements  
13 that is the real hard part, because, virtually all of them  
14 are different in terms of what kind of transport cask are we  
15 going to provide them to load. Now, they have to load, they  
16 are obligated to load the transport cask under their existing  
17 tech specs or modifications if required.

18       DR. CARTER: Thank you.

19       DR. DEERE: A question.

20       MR. SHELOR: Yes.

21       DR. DEERE: I think you have just made official, perhaps  
22 the ESF definition, is that right? It is now the exploratory  
23 studies facilities.

24       MR. SHELOR: That is correct. We elected to retain the  
25 acronym, change it from a shaft to studies, because it may

1 not have a shaft.

2           A brief look at system architecture that  
3 corresponds with the previous functions. Now it may sound  
4 like it is a little silly and redundant, but it is necessary  
5 because the system architecture is different than the  
6 functional tree. We still have--you know, we have changed  
7 verbs in many cases, but when we come down, this is a  
8 geologic repository now instead of disposed waste. Our  
9 solution, one of our top level solutions to disposed waste is  
10 to have a geological repository. And so, there is a logic to  
11 this madness and it does make sense when you get down to it.  
12 You'll have an operation system, performance evaluation  
13 system, multiple barrier system and probably an exploratory  
14 studies facilities, for example.

15           The next step and one that we are doing right now  
16 is on a service that is very easy to explain, very difficult  
17 to do, but what we have in terms of disposed waste we can do  
18 and have done essentially in draft form now, the disposed  
19 waste functional analysis for the repository. That is a  
20 necessary first step. We have already kind of predetermined  
21 that in our architectural system that the exploratory studies  
22 facilities will be co-located with the repository. Therefore  
23 if there are requirements that the repository must meet that  
24 will also be applicable to the exploratory studies facility.  
25 So we have done a functional analysis to look at the

1 regulatory requirements and as many performance requirements  
2 as we can for the repository before doing the functional  
3 analysis for the exploratory studies facility. So, with that  
4 as a necessary requirement, then the next step is to  
5 determine the site testing requirements which basically  
6 establish the need for the exploratory studies facility. Why  
7 do you have it if not to determine site suitability and  
8 determine site characteristics for a repository.

9           To determine the site testing requirements, we have  
10 already and are in the process of defining the performance  
11 measures for the repository with describing the methodology  
12 or the models that will be used. We will specify the data  
13 needs and determine which tests and coalesce all of the tests  
14 that we can think of in the common test to eventually specify  
15 their required facility capabilities for the exploratory  
16 studies facility.

17           When we finish this, this output and the  
18 information from the repository functional analysis and  
19 requirements, then we can do a functional analysis for the  
20 exploratory study facility, and issue technical requirements  
21 for it. Then it will be necessary to verify since we have  
22 got the cart before the horse a little bit, to verify that  
23 the design in fact meets the requirements.

24           Okay, doing this, how do these baseline documents  
25 evolve? And here we are talking about the system



1 requirements. In every case we start with a development of a  
2 management plan. And this is a plan that basically sets down  
3 what is it we want to do, who is going to do it, how long is  
4 it going to take and what resources are required. And what  
5 Quality Assurance controls are going to be applied during  
6 this process. Very important.

7           Then we basically go through the FRA process that I  
8 just talked about, and then we will conduct a technical  
9 review by independent experts of that result to provide a  
10 document that will go to our Program Change Control Board,  
11 the action of that Board then will be to baseline the  
12 document for use in this program. System requirements in  
13 general will always have an introduction of functions and  
14 requirements, the architecture description and the  
15 interfaces. It will describe the interfaces.

16           One of the things that the FRA process does for us  
17 is when we go through it, we obviously will identify needs  
18 for system studies and trades to make architectural  
19 decisions. But, we will also identify needs where we have to  
20 determine what performance requirements are. For example,  
21 what is the throughput rate of this system? It has not been  
22 firmly established yet. We need to conduct an analysis. And  
23 we need to interface with the utilities to come up with a  
24 throughput rate. Is a throughput rate important? It  
25 certainly is. It sets the cost of this program. You know

1 there is a tradeoff between capital investment in facilities  
2 for capacity and a long duration of the program. All of  
3 those things have to be done.

4 Yes?

5 DR. DEERE: And it also has a technical input on the  
6 heat generated.

7 MR. SHELOR: That's correct. In other words, how old  
8 does it have to be, and what are the requirements that we  
9 place on accepting spent fuel.

10 DR. DEERE: Let me ask a question here, and that is with  
11 respect to how our Board would function. You have there the  
12 technical review. Now that technical review I presume will  
13 be done by--NRC will be looking at part of it? We certainly  
14 will be looking at it. Now, are you referring also to your  
15 own experts that you will bring into look at it?

16 MR. SHELOR: In this case I am referring to specifically  
17 a requirement to have our independent experts look at it.  
18 And by independent it is somebody that was not involved in  
19 the actual conduct of the original work.

20 DR. DEERE: I see.

21 MR. SHELOR: And it is a technical check on the  
22 adequacy, the logic, the reasoning and the determination of  
23 what went into that requirements document.

24 For example, as I indicated, we have the regulatory  
25 research team, and there are procedures that require at least

1 two of the regulatory research team we call it RAT team,  
2 regulatory analysis team. The RAT team, it takes at least  
3 two of those members to put a portion of a regulation on a  
4 function. After all of that is done, then there is going to  
5 be, somebody else on that team is going to come back and  
6 review the final report. So it will be an independent check,  
7 technical evaluation of how well they did and how they did  
8 it.

9           Now, obviously, the information is available to the  
10 TRB, it will be available to the NRC. They will all look at  
11 it. If they have comments then those come back and will be  
12 addressed.

13         DR. DEERE: I presume at that time there will be a  
14 document or a series of documents that will go for the review  
15 so you will have--it will be like a milestone. You will have  
16 completed certain things so that they have something to look  
17 at if they haven't done the work, then they have to be right  
18 up to speed. But, if we have a comment that we feel strongly  
19 about and we think should be looked at, wouldn't it be better  
20 rather than bringing it in at the technical review level to  
21 have it in the slide before? Could you go back one slide?

22         MR. SHELOR: Sure. Back here?

23         DR. DEERE: First in the site testing requirements.  
24 During the time that you are doing these in preparing your  
25 study plans which you have many of them already to go, but,

1 this would be the time--the earlier you could get our input  
2 it would be better, wouldn't it?

3 MR. SHELOR: It would be a great time as a matter of  
4 fact. Unfortunately there is very little time and I have to  
5 do it in the next couple of months because we will--we plan  
6 to have this completed and this analysis finished by the  
7 middle of June. So it is happening--we are in the process  
8 now and we will complete this by the middle of June.

9 DR. DEERE: In June we will have our, I believe it is  
10 our June meeting on testing.

11 MR. SHELOR: It's a great time. It's a great time.

12 DR. DEERE: The third week in June.

13 MR. SHELOR: You know, we will be in our internal  
14 review cycle at that point. As a matter of fact if you want  
15 to specifically look at the site testing requirements, I can  
16 get back with you. I don't remember now, but it is going to  
17 have to come up into the April time period. April or early  
18 May because it takes about three weeks to do the ESF  
19 functional analysis after we get this output.

20 Now, we are going to review both of these  
21 simultaneously at the same time, because we don't have time  
22 to do them in series. So, we are going to combine them and  
23 do a technical review of both parts.

24 DR. DEERE: We have interest in the rock mechanics  
25 testing, but I think there is more interest early on in the

1 geohydrology line in the tests that are being done.

2 MR. SHELOR: Well, I think that and if you don't mind my  
3 suggesting, I think you would be interested in this whole  
4 process, what performance measures have we identified, what  
5 models, you know how we come up with the data needs.

6 What we really need to come out with in determining  
7 or specifying facility capabilities are what measurements do  
8 we need and where? That is the answer that we need to go  
9 right there.

10 DR. DEERE: And that is our main interest as well.

11 MR. SHELOR: Exactly. And you know this brings up all  
12 the issues you know, uncertainty, variability and the whole  
13 bit. How many--what measurements do I need to make and where  
14 to answer all of our questions on site suitability, site  
15 characterization and the rest.

16 Now, that's our baseline. That will then be our  
17 baseline plan for a baseline ESF to make those measurements.

18 DR. DEERE: Okay. I guess we'll have to try to keep in  
19 touch to see if--I don't know if we can schedule an earlier  
20 meeting or not.

21 MR. SHELOR: Okay. Now we have started the technical  
22 review on three system requirement documents. We have one  
23 document that is called the overall system and then we have  
24 one subservient to that which is the MRS and the other one is  
25 the MGDS. So those three documents are going into our

1 internal technical review this week. And then this activity  
2 is ongoing now and then this will follow very shortly.

3           Then later on we have to back up to accept waste  
4 and transport waste. We are not doing those right now. They  
5 have all of our resources committee and then some, and other  
6 people's.

7           Now, back into our context here today. What are  
8 the Quality Assurance controls that we implement during this  
9 process of developing requirements?

10           Well we assure that we have qualified personnel.  
11 Those personnel have had the appropriate indoctrination and  
12 training. Indoctrination on the QA program and training on  
13 specific procedures that we use. We have a management plans  
14 for the document development. Now all of these are related  
15 to our Quality Assurance Administrative Procedures. I could  
16 give you the name, but let me assure you each one of these  
17 corresponds to a procedure. This is QAAP 3.5, this is 3.6  
18 and this is 3.7. We have to show that we have input control  
19 on source documents. We don't to put a constraint in a  
20 system requirement document that we have not verified its  
21 source and that the source applied the proper QA controls  
22 into its development. Now we don't second guess NRC, 10 CFR  
23 60, those we accept. But our internally generated input  
24 documents are verified before we place them in the document.  
25           Control of interfaces, obviously important. We

1 will have a technical review that is our QAAP 3.1. We have a  
2 Program Change Control Board which consists of members from  
3 each of the offices in OCRWM that sit on the Board and the  
4 Deputy Director of OCRWM is the chairman of that Board.

5           We have requirements of QA records, that's QAAP  
6 17.1 and procurement of services, there is also a control  
7 under the combination of 4.1, 4.2 and 7.1. So all of those  
8 QA controls are implemented and we have Don Horton to come  
9 and surveillances to verify that we are doing a good job in  
10 implementing these QA controls.

11         DR. CARTER: Dwight, can I ask you a question about the  
12 qualified personnel. You mentioned it in general a bit ago,  
13 but I wonder if you would discuss it a little bit in detail?  
14 Are these all essentially DOE internal procedures or for  
15 example the Quality Assurance Society for example, do they  
16 have qualifications that you might use? Do people have to be  
17 registered engineers or licensed here and there and this sort  
18 of thing?

19         MR. SHELOR: Well, we don't normally do that, but the  
20 qualification in personnel is based on that person's position  
21 description. Now, within the Department of Energy, everyone  
22 of us has a position description. There are federal  
23 standards set by OPM on minimum qualifications for each  
24 series and grade that we have. We have general engineers, we  
25 have mechanical engineers, electrical and what have you.

1 There is a series and a grade. OPM has established minimum  
2 qualifications in terms of either education or experience or  
3 a combination of both, or in most cases they have also  
4 established what additional--what experience can substitute  
5 for a formal degree. We have used those minimum standards.  
6 The participants in the program also have their own company  
7 standards. They also have position descriptions on all of  
8 the personnel then are evaluated against a minimum  
9 qualification for that position.

10 DR. CARTER: Okay. For example if you need an  
11 electrical engineer for something, I presume the quality or  
12 the position description would cover that. But that engineer  
13 would not necessarily have to be registered in the state in  
14 which he hoped to practice, for example in Nevada if you were  
15 concerned with the repository.

16 MR. SHELOR: Okay. That is correct as far as the  
17 federal government is concerned. Yes.

18 MR. HORTON: I'd like to clarify something here for you  
19 Mel. These Quality Assurance controls, these are not Quality  
20 Assurance organization activities. These are Dwight's  
21 organization activities. So it is not QA's people doing this  
22 it is his technical line organization. You were talking  
23 about QA certifications or whatever it is not.

24 MR. SHELOR: But I also recognize that I happen to be a  
25 licensed professional engineer, but I also understand the



1 dilemma that we are going through today in the fact that the  
2 federal government and states do not require licensure and  
3 that is being debated now. Personally, I would prefer that  
4 that eventually both the federal and state do require and  
5 accept professional registration.

6 DR. ALLEN: Well, particularly in the research areas or  
7 the more innovative aspects of the work, I would hope that  
8 that would not be required. For example if you were to  
9 require that a geologist be registered, I think that would  
10 almost guarantee that you would not get innovative kind of  
11 approaches.

12 MR. SHELOR: It probably would. But there are many  
13 things when you come to standard designs in meeting codes and  
14 standards it is hard to beat.

15 DR. ALLEN: Well I would emphasize there are many  
16 aspects of this program. Some of which are more research  
17 oriented, innovative than others that are more engineering  
18 oriented.

19 DR. CARTER: I was really looking, Clarence, for a  
20 certified volcanologist.

21 MR. SHELOR: That's hard to do.

22 DR. CARTER: Not one that needed certification.

23 MR. SHELOR: Okay. Now I want to again just go back and  
24 indicate that what we have gone through is the establishment  
25 of the requirements, the QA controls that we implement

1 internally in the development. Later today you'll have a  
2 description of the design process and the QA controls that  
3 are applied in the development of the design.

4           And I would like to then conclude with a very  
5 important message, also. This is kind of saying where are we  
6 today and what are we doing? As you know, there has been an  
7 ESF alternative study underway for some time. That ESF  
8 alternative study uses an existing set of requirements and I  
9 believe that has been described to you in prior meetings.  
10 Those requirements are being updated and controlled at the  
11 project level and a design study is not underway based on the  
12 early results of the alternative study. This may lead to a  
13 design that would be preferred based on the alternatives.

14          The process I just described to you what we call here  
15 are the new requirements for both the overall system,  
16 disposed waste and exploratory studies facility are now under  
17 preparation. They will be baselined, and then there will be  
18 a review of this design study against these requirements  
19 which will then result in hopefully very minor modifications  
20 to the design study to come up with a Title I design summary,  
21 which then forms the basis for a the Title II design of  
22 exploratory study facility. This is what we are doing,  
23 really a rough time line in July. This is the one we are  
24 trying to hold.

25          DR. ALLEN: Comments or questions from the Board?

1 DR. CANTLON: Yes. Obviously in building a high level  
2 nuclear waste repository we are not in the mass production  
3 business. We are only going to make two, but it might even  
4 only be one. Furthermore, the process of design and  
5 construction is going to cover a very long period of time  
6 relative to most construction type projects, even big dams  
7 won't take the kind of time we are looking at here. As a  
8 consequence science doesn't sit still. There is going to be  
9 new discoveries, new techniques and so on. And what I would  
10 like to get you to address, looking at your generic thing, is  
11 do you have a way of incorporating formally a sort of planned  
12 innovation? Where will new discoveries be fed into the  
13 system, because if you look at the top financial constraints  
14 on everything that we do in our society, on one hand there is  
15 this yen on the part of the money managers to freeze  
16 everything so there is total certainty about time and cost  
17 and that sort of thing.

18 We are looking at a unique event here, a unique  
19 engineering challenge, a unique science challenge and a  
20 unique political pane of an event with a lot of time. I  
21 don't see anywhere in there where you have got sort of  
22 planned innovation. How are new discoveries going to be fed  
23 into the system and put in in a way that will not keep total  
24 turmoil in the system and you can keep the money managers  
25 happy and the people building process happy. Where does that

1 fit?

2 MR. SHELOR: It's very--that is a key part. As I said  
3 this is generic. As you can see while we are still on paper  
4 changes are relatively inexpensive as long as they are on  
5 paper. Once you go to disturbing dirt and building  
6 facilities changes are more expensive. Secondly, as you  
7 pointed out, planned innovation--you know, I am confident  
8 there will be innovation and new understandings that we have.  
9 What I don't have on the graphic, but it is part of the QA  
10 program, it is also part of the systems engineering process  
11 that we are implementing and this graphic doesn't have it.  
12 But, out here is where you absolutely have to have the Change  
13 Control Board.

14 Changes can be submitted by any member of this team  
15 that leads up to building this. Each one of those changes,  
16 once you get to this point, has to be justified, why do I  
17 want to change and what are the impacts. And, then somebody,  
18 the management then has to make a decision, is it worthwhile?

19 That's the part that is not here. But it is a  
20 formal change control process. Now I think we probably get  
21 into change control in general, but it is absolutely  
22 mandatory on this program.

23 DR. CANTLON: Well, you can look at change control as a  
24 constraining device to make sure that the changes are within  
25 fiscal and temporal constraints. I am looking at how do you

1 ensure that the innovation is going to be harvested and fed  
2 into the system. That is the piece I am really raising.  
3 Where in the system do you have your planned innovation  
4 pressing out there on what we know about science, what we  
5 know about engineering, what we know about computation, what  
6 we know about risks?

7 MR. SHELOR: I think it really is--again, I don't have a  
8 good graphic on that Dr. Cantlon, but it is down--it is right  
9 in here (indicating), particularly with respect to the  
10 repository. There is a continuing performance evaluation  
11 system. Because, you know, as required by the Act, we will  
12 go in and develop techniques to monitor what will eventually  
13 be a relatively short-term performance of that repository.  
14 But, that will be the entire basis of our knowledge during  
15 the period that the repository is opening, is opened, we are  
16 emplacing waste and prior to closure, we need to collect the  
17 information, demonstrate to the best of our ability that the  
18 design is performing as predicted for that period of time  
19 before we go back to the NRC for a license amendment to close  
20 the repository.

21 And I think part of this innovation will come in  
22 here (indicating). Where would you expect to find this  
23 innovation? You may have the innovation in different mining  
24 techniques to excavate rooms, those are relatively minor  
25 changes that may not impact the regulatory considerations.

1 But, you may come up with new materials or different  
2 materials or a different engineered barrier system and now  
3 you are faced with two things. Well, I have an improvement,  
4 I may want to go ahead and implement that, and the next thing  
5 is do I retrofit? It's a typical problem that we have.

6 But, all of those factors enter in during that  
7 preclosure phase.

8 DR. CANTLON: And the Quality Assurance for that  
9 innovation would come through your Change Control Board?

10 MR. SHELOR: The Change Control Board does require a  
11 technical review using Quality Assurance procedures to  
12 evaluate both the technical change and the impacts of the  
13 change.

14 DR. CANTLON: Thank you.

15 DR. ALLEN: Other questions from the Board?

16 MR. MCFARLAND: Dwight will you put your Physical  
17 Engineering Chart up please?

18 MR. SHELOR: Sure.

19 MR. MCFARLAND: You made a comment about proceeding from  
20 conceptual to Title I to Title II in a rather vague  
21 separation. In the Department of Defense and in NASA both,  
22 one of the major system engineering principals is that there  
23 is a milestone separation between these processes and you  
24 never enter one without officially leaving the other. Title  
25 I design is not approached until you have a complete

1 consensus that conceptual design has been completed. In the  
2 Department of Defense they call it DSARC. It is a major  
3 milestone. In NASA the same thing was done.

4           The point being that if you proceed from one phase  
5 to the other without having thoroughly established the fact  
6 that that phase has been completed, then you are constantly  
7 making changes. Conceptual design process usually has a  
8 Configuration Control Board also and I don't see the  
9 similarity between the established procedures in the military  
10 and I think also required by an OMB directive for major  
11 systems acquisitions. I don't see that here. Can you  
12 comment on that?

13         MR. SHELOR: I'd be happy to. I called it generic  
14 because we are doing a couple of things. But you are  
15 absolutely correct. The Department of Energy also has what  
16 we call an ESAB. That is the Executive Level Change Control  
17 Board, and they control all major system acquisitions. The  
18 ESF has been for some time designated as a major system  
19 acquisition. The MRS will be a major system acquisition.  
20 The ESAB group has established milestones. KD-0, this is  
21 approval to begin the conceptual design and then K-1 I  
22 believe is approval of the Title I design. And then there is  
23 another one for Title II. And then there is another approval  
24 that you have to go through before you can do site prep.

25           For example, all of these are in our plans I did

1 not go into detail on those. You bring out a good point.  
2 You have to recognize again here what we are involved in. We  
3 already have a Title I. Now we are going back and taking  
4 another look--we did an ESF alternative study. We may want  
5 to revise Title I. So, for all practical purposes, what we  
6 are doing here is a second look at the Title I design with a  
7 view to an update of the Title I design summary. At this  
8 point I put in all the steps. We have them already  
9 identified. We will go to the ESAB, the Executive Level  
10 Change Control Board, because there is a change in the Title  
11 I. There is a change in the cost and a change in the  
12 schedule. And we will go to them and have to justify the  
13 changes.

14 MR. MCFARLAND: We have a Title I for what?

15 MR. SHELOR: An ESF, it has two shafts.

16 MR. MCFARLAND: And there is a corresponding Title I for  
17 the repository?

18 MR. SHELOR: No. There is only a conceptual design for  
19 the repository that was done back in 1985.

20 MR. MCFARLAND: Okay.

21 MR. SHELOR: But there is an official ESF Title I which  
22 consists of the two shafts and that is where we are right now  
23 today.

24 MR. MCFARLAND: But my point is, you have mentioned  
25 these milestones, but it is not for the total program, it is



1 for pieces of the program. Is that correct?

2 MR. SHELOR: That is correct. The Executive Secretary  
3 has not yet designated this entire program as a major system  
4 acquisition because of the way it is being phased in. I'm  
5 sure that the repository will be a major system acquisition  
6 if the site is found suitable. Now to designate it as a  
7 major system acquisition today would be prejudging the  
8 suitability of that site.

9 MR. MCFARLAND: That's an official DOE position?

10 MR. SHELOR: No, that is my official opinion. I  
11 wouldn't even ask them to designate Yucca Mountain as a major  
12 system acquisition for the purposes of being a repository  
13 because we have not yet determined its suitability. But, it  
14 makes eminent sense to have the Exploratory Studies  
15 Facilities. It more than meets the criteria for a major  
16 system acquisition, which is basically anything that costs  
17 over \$50 million.

18 DR. ALLEN: I'm lost. Don do you want to comment?

19 MR. HORTON: Yes, I'd like to identify one change in  
20 our schedule this afternoon. Al Stevens had a minor fender-  
21 bender, so he won't be here and Bob Richards who is the QA  
22 manager for Sandia will be presenting his information.

23 DR. ALLEN: Thank you.

24 Okay, we'll take a 15 minute coffee break starting  
25 now.

1 (Whereupon, a recess was had off the record.)

2 DR. ALLEN: Okay let's reconvene and Don wishes to make  
3 a further statement here.

4 MR. HORTON: The additional workshop that I described in  
5 my presentation, I was told that I was quoted as saying  
6 trending, it is grading process. Enhancement to the grading  
7 process not trending.

8 DR. ALLEN: Well, Don do you wish to proceed without  
9 Ted, or--well I guess we will stall until the speaker shows  
10 up.

11 (Off the record.)

12 DR. ALLEN: We will go back onto the record if we may.  
13 Ted, you are on. Max volunteered to give your talk, but we  
14 refused to let him.

15 MR. EDGAR H. PETRIE: Okay. My name is Ted Petrie. I  
16 am the Acting Director of the Engineering and Development  
17 Division for the Yucca Mountain Site Characteristic Project.

18 I am going to talk to you first about the overview  
19 of the ESF design control. Let me first state that our  
20 Quality Assurance program, while the design control process  
21 is based upon QA program which is based upon our QA documents  
22 that Don discussed a little bit earlier. The definition of  
23 design control, I'm not going to read to you, but that's what  
24 we consider to be the design control.

25 Our major design activities are the preparation of

1 design input and those are external and internal and by that  
2 we mean external to the AE and internal to the AE. The  
3 design process which includes QA grading, engineering plan,  
4 interface control, design analyses, reviews, design  
5 verification and design change control, and design outputs  
6 which are the products developed by the AE and all that goes  
7 into our QA records.

8           External design inputs are those requirements  
9 imposed on the design organization by the project office.  
10 ESF system requirements, Dwight talked about a little bit  
11 earlier, the designs which are currently being developed.  
12 But, in the meantime the design study is currently being  
13 performed using existing controlled requirements documents.

14           These are the waste management system requirements  
15 which is the top level one. Volume I is the top level one  
16 and Volume IV is the one associated with the MGDS. The  
17 system requirements which takes the higher level ones and  
18 turns into a project specific requirements. A system  
19 description which is also specific to the project. Site  
20 characterization program baseline which provides the testing  
21 needs required. The repository design requirements which  
22 provides those requirements to the repository necessary to  
23 develop those interface requirements imposed on the ESF by  
24 the repository. The exploratory studies facility design  
25 requirements document which includes those requirements

1 specifically placed on the ESF. And as a Reference  
2 Information Base which provides specific technical data about  
3 the site which is required for the design.

4           The internal design input is all that design input  
5 used by the design organization whether received from others  
6 or developed internally and that includes as a minimum,  
7 assumptions necessary to implement external design  
8 requirements, and here by others we are talking about other  
9 participants, as opposed to a project office, supplementary  
10 regulations, design codes and standards, design models and  
11 methods to be used. So he has two sets of things to work  
12 about. He looks at the design requirements, the requirements  
13 imposed by the project, which are the things which we as a  
14 project say he must meet. And then he in turn looks into  
15 design codes such as sanitary system codes, electrical codes,  
16 defines what those are for his designers and that is another  
17 set of what we call internally developed requirements.

18           The design organization reviews and improves design  
19 input according to its procedures and formally notifies the  
20 project that approves all applicable external design input.  
21 So in other words I give him a set of requirements, he  
22 reviews it and he approves it. He says, yes I can provide  
23 your product consistent with your requirements. That is what  
24 he says to me. Now if he finds something that is  
25 inconsistent or a concern where he cannot provide that

1 product consistent with my requirements, it is his obligation  
2 to tell me that so that we can resolve that issue.

3 All internal design input must be under design  
4 organization change control and the all design input must be  
5 formally controlled. In this case the internal design input  
6 is controlled by the designer; external design input is  
7 controlled by the project.

8 QA grading, and you are going to have a bigger  
9 picture on this tomorrow, so I won't spend too much time on  
10 it, is the process for determining the QA measures necessary  
11 to develop and maintain confidence in the quality of an item  
12 or activity. It is performed for all work, even if not  
13 related to nuclear safety or waste isolation. And for the  
14 ESF design, the preparer of the process is the design  
15 organization, or the AE. The design work will not commence  
16 until QA grading for the design process has been approved by  
17 the project quality review board.

18 DR. ALLEN: What do you mean by the kind of work that is  
19 not related to waste isolation? What is an example of that?

20 MR. PETRIE: Parking lots. A design for a parking lot  
21 or a subsidiary warehousing. Generally there are auxiliary  
22 facilities that are not generally a part of the exploratory  
23 shaft but are necessary for the operation of the exploratory  
24 shaft.

25 DR. ALLEN: Okay. It is related to waste isolation but

1 only in a peripheral sense, I guess. Not anything with a  
2 safety consideration.

3 MR. PETRIE: That is certainly true, yes.

4 DR. SHERWOOD CHU: But they are subject to Quality  
5 Assurance?

6 MR. PETRIE: Definitely. Yes.

7 DR. CHU: A parking lot?

8 MR. PETRIE: Well, yes, sure. All DOE programs are  
9 subject to Quality Assurance.

10 MR. HORTON: Not necessarily the regulatory QA program,  
11 but there are quality requirements with everything associated  
12 with DOE programs.

13 DR. CHU: But now in your language would a parking lot  
14 be a part of that QAL?

15 MR. HORTON: Not the regulatory QA program.

16 DR. CHU: Thank you.

17 DR. ROY E. WILLIAMS: It wouldn't be part of the list of  
18 20 criteria on the grading sheet.

19 MR. PETRIE: Well, the criteria are those criteria--it  
20 includes the 18 criteria that you find in NQA1 or in 10 CFR  
21 50, Appendix B, plus two more.

22 MR. MAX BLANCHARD: Ted, let me help with Roy.

23 MR. PETRIE: Okay.

24 MR. BLANCHARD: When you look at structures that are  
25 built underground in the mountain, even during the

1 exploratory phase, there is a chance that some adverse impact  
2 could occur to the mountain. It would have a negative impact  
3 on the potential for waste isolation. Those kind of things  
4 using the procedures we have in place, one way or another get  
5 into an identification process for an item or activity  
6 important to safety or waste isolation, or an activity  
7 related to a quality affecting activity related to an item or  
8 an activity that affects waste isolation. Those are on so to  
9 speak "the Q list", both activities and items are.

10 DR. ALLEN: You mean a parking lot could affect the  
11 drainage.

12 MR. BLANCHARD: Now, ordinarily you would think a road,  
13 a parking lot or a power line or a power pole wouldn't fit  
14 there, but there are some conditions under which you would  
15 want, in order to be conservative that you would consider  
16 them from a waste isolation impact.

17 Let me give you a "for instance". If you were off  
18 the block way outside the potential perimeter of the  
19 repository building the road, what you could do with that  
20 road, how much water you'd put on that road could have no  
21 impact on waste isolation. On the other hand, if you are  
22 working on a road or clearing away the side of a mountain for  
23 a portal and you are putting millions of gallons of water for  
24 dust control, then it is possible that a certain amount of  
25 that water could migrate down and cause a negative affect on

1 some in-situ tests in the unsaturated zone.

2           So we go through these things methodically looking  
3 for what could have an adverse impact on waste isolation and  
4 we do a calculations to determine how much is acceptable and  
5 what controls we want to place. And so when Ted answered  
6 that question about everything is subject to quality control,  
7 he really meant for those things that are not quality  
8 affecting items, we go through and do an analysis to find out  
9 whether or not we need a management control. If we do, we  
10 place that control based on some analysis, quantitative or  
11 qualitative that establishes some limit somewhere in the  
12 system. Usually a limit that is effectively created by a  
13 management control using the same procedures that we use in  
14 our quality program.

15           Whereas, for those things that we know there is not  
16 a remote chance of having an adverse impact on waste  
17 isolation, they are treated in another side of the program.  
18 But they still are subject to some aspect of management  
19 controls. But not as Don says, part of the NRC Quality  
20 Program.

21           Don, is that fair? I don't know if I helped, but  
22 it is not the grading that does that, it is where it fits in  
23 potential for adverse impacts. But everything is subject for  
24 grading. It fits into that concept, whether it is part of  
25 the Q program or not part of the Q program.



1 DR. ALLEN: Thank you.

2 MR. PETRIE: Okay. The Engineering Plan is prepared by  
3 the design organization to describe the work to be performed  
4 in detail. It is approved by the project office and contains  
5 as a minimum these items: purpose, scope and description of  
6 the work to be performed, design methods and procedures to be  
7 used, interface controls needed, internal reviews planned.  
8 list of deliverables, applicable portions of QA program,  
9 schedule and budget and an acceptance criteria. Then, as I  
10 said this is approved by the project office.

11 In effect, we send a letter to the AE that says  
12 provide me with design studies for the exploratory studies  
13 facility and that is nice, but it really doesn't tell him or  
14 me very specifically what he is going to do. So we tell him  
15 also to prepare a plan which describes what you are going to  
16 do. This plan is then what he prepares, submits it to me and  
17 then I say either yes this is what I had in mind, or no, you  
18 need some modifications to it to reflect what I have in my  
19 field to do as part of this program.

20 Interface control involves identifying, documenting  
21 and tracking the status of all interfaces. Responsibility of  
22 the interface control working group, the ICWG which is in a  
23 project office chaired organization.

24 There are two sides of interfaces. There is  
25 physical interfaces which is the place where two or more

1 systems or structures or components intersect, or  
2 organizational interfaces, the relationship between two or  
3 more organizations working on impacting physical item.

4           Let's say an example of this, as you are probably  
5 aware, we have a half a dozen different participants working  
6 on this project. Each one has certain areas of expertise.  
7 The AE will come up with a design which says I have to--I am  
8 going to put water to control the dust. The AE as a  
9 participant is not responsible for determining how much water  
10 he could put onto the system before he affects waste  
11 isolation. That is a responsibility of one of our other  
12 participants as far as waste isolation is concerned. So the  
13 AE then has to--gets the participant to review his designs,  
14 see what he is doing as his architecture and get the  
15 responsible participant then to tell him you can put this  
16 much water on with no impact. So when we talk with  
17 interfaces, this is in effect an agreement which says you can  
18 put this much water on the site and it will not affect waste  
19 isolation by the responsible participant.

20           Interface may occur solely within the D.O. like a  
21 piece of equipment into our building or something like that,  
22 or it may occur with another participant, as I just  
23 mentioned.

24           DR. DEERE: Excuse me. Before you remove that slide,  
25 you say the responsibility for this interface control is a

1 working group, and this includes Yucca Mountain Project  
2 Office, Headquarters, the A&E, the different laboratories?

3 MR. PETRIE: In this case, the interface control working  
4 group is a project office function. And we are controlling  
5 the interfaces between participants. Now we are not smart  
6 enough to recognize all those interfaces and we expect the  
7 participants to do that. It is their responsibility to  
8 recognize where an interface exists, the prepare a  
9 documentation of that interface, in effect constraints on the  
10 design, and they go into the baseline documentation, those  
11 interface control documents.

12 Design analysis, that is a documented record of how  
13 design input is translated into design. It is a documented  
14 record of the process used in making engineering decisions.  
15 It consists of calculations, trade studies and general  
16 studies performed under the participants procedures.

17 A little bit about reviews, we have progress  
18 reviews of the ESF design are conducted on a weekly basis.  
19 the management reviews will be performed by the D.O. prior to  
20 the completion of each design package. And in effect, this  
21 is where the responsible participants and the AE review the  
22 design at that point and say, yes it is ready to go into the  
23 design review. In otherwords, all the participants who have  
24 contributed to the design, look at what the AE has come up  
25 with and say yes, this is now ready to go into a design

1 review. Design reviews are performed by the D.O. upon  
2 completion of each design package.

3           A little bit about design verification. This is a  
4 design control measure which are applied to verify the  
5 adequacy of the design. If we have a design that is  
6 completed, how do we know it is any good? So there are four  
7 acceptable for performing that function. A design review  
8 which is accomplished by an independent set of reviewers,  
9 competent in the technical areas of expertise which is being  
10 reviewed. It is generally the proposed method of  
11 verification. Very seldom will we on the ESF be using these  
12 alternate techniques, but the alternate techniques are  
13 included here for completion.

14           Qualification tests, we could take the item and  
15 physically test it to see if complied with all its  
16 requirements under all of its environmental conditions.  
17 Alternate calculations and analyses, we could go through some  
18 other technique for calculations. Or a peer review, it is  
19 used when independent expert judgment is needed or to  
20 validate technical adequacy or when data or conclusions go  
21 beyond existing state of the art. I generally go by the  
22 latter part of that, because I do use independent expert  
23 evaluations.

24           DR. CANTLON: By independent, you don't necessarily mean  
25 outside of DOE and your providers?

1 MR. PETRIE: No. The independent people can be in the  
2 same design organization, but cannot have contributed to the  
3 design.

4 Design change control, changes to design related  
5 documents are processed using the same methods applied to  
6 preparation of original documents. Some organizations do the  
7 same activities. Changes reviewed and approved by  
8 organizations that reviewed the original document. Field  
9 changes will be handled by a Field Change Control Board.  
10 This is an expeditious Board handled in the field, but all  
11 the same participants must be represented on the Field Change  
12 Board.

13 Design outputs, main output documents are  
14 construction drawings and specs. After verification and  
15 internal D.O. approval, they are transmitted to P.O. for  
16 acceptance and following acceptance by the P.O., they are  
17 placed under project change control.

18 And finally, a little bit about QA records. As  
19 Dwight mentioned this is a long-term project and we need to  
20 keep records, good records of virtually everything we do.  
21 And this is not, I suspect, there are a few things that would  
22 have to be added here like training qualifications, I don't  
23 see that on there, but all design inputs and relevant  
24 correspondence, drawings including as-builts, specifications,  
25 approved changes to design input analyses, drawings and

1 specs, evidence of design verifications, records confirming  
2 interface control and documentation of design reviews. The  
3 major part of things go in here, but not necessarily all.

4           Okay. That is all I have for this part of the  
5 presentation.

6           DR. DEERE: Could you back up there?

7           MR. PETRIE: Sure.

8           DR. DEERE: Design Process at the top and then the dot  
9 is at design change control.

10           I'm looking down at the second one, the changes  
11 reviewed and approved by organizations that reviewed original  
12 document. Now how about the original designer? Where does  
13 he come in to take a look at that change?

14           MR. PETRIE: He--in general, he will initiate, well the  
15 original designer did review the document. The organization  
16 did review the document. Okay. It is that AE's  
17 responsibility then to review the change. That doesn't mean  
18 it has to go back to the same individual who did the original  
19 design, organizationally, it has to go back to the same  
20 organization.

21           DR. DEERE: I think it is very important and I certainly  
22 agree that that should be a requirement.

23           MR. PETRIE: Absolutely.

24           DR. DEERE: Because in a lot of the difficulties that  
25 have occurred, it is when there has been a design change made

1 in the field without the proper check back to the designer.  
2 And the reason this is true, so many of the agencies are now  
3 not giving the construction management and the inspection to  
4 the design firm. In the old days you know the corp of  
5 engineers would design it and the corp of engineers  
6 inspectors would inspect it and they had a pretty good  
7 relationship working with the designers. It's the same way  
8 with one of the private firms. They did the design and they  
9 did the construction management, but back in those days they  
10 didn't call it that. They used to call it just the  
11 inspection.

12           But, as time went along, it seemed to be, a lot of  
13 people felt it was better, a lot of organizations if you were  
14 an owner, to have the design done by one firm and then to  
15 have the inspection and the construction management done by a  
16 second firm. So you lost then some of the input from the  
17 designer because he was no longer on the project. Maybe he  
18 would have one man there and maybe he would have none. And  
19 when the changes are made, often the design intent was lost.

20       MR. PETRIE: That has happened.

21       DR. DEERE: It has happened. And in the hydro projects  
22 when this has happened, it has often led to a rather costly  
23 failure of the project or partial failure of the project.

24       MR. PETRIE: Within the Department, we have talked about  
25 Title I and Title II and we also have what we call a Title

1 III which is the inspection activity of the constructed  
2 product. Now within the DOE that Title III cannot be done by  
3 the constructor. We have to hire a separate agency for that.

4           Now in general it is the AE that does that  
5 inspection. So that alleviates some of your concern. And on  
6 this field--we have to agree I think that in the field you  
7 need to handle those changes expeditiously. There has to be  
8 some technique that is a little bit faster than going 200  
9 miles away or 2,000 or 3,000 miles away to get a change  
10 approved. But, the design organization is represented on  
11 that Change Board. Then the person there must be in contact  
12 with his organization to get an, I won't say an approval, but  
13 an acceptance of the change at essentially the same time he  
14 is approving it. The same way with any other participant  
15 that has worked on the original document.

16       DR. DEERE: I think that is very good.

17       DR. ALLEN: Any other comments or questions before we  
18 move ahead? Russ?

19       MR. MCFARLAND: Ted, were these controls or controls  
20 similar to this applied to the conceptual design of the  
21 repository?

22       MR. PETRIE: Before my time, but--

23       MR. MCFARLAND: Well perhaps I should direct the  
24 question to Don.

25       MR. PETRIE: I think it was before his time too.



1           MR. MCFARLAND: Do we have an accepted conceptual design  
2 of the repository?

3           MR. HORTON: I think at this time I'd have to say we may  
4 have one, but we are going back and reverify that conceptual  
5 design.

6           MR. PETRIE: Let me try to put it this way for you,  
7 okay? I said a little bit ago that we had a repository  
8 design requirements document. In that requirements document  
9 are those requirements which are necessary to define from the  
10 DOE's viewpoint the constraints to be placed on the ESF based  
11 upon a repository design. Over the next six months and prior  
12 to the completion of Title II, we will re-evaluate those  
13 interface requirements between a conceptual repository and  
14 the ESF to assure ourselves that the conceptual repository is  
15 consistent with those requirements. And that will be done in  
16 accordance with our QA program.

17          MR. MCFARLAND: Then the driving factor will be the ESF  
18 design not the conceptual repository?

19          MR. PETRIE: No, I didn't say that. No. Remember I  
20 said the repository requirements document will include those  
21 requirements on the repository which could lead to  
22 constraints from a repository onto the ESF. The repository  
23 designer then has to come up with the interface documents or  
24 requirements to place them on the ESF consistent with those  
25 repository requirements. In effect, it will be a partial

1 conceptual design to the extent necessary to define  
2 exploratory studies facility interfaces. We will not do a  
3 complete conceptual design though.

4 DR. DEERE: I think that one reason for the question and  
5 we bring it up in the current report that is our third report  
6 to the Secretary and the Congress, and that is it did appear  
7 that in the 17 alternatives and in the early access of the  
8 Calico Hills the other 17 alternatives, only four used a  
9 different two-level layout of the repository instead of one  
10 level. And one or those or two of those had very high  
11 rankings. And it wasn't quite clear to us if it was the  
12 access that gave it the higher rankings or is it the fact  
13 that we had the repository at two levels. In otherwords  
14 maybe the outcome was that it was the repository at two  
15 levels. Because, in the other studies we didn't have a  
16 repository at two levels so we really couldn't back out that  
17 influence. It is just a question that we raise in the  
18 report.

19 MR. PETRIE: It's true, that the repository, the  
20 potential--every place I say repository, put potential in  
21 front of it. It is true that the potential repository  
22 concepts as indicated by that two-level was considered better  
23 because of the distance from the water table. We will not be  
24 able to confirm whether or not that is an appropriate thing  
25 until we have done some borehole testing. That will be done,

1 God willing and the flood don't rise, but that will be done  
2 early before we have gotten that far into the construction of  
3 the ESF. And at that point, we would expect to make a  
4 decision as to what really would be our conceptual design  
5 with regard to the levels of the repository.

6 MR. BLANCHARD: Ted, I think what you've said in another  
7 way, stated another way is that by carrying on these ESF  
8 design studies which are an enhanced version of Option 30, we  
9 in no way believe we are precluding the possibility of a  
10 repository configuration that would be different than what we  
11 now have in the CRD, Conceptual Design Report. In  
12 otherwords, we still have the possibility of considering more  
13 than one level and different layout configurations and even  
14 changing the repository horizon.

15 DR. DEERE: Well, I think the flexibility that this  
16 alternative contains is one of its strengths that you can do  
17 that. We can even put an internal shaft in or winds are  
18 raised for a short distance if one needs it. It doesn't  
19 necessarily have to come from the surface. So there is  
20 flexibility I think.

21 MR. PETRIE: You know, eventually we are going to come  
22 to a place of no return, but we want to make sure that we get  
23 these kind of testings done before we get to that point.

24 DR. DEERE: And I was prepared for this in case the  
25 questions at the Senate Hearing last week got more detailed,

1 such as is the DOE ready to start shaft construction? And I  
2 was prepared to say that you need borings first--in  
3 otherwords it is a progression of tests. And you really  
4 won't define where you want the exploratory units to go  
5 exactly until you get some of the first test results in.

6 MR. PETRIE: That's right.

7 MR. MCFARLAND: Ted, one other question and to follow-up  
8 one of Dr. Deere's comments about the sensitivity of knowing  
9 that the original designer, that the input from the design is  
10 understood in field changes. I think a key element of this  
11 risk or one way of addressing this risk is the development of  
12 an acquisition strategy for construction. Where does that  
13 fit in the sequence of events?

14 MR. PETRIE: We are in the process of developing that  
15 acquisition strategy. And that's all I can say about that  
16 now. We have not completed our acquisition strategy yet. We  
17 are still working on it.

18 MR. MCFARLAND: Thank you.

19 MR. PETRIE: Anything else? Did I see somebody over  
20 here? No, I guess not. Okay.

21 Now I want to talk a little bit about the Quality  
22 Assurance criteria applicable to the design process.

23 And I will say a little bit more about the grading  
24 process to begin with and what the grading process does for  
25 us. First we provide an activity identification and

1 definition. We define this thing we are looking at a parking  
2 lot? If it is a parking lot, where is it? Is it in a place  
3 where it could impact waste isolation? Whatever this thing  
4 is that we are putting into the design process we identify  
5 what it is so that the grading is done generally for a high  
6 level and then lower levels as necessary. But the first  
7 thing you do is identify what it is that you are going to be  
8 looking at.

9           We determine if the activity is on a quality  
10 activities list or project requirements list. Those are  
11 things that have been predetermined to be either important to  
12 safety or waste isolation or important to project  
13 requirements. And again Ram will talk a little bit more  
14 about that tomorrow.

15           Then we state the importance of the project. Is it  
16 worker radiological safety, operational concerns,  
17 reliability, or whatever. And then we identify the  
18 applicable QA criteria and provide justification if we say  
19 the criteria is not applicable. And then the performer then  
20 obtains quality review board acceptance.

21           As I said a little earlier, the AE was responsible  
22 for preparing the QA grading package for exploratory studies,  
23 and the following criteria were identified by the AE through  
24 his QA grading process and are applicable to ESF design  
25 activities. And this is the set of criteria that has been

1 identified by the AE and approved our Quality Review Board as  
2 those things which apply to the higher level to the  
3 exploratory staff facility. And I'll go through each one of  
4 these--well, I don't know the names of all the things I am  
5 missing but you see it is really criteria 8 through 15. Some  
6 of those things are like instrumentation, where in a design  
7 process, there is not calibration of instrumentation  
8 required. Now that doesn't mean obtaining data, obtaining  
9 data that is used in the design would be subject to that, but  
10 the designer is not obtaining the data, the data is provided  
11 to him. And so some of the criteria as you can see were  
12 determined not to be applicable, because work on them was not  
13 being included in this design activity.

14           And some of the things then we have to do if  
15 Criterion 1 - Organization applies, we need to establish  
16 document lines of authority, define functional  
17 responsibilities and again document them, define lines of  
18 communication for guidance, direction and control, and to  
19 have full documentation of organizational actions. So we in  
20 the Project Office then need to make sure that each of the  
21 participant's activities are well defined so that we can have  
22 a definition of the functional responsibilities. And again,  
23 that has to be all well documented. We can't say, "Hey, Joe,  
24 you take care of this, Bill you take care of that, and by the  
25 way talk to each other when you get a chance." Now, that is

1 not allowed.

2           Our Quality Assurance program requires the  
3 establishment of the QA program, it requires QA  
4 organizational independence, that is, Don's organization has  
5 to be independent of the line organizations performing the  
6 function. Identification of quality effective items or  
7 activities and we've just talked a little about that.  
8 Identification of applicable QA criteria, again we've  
9 discussed that a little bit. Identification of QA controls  
10 and these are the procedures then that implement those QA  
11 criteria we just discussed. Each one of the organizations  
12 has as you are probably aware, a gamut of procedures for  
13 implementing those QA criteria.

14           We have to have documented personnel qualification,  
15 again, Dwight talked about that a little bit about how in the  
16 federal government how this is accomplished. Training of  
17 personnel and training records and training of personnel  
18 means that if a person is responsible for an activity  
19 associated with a specific procedure, he needs to be trained  
20 on that procedure. And we demand verbatim compliance. If  
21 the procedure says dot an "i", he has to dot the "i". If it  
22 says cross a "t", he better cross a "t". If an engineer is  
23 not comfortable with verbatim compliance, he really doesn't  
24 belong on this program.

25           I think we find that most engineers or many of them

1 any how are accustomed to defense work, NASA work, they have  
2 been acclimatized to this kind of activity. Engineers from  
3 other areas are not quite as accustomed to it.

4           Quality Assurance criteria applicable to the design  
5 process, design controls requires definition of the design  
6 control process and again that has to be documented. Control  
7 of design inputs, we discussed that a little bit, design  
8 verification is required, establishment of change control  
9 measures, archiving of design documentation. That all has to  
10 be put in the formal record system. And it has to be of  
11 course legible. No pencil written notes generally don't make  
12 it. You have to go back and do them over again.

13           Procurement document control, requires that the  
14 applicable design bases/requirements necessary to assure  
15 quality be included or referenced in procurement documents.  
16 If you write a purchase order, it has got to have reference  
17 to a technical requirement that is being imposed on the  
18 vendor. Procurement documents need to specify that suppliers  
19 have an adequate Quality Assurance Program. One other thing  
20 that these are also under change control. If you change a  
21 procurement document you have to have record of the changes.  
22 Now one would think, heck, that is automatic. I've worked  
23 in one or two places where it wasn't. And as you are  
24 probably aware you can get into some substantial difficulty.  
25           MR. SHELOR: Excuse me, Ted.



1 MR. PETRIE: Sure, go ahead.

2 MR. SHELOR: I would just like to add two points. The  
3 first one is that these requirements are not unusual and  
4 these would apply to any nuclear facility design. You know  
5 it is the normal standard operating procedure for nuclear  
6 facility design. And a second point I'd like to make is that  
7 it is entirely conceivable in the grading process and when  
8 you come down to a procurement of an item that it can be  
9 graded down to commercial grade, but there will be  
10 documentation that justify the acceptance of a commercial  
11 grade item into the system. So we are not talking about  
12 unusual specifications or items or components just because it  
13 is part of a nuclear facility.

14 DR. ALLEN: You mean like the quality of the asphalt in  
15 the parking lot.

16 MR. SHELOR: Or the toilet in a trailer. Those can be  
17 commercial grade components and equipment, but you arrive at  
18 that through the grading process at the designer documents.

19 MR. PETRIE: Excellent point. Go ahead.

20 DR. DEERE: And of course a lot of the commercial, I'm  
21 not sure a toilet, but the commercial goods that you are  
22 using have to meet some code anyway. They have to the ASTM  
23 or ASME or--

24 MR. SHELOR: That's right. But, the spec may in fact  
25 take a brochure from a manufacturer and say that is a spec

1 that we want. Now you probably most likely would have a  
2 quality control inspection to make sure that you did get that  
3 commercial grade equipment. That is only common sense in the  
4 construction of quality control.

5           There is another thing. Excuse me for  
6 interrupting.

7           MR. PETRIE: Go ahead.

8           MR. SHELOR: You have to be very careful in the grading  
9 process and in a nuclear facility. I refer you back to NUREG  
10 1055, the Ford Report that was kind of the lessons learned  
11 from nuclear facilities. One of the things that I think is  
12 amongst a lot of others is very important. If you have only  
13 one item important to safety then it may be conceivable that  
14 you can isolate that one item and all the others not have a  
15 QA program at all. I think you run into problems and yet in  
16 the planning and the conduct of the construction and building  
17 of this facility is mixing and matching. If you have to have  
18 separate warehouse areas for QA material and separate them  
19 from material and equipment that is commercial grade, you  
20 have to be very, very careful in the whole management of this  
21 construction so that you don't mix these components up.

22           And sometimes you may be better off designating the  
23 entire thing as under QA control.

24           MR. PETRIE: Okay. Criterion 5 - Plans, Procedures,  
25 Instructions and Drawings, requires design activities to be

1 conducted in accordance with approved plans and procedures.  
2 You just can't go to work. You have got to have a plan on  
3 what you are going to do. And you have to procedures which  
4 describe what you are going to do. Identification of  
5 acceptance criteria for design products, you can't just say,  
6 "Hey, Joe, go see if what we built is what you want?" It has  
7 to be a documented criteria for acceptance. Controlled  
8 changes to those plans and procedures. If you want to change  
9 them you've got to have a new revision, you have to have a  
10 record of it, you have to retrain all the personnel who were  
11 using that procedure.

12 DR. CANTLON: As you go out from a construction item,  
13 more and more in the direction of a research need, how do you  
14 get the flexibility put into that first bullet there?

15 MR. PETRIE: Well, that's not my bag. Larry Hayes will  
16 be discussing that tomorrow afternoon.

17 DR. CANTLON: Okay, thank you.

18 MR. PETRIE: We are here to talk about design.

19 DR. ALLEN: I do recall I was out in the field with a  
20 group including Jerry Szymanski who had made some claims  
21 about certain geological phenomena and I asked one of the  
22 survey people there, can you go out on a Sunday afternoon and  
23 look at this? And he said, no, it is not in the study plan.  
24 And some lack of flexibility was frustrating the system.

25 MR. PETRIE: Larry will be talking to you tomorrow

1 afternoon.

2            Criterion 6 - Document Control, that is control of  
3 design generated documents. Establishment of criteria from  
4 control of design inputs. We have talked about that. Status  
5 of design generated documents is to be maintained. That is  
6 if a document has been revised, you have to have a record  
7 that it was revised, and of course not only that, you have  
8 got to make sure that the users of that document do have the  
9 revised document, and the documentation of design changes.  
10 Most of these as Dwight says are standard for nuclear  
11 industry. Many of them are standard in the defense industry  
12 or NASA.

13            Criterion 7 - Control of Purchased Items and  
14 Services, control of procurement of items and services to  
15 assure conformance with specified requirements. This  
16 includes source evaluation and selection, objective evidence  
17 of quality by the supplier, source inspections and audits,  
18 examination of items/services upon delivery. That's pretty  
19 straight forward.

20            Criterion 16 - Corrective Actions, requires prompt  
21 identification and correction of conditions adverse to  
22 quality. It requires remedial action, that is you need to  
23 correct the problem as soon as you recognize you have a  
24 problem. If you have a drawing that is incorrect, fix the  
25 drawing. Identify the root cause of the condition. You look

1 into the drawing and say why did that mistake get into the  
2 drawing. Are there 15 more drawings with the same mistake on  
3 it. Can it be traced back to an individual? Can it be  
4 traced back to a calculational standard that has been imposed  
5 by the AE which may be incorrect? Look for the root cause.  
6 Investigate it. And, then you take corrective action to  
7 assure yourself to the extent you can that it will never  
8 happen again. And then you take and document, of course, all  
9 these actions that you have taken.

10            Criterion 17 - QA Records, documentation of  
11 evidence of compliance to QA requirements. Now many  
12 commercial industries if you provide a product, that is  
13 evidence of compliance. You built it. Not us. All the  
14 documentation has got to be in the files, legible and  
15 identifiable records, provisions for supplementing or  
16 amending the records, submittal of records to approved  
17 records facility. And in fact I send a records package to  
18 the records facility, there is somebody there who looks at  
19 every single page to make sure that every single page is  
20 legible and identifiable. If they find something that is  
21 not, back it comes.

22            Criterion 18 - Audits, Don spoke about those a  
23 little bit. But from a line organization standpoint, we are  
24 required to be auditable. We have to have the records such  
25 that when the QA organization comes to us and says have you

1 been meeting this requirement, we need to be able to  
2 demonstrate with documentation. Yes, we were meeting that  
3 procedural requirement. We must be auditable. To not be  
4 auditable is a cause for a finding.

5 DR. CARTER: What is the frequency of audit? Is this an  
6 annual audit?

7 MR. PETRIE: It is really--well Don, do you want to talk  
8 about that a little bit?

9 MR. HORTON: Currently our audits are conducted on an  
10 annual basis. The real meat of our program is the actual  
11 surveillances now where we go in on a short-term basis on  
12 specific areas that we want to take a quick look at to see if  
13 things are under control.

14 DR. CARTER: Again these audits, I presume these are  
15 external audits, again, external by DOE definition?

16 MR. HORTON: They are both external and internal. Our  
17 own operation plus the design organization.

18 MR. PETRIE: They are all external to the line  
19 organization that is responsible for the activity being  
20 audited.

21 DR. CANTLON: Are the external audits announced or  
22 unannounced?

23 MR. HORTON: They are announced.

24 DR. CANTLON: With what kind of lead time?

25 MR. HORTON: It varies. We put out an annual audit

1 schedule, but due to other circumstances those have to  
2 change, but it is announced annually.

3 DR. CANTLON: Sure.

4 MR. SHELOR: I might just add to that on the annual  
5 audit schedule, in general the state does come as observers,  
6 the NRC generally comes as observers on the audits and in  
7 addition, the NRC they believe is the latest information--  
8 they have budgeted for conduct of three or four audits that  
9 they perform on DOE. Normally they observe our audits, but  
10 they can come in and audit at anytime.

11 MR. PETRIE: Criterion 19 - Computer Software, and this  
12 is such a sensitive subject that we decided at this point to  
13 have our own criteria for it, at least for the moment. That  
14 may change. But it requires the development of computer  
15 software development and control program and development of a  
16 computer software QA plan. I don't know if any of you have  
17 any software, you probably have and if you are running your  
18 own computer you probably change your software and as soon as  
19 you saw something wrong you went in there and fixed it. And  
20 then you fixed it again and you fixed it again and you fixed  
21 it again, and a month later you say, what did I do a month  
22 ago and you say, "Oh, shucks".

23 That's not allowed. In this development of  
24 computer software development control program is to make sure  
25 that our software preparing people are under control, operate

1 by procedures. They know what they've got in their software  
2 program at all times in effect. Then there is a validation  
3 and a verification of validation program that goes with this  
4 and it is really a whole--it is worth an hour's discussion  
5 just by itself. But, let me just say, we require that all  
6 software get the same or more rigorous controls as what we  
7 have for any other part of the design program.

8 DR. ALLEN: Then this too is subject to grading.

9 MR. PETRIE: Pardon?

10 DR. ALLEN: This too is subject to grading depending on  
11 the implication of that particular software.

12 MR. PETRIE: Yes.

13 Okay, are there any questions? That's the end of  
14 my prepared talk.

15 DR. CANTLON: Where to the TIGER teams fit into the  
16 audit system?

17 MR. HORTON: They don't.

18 DR. CANTLON: They don't?

19 MR. HORTON: No. That's something that is controlled by  
20 the Secretary.

21 DR. CANTLON: So it is a tier of audits internal to DOE  
22 above the level of the QA system itself?

23 MR. HORTON: Yes, along with GAO, IG and everyone else.

24 DR. CANTLON: Right. Okay.

25 MR. SHELOR: I might add another one to that. Within



1 the Department of Energy, the Office of Environment and  
2 Safety has the responsibility on behalf of the Secretary to  
3 ensure that in fact QA programs, safety and health  
4 requirements are being met. OCRWM by virtue of the fact that  
5 we are regulated by NRC, we have an agreement with that  
6 office that we would not have dual regulatory oversight. So  
7 they look at what we are doing, but they don't come in and  
8 perform audits.

9           However, if there is an essence of a problem, the  
10 Secretary can have them come in and audit at anytime and he  
11 would probably form a TIGER team to do that. But we have so  
12 far been reasonably successful in avoiding dual regulatory  
13 compliance within the Department, but however we are not  
14 subject to the new requirements being developed by the  
15 Department within the Office of Nuclear Safety. We are  
16 required now through departmental regulations to conduct a  
17 nuclear safety self-assessment every year and to have the  
18 staff and the capability to do that assessment, which is  
19 basically how well are we implementing the nuclear safety  
20 rules.

21       DR. CANTLON: Now how would that be scheduled relative  
22 to the scheduled QA oversight, typically beforehand, I would  
23 presume?

24       MR. SHELOR: No, unfortunately, they just lay it in on  
25 top of us. The Office of Nuclear Safety, they ask us to

1 update our self-assessment every quarter.

2 DR. CARTER: Let me ask you--this may not be the time, I  
3 was going to bring it up tomorrow, but since it looks like we  
4 have got a little bit of time, I just wondered if you had any  
5 concerns so far of trying to avoid in the QA area or we are  
6 talking a little broadly about audits no, a "policeman role".  
7 In other words in auditing our Quality Assurance or  
8 scientific and technical matters, do you run into any  
9 problems of trying to separate these from the discovery of  
10 fraudulent procedures and that sort of thing? I know a  
11 number of groups that have been in this business awhile have  
12 run into this problem and they try to separate these two, EPA  
13 being a good example of this. I just wondered if you had  
14 encountered this?

15 MR. HORTON: To date, we haven't. You know, generally  
16 we already know what the program is and what we want to do is  
17 go in and verify satisfactory implementation of that program.  
18 So it is--from our respect it is not a police action.

19 DR. CARTER: Well, you know, they have encountered and I  
20 guess most of the programs in this area, they have  
21 encountered things like people falsifying data and a number  
22 of other things. People that obviously have an axe to grind  
23 in terms of some financial reward if they pass muster and  
24 this kind of thing. This is the area that I am talking  
25 about.

1 MR. HORTON: I think, Mel, that there has to be a sense  
2 of pride by the line organization in doing their work and the  
3 implementation of the QA program. We can't as a QA  
4 organization inspect the quality and the product. They have  
5 to build it in and if they want to hide something from QA,  
6 they can do it anytime they want. So, we try to promote a  
7 feeling of their own program. It is not QA's program.

8 DR. CARTER: Well I think the QA in going about its  
9 activities, might indeed either find or stumble on something  
10 of this sort, so this is the question.

11 MR. HORTON: That's correct.

12 DR. CARTER: I know in EPA's case, they even give it a  
13 different name. They call it data authenticity or something  
14 of that sort to distinguish it from QA.

15 MR. SHELOR: I think the other part of this that Don was  
16 alluding to is we have an IG in DOE to report waste, fraud  
17 and abuse and we should do that. But the other part of Don's  
18 activities in terms of independent QA is the whole concept of  
19 not only compliance but effectiveness. Are the procedures  
20 effective in getting the design resolved. And I think that  
21 is why we now see technical experts as part of the audit team  
22 come in and give some evaluation of the effectiveness of how  
23 it is working.

24 MR. BLANCHARD: Mel, I have some information that may be  
25 of use to your question. The operations office is following

1 a DOE order to conduct annual vulnerability assessments which  
2 address what Dwight just mentioned as waste, fraud and abuse.  
3 These are done by non-quality assurance people. They are  
4 done by management people who are trained or experienced in  
5 conducting waste, fraud and abuse studies. That information  
6 is then viewed by the IG or whoever is doing that oversight.

7

8           This program is annually, or this project anyway is  
9 annually subjected to a vulnerability assessment and there  
10 are documents on file that represents what those results are.  
11 Basically they are looking for misuse of federal funds of  
12 the misapplication of funds on things that are not of real  
13 direct benefit to the actual project. That goes on  
14 independent of the Quality Assurance Program and it is driven  
15 by prudence of management. And so far as I can remember,  
16 ever since I've been in this project, there has always been  
17 one of those every year.

18           With respect to looking at the data and trying to  
19 decide, is data being falsified, I think that is a part of  
20 the Quality Assurance Program, but it is also a part of the  
21 management to ensure that that doesn't happen and to set up  
22 management controls to preclude that. Some of the things  
23 that we do from the management of data standpoint to try to  
24 preclude that is to require data be prepared in some sort of  
25 a data form and to go into the local record center. We also

1 require sweeps, periodic sweeps of data in the central  
2 records facility.

3           We have data systems which use that data that are  
4 data bases and are accessible to everyone, all the  
5 disciplines on the project that need it. Some of these data  
6 systems computerize the information from a particular test  
7 and calculate mean and standard deviation and variance.  
8 Others of these data systems actually sort through what we  
9 have and compare those test measurements with measurements  
10 obtained by other people on the same subject that are outside  
11 the program. This gets compiled and is available for use by  
12 the design and the performance assessment people in the RIB.  
13 So the people that are doing design work, their performance  
14 calculations are not limited just to the test data that comes  
15 from a test that we sponsor, but anything that has been  
16 published or documented is also perused.

17           We have technical data advisory groups that sort  
18 through all the data in different disciplines like thermal  
19 conductivity and periodically decide how much more to put  
20 into the RIB. All of this is available to anyone outside the  
21 program that requests copies of it. We publish quarterly  
22 data catalogs that tells what data we have and where it is  
23 at. That is available to be distributed. We prepare rather  
24 routinely big packages of data or data tapes and turn it over  
25 to anyone outside the program that is asking for it. For

1 instance, the state from time to time makes a request for  
2 seismic data, everything that has come out of the 51 station  
3 seismic network. Or they request information for the past  
4 five years on water level monitoring in the various soils or  
5 meteorological data. So I think there are data groups, there  
6 are record centers, there are other people manipulating the  
7 data in data bases and then there is a process of getting  
8 official data into the RIB for use by design and performance.  
9 And then there is the distribution of that data in an  
10 orderly fashion to people outside the program.

11 I think the likelihood is low that there will be  
12 anything that would seriously affect designer performance in  
13 the area of errors that creep into the data accumulation  
14 process by such a multi-faceted method of acquiring, sorting  
15 through, examining, perusing the data, and then making it  
16 available.

17 DR. CARTER: Well that is informative as far as I'm  
18 concerned. I guess what I am hearing in essence is that you  
19 have the both programs and they are essentially dual programs  
20 and I presume then that there is something maybe reading  
21 between the lines, I presume if the QA program did encounter  
22 this sort of thing, fraudulent behavior or whatever, then it  
23 would turn it over to the IG or someone like this.

24 MR. BLANCHARD: Yes.

25 DR. ALLEN: Whether we like it or not, you know public

1 and Congressional concern on this issue is very high. Just  
2 this morning the New York Times had an editorial of the  
3 Baltimore alleged fraudulent data in medical research. I  
4 guess our challenge is to assure the public and Congress that  
5 we are worried about this and constructively worried about it  
6 without over-reacting and that is a difficult task.

7 DR. WILLIAMS: Ted, could you put your last slide back  
8 on there for a second?

9 MR. PETRIE: Sure.

10 DR. WILLIAMS: This is a source of a lot of discussion  
11 and I'm sure you have heard in various places.

12 MR. PETRIE: I haven't really been involved in it but  
13 I've heard plenty, sure.

14 DR. WILLIAMS: Well, I'm glad to see you split it into  
15 two parts, but I want to ask you what do you do in the second  
16 part, especially when it comes to verification and  
17 validation, which is the only place where it can be  
18 addressed?

19 MR. PETRIE: Maybe I don't really understand your  
20 question, but that is what the computer software quality  
21 assurance plan of what is in the requirement for validation  
22 and verification.

23 DR. WILLIAMS: Well, actually, I don't see how that can  
24 be done ever.

25 MR. PETRIE: Which? Both? One?

1 DR. WILLIAMS: The creation of the quality assurance  
2 plan that demonstrates verification and validation. I think  
3 you could spend years doing that and never get to first base.  
4 That is why I want you to tell me what you do.

5 MR. PETRIE: It does not demonstrate, the quality  
6 assurance plans don't demonstrate anything. The quality  
7 assurance plans tell you what to do so what you've done can  
8 be demonstrated.

9 DR. WILLIAMS: Well let's get to what you've done. I  
10 think developing a QA plan for computer software that  
11 includes QA for verification and validation which is on a  
12 slide that--I've forgotten which one you presented, is very  
13 difficult. I don't understand what the QA plan would consist  
14 of that is required by the second item.

15 MR. PETRIE: Well, I'm not the local expert.

16 DR. WILLIAMS: You are not the guy to ask, huh?

17 MR. PETRIE: No. But, I've done it. I can tell you my  
18 experience in the area, but I don't know what the project  
19 office has put in. Don, shall I go ahead or do you want to  
20 try to answer?

21 MR. HORTON: Go right ahead.

22 MR. PETRIE: Okay. Well I've had problems in this nature  
23 and first I had to do a verification and then I do a  
24 validation. In the verification we define very similarly  
25 what we do in the design process. It is where the designer



1 of the software performs his activity, gets his software all  
2 designed, all in shape, all well documented, and then he has  
3 a review by independent reviewers of that software to see if  
4 it does what his requirements were. I left out the step,  
5 first he's got a set of requirements, and then he prepares  
6 the software to meet that requirement, and then he has a  
7 verification to make sure from a independent reviewer  
8 standpoint that he is in fact going to meet those  
9 requirements with that software.

10           The validation part is the more difficult one  
11 generally because that means what you do is you are required  
12 to take input information for which you know what the output  
13 is. Put that input information into quantitative input  
14 information into your software and validate that your output  
15 is identical to what you have obtained from an experiment or  
16 some other method.

17           Now the software, the QA plan can only tell you to  
18 perform those activities. It can't tell you you are going to  
19 be successful. Okay?

20           MR. SHELOR: Let me add a little bit. We don't have the  
21 software QA experts here, but there is a couple of twists in  
22 addition to that. Really what you are talking about when  
23 they come down to a software QA play, they talk about life  
24 cycle control of the software program from the very inception  
25 in terms of documenting what your approaches are and what

1 your QA controls are going to be, a review of all of the  
2 model that you developed and the documentation all the way  
3 through to the verification and then the validation then  
4 comes in in demonstrating that the models do what you  
5 intended to do.

6           Now validation of a performance assessment software  
7 program for 10,000 years is going to be very difficult. We  
8 have to take a different approach. What we can do is to  
9 validate that it does give us the results in the time frame  
10 that we know about.

11         DR. WILLIAMS: Well there is some actual differences  
12 between what verification is interpreted to mean and what  
13 validation is interpreted to mean between you and some of  
14 your contractors.

15         MR. SHELOR: I'm sure there is, but each one, you know  
16 we have got to iron that out, but it is different. If I was  
17 going to validate a shielding code, I could do that. I could  
18 run an experiment and validate a shielding code to  
19 demonstrate that I get the right thickness depending on what  
20 the source is. I might also have more difficulty now  
21 validating a seismic response code, because now I am going to  
22 have to go in with some experts and probably end up with a  
23 peer review to validate.

24         DR. ALLEN: They are two different things. One is what  
25 if the software gives you the right answer. And the other is

1 whether it gives the answer that the programmer wanted.

2 MR. SHELOR: Exactly. That's the difference basically  
3 between a verification and validation.

4 DR. ALLEN: No one can predict what is going to happen  
5 10,000 years from now, but maybe the program does exactly  
6 what the programmer was trying to do.

7 MR. SHELOR: Right.

8 MR. PETRIE: Is it tenderloin steak in, tenderloin steak  
9 out, is that the way it goes?

10 DR. ALLEN: What?

11 MR. PETRIE: You put in tenderloin steak, you get out  
12 tenderloin steak.

13 DR. ALLEN: Are there other questions from the Board?  
14 How about questions and comments from the audience?

15 MR. HORTON: I would like to clarify something.

16 DR. ALLEN: Please do.

17 MR. HORTON: Unless you are going to do it, Ted.

18 On the previous presentation he talked about the  
19 design verification, one or more of four methods which  
20 included the design review which is normally referred to the  
21 independent design review, qualification tests, alternative  
22 calculations and analysis and the peer review. The lead in  
23 states it is accomplished by one or more of the four  
24 acceptable methods. The peer review cannot substitute for  
25 any one of the foregoing three. The peer review has to be in

1 addition to one of the others.

2 DR. ALLEN: Thank you.

3 Okay, let's break for lunch. Do you want to  
4 reconvene at the scheduled time or 15 minutes earlier?

5 Okay, the scheduled time is 1:15, and we'll  
6 reconvene at that time.

7 (Whereupon, a lunch recess was taken off the  
8 record.)

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1

2

3

AFTERNOON SESSION

4

1:15 p.m.

5 DR. ALLEN: May we reconvene, please?

6

I said this morning we'd say a few words right now about the roundtable discussion. We have posed a few questions here. Actually, Russ McFarland put these together and I'll read these off, although I think we should keep in mind that to some extent many of these questions will have already been addressed by some of the speakers, but you might jot down anything, any of you who will be members of the roundtable, of items you might wish to comment on.

14

The first four questions have to do with the conceptual design. One of these is from a QA perspective is the conceptual design phase of system development quality affecting? If it is, how is assurance provided that QA has been met?

19

Is there specific reference to the conceptual design phase in 10 CFR 50, Appendix B? A key element of the conceptual phase of design and conventional engineering practice is the evaluation of alternative concepts and the development of the rationale leading to a preferred concept. Is this activity contained in DOE 4700.1, the definition of conceptual design, and, if so, is this activity quality

1 affecting?

2           Some mention has been made from time to time to  
3 exempt prototype or scoping research activities from being  
4 classified as quality affecting. If this were to be done,  
5 would it logically follow that conceptual could be viewed as  
6 synonymous with prototype?

7           Another two or three questions. At a recent TRB  
8 panel meeting, the following comment was presented. Total  
9 Yucca Mountain Project QA program does not explicitly address  
10 the matter of staff from on participant working on activities  
11 controlled by another participant. Question, are there  
12 sufficient differences in the QA training between the various  
13 YMP organizations that will support this observation?

14           Finally, in response to Question #63 of the NRC  
15 review of the SCA, the DOE stated that the final decision  
16 regarding standards for conflict of interest and the  
17 dependence of DOE QA reviewers must remain the prerogative of  
18 the DOE and that different standards may be appropriate for  
19 different types of review topics. Question, is this still the  
20 position of the DOE? If so, what would be the different  
21 standards and topics that would warrant these differences?

22           Well, you might just keep these questions in mind.  
23 We're certainly not limited to those, but that, at least I  
24 think, might be a jumping off point for our discussion later

1 today.

2 DR. DEERE: Perhaps we can get some xeroxes of this and  
3 hand them out and also they can be glanced through.

4 DR. ALLEN: Okay. So, this afternoon, I guess our first  
5 talk is by--do you wish to introduce the speakers? Are you  
6 still in charge or--

7 MR. HORTON: Mr. Richards.

8 DR. ALLEN: Okay.

9 MR. RICHARDS: Let me start with our first slide here. I  
10 am not Al Stevens. Some of you may recognize that. I'm Bob  
11 Richards. Rather than the title that's given up there, I'm  
12 the Division Supervisor for the Quality Assurance Division of  
13 the Department at Sandia Laboratories that handles our work in  
14 this project. I guess, I ought to extend my apologies for Al  
15 not being here. I'm sure he would probably rather be here in  
16 these pleasant surroundings rather than dealing with the auto  
17 repair and insurance and travel change that he's having to  
18 deal with today.

19 In any case, I'd also like to comment a little bit  
20 about the title of this particular talk. It says control of  
21 design input. That's somewhat of a larger topic than what Al  
22 or I really intend to discuss here. What we really want to  
23 talk about, what the scope of my presentation will be, is the  
24 actions that we take at Sandia and among the other partici-

1 pants who worked with us on this to control the process of  
2 preparing information that may be used as design inputs by the  
3 design organization. There are also other responsibilities  
4 for control of design inputs that the design organization has  
5 and those will be covered, I'm sure, by Mr. Bullock later on.

6           Let me first refresh you with a little bit of  
7 history. I think most of the Board has probably seen this  
8 slide before when you've had discussions that have talked  
9 about that particular topic. And, Al Stevens or Tom Hunter or  
10 Tom Blejwas has probably tracked through the process of going  
11 from the various things that initiated the ESF Alternative  
12 Study through the process that led to the ESF Alternative  
13 Study Report, itself. Not mentioned too many times in those  
14 presentations was the fact that another -- a byproduct, almost  
15 of that activity is the production of the exploratory shaft  
16 facility design requirements and, to go along with it, the  
17 part of the repository design requirements that is related to  
18 the exploratory studies facility. The exploratory studies  
19 facility design requirements document is one of the two major  
20 pieces of information that I'd like to talk about. The other  
21 one that will be available to the design organization and is  
22 available is the reference information base for the project.

23           What I'll do is take you a little bit through what  
24 we have done to work on the exploratory studies facility



1 design requirements document, where the information that's in  
2 it comes from--many of you are already familiar with that, I'm  
3 sure--what the information consists of and then we'll talk  
4 about the controls that were applied to that process. Many of  
5 those controls are in common with the process for maintaining  
6 the reference information base. So, the discussion I have  
7 about reference information base will be somewhat shorter than  
8 that on the exploratory studies facility design requirements.

9           Where the ESFDR basically flows down from starts  
10 with the waste management systems requirement, Volume IV.  
11 Volume IV, as I understand, has to do with the repository, the  
12 mine geologic disposal system, whereas the other three--the  
13 preceding three volumes--have to do with things such as the  
14 transportation system, monitored retrievable storage system,  
15 and waste generation. That document, Revision 1 of which is  
16 very recent--January, as a matter of fact--is basically  
17 decomposed down for the things that have to do with the mine  
18 geologic disposal system into a systems requirements document  
19 and a system description document. Sandia worked primarily on  
20 that.

21           And then, from that information into a document that  
22 is specific for the exploratory studies facility design, the  
23 information is compiled again into the ESFDR. Most of the  
24 information in the ESF design requirements document comes from

1 this source through these two pathways; however, not all of  
2 it. As you can see, there's other information. For example,  
3 the exploratory studies facility is intended or the concept  
4 now is that it will become part of the repository. Those  
5 things that have to do with its performance later on as part  
6 of the repository are requirements for the design of the  
7 exploratory studies facility, itself. And, so there's  
8 information from this document, the repository design  
9 requirements document, that must be brought into the ESFDR.

10           The main reason for the ESF to exist is to conduct  
11 studies in that facility, to find out whether or not the site  
12 might possibly be suitable as a place for a repository. A lot  
13 of testing will go on in the ESF and so there are a lot of  
14 testing requirements that come out of the site characteri-  
15 zation plan baseline that must be incorporated into the DR.  
16 There are also a number of environmental regulations and so  
17 the environmental regulation compliance plan also provides  
18 information that must be brought into the ESFDR.

19           Let's look briefly at what the document consists of,  
20 itself. The first volume of the exploratory studies facility  
21 design requirements document is as shown. Basically, all this  
22 is, once you get past the initial general introductory  
23 information is a breakdown of the individual physical  
24 subsystems and functional subsystems that have to do something

1 in order for the ESF to function as a whole. This is the main  
2 body of the report, general content-wise. And, that is backed  
3 up by the second volume of the report or the document which  
4 provides a lot of background information. For example, I  
5 mentioned earlier the information from the repository design  
6 requirements that impact the exploratory studies facility  
7 right there in what is--they're not numbered here or named  
8 here--but is the first appendix, Appendix A, of the ESFDR.  
9 Just essentially a direct carryover of requirements that the  
10 repository must meet that have to do with the exploratory  
11 studies facility itself that must be addressed in the design.  
12 The second two appendices are those that primarily flow out  
13 of the site characterization plan, the testing requirements,  
14 the requirements for underground tests and drilling  
15 requirements that are related to the ESF. I mentioned earlier  
16 the environmental regulations that must be met. They're  
17 listed here as Appendix, I believe it's J. I'm not sure.

18           In the middle of this set of appendices is some  
19 information that's very important to us as a project because  
20 of the need to show linkage between a design, the design  
21 requirements, back to the basic requirements that that design  
22 is intended to meet. And, here, you have a set of appendices  
23 that serves to tie in with higher level reference documents  
24 and provide a cross reference, individual requirement by

1 individual requirement, concerning where they appear in the  
2 ESFDR and where they appear in these two higher level  
3 documents, the waste management systems requirement and 10 CFR  
4 60.

5           I've told you now what's in it and how we got there,  
6 as far as flow data from higher level requirements. Another  
7 obvious question is, well, how did we control that process?  
8 What did we do to insure that it came out right? Well, that's  
9 one of the basic philosophies that we have at Sandia for  
10 control of any of the work we do that's quality related and  
11 that's that we want the work to be such that whatever you use  
12 as inputs to the process, they will be capable through the  
13 process of producing the desired result. In the process  
14 itself, we take actions to insure that it's sound and in  
15 control, so that we can count on the result being good.

16           We've --not so much as an afterthought, but because  
17 it's a good idea--also checked the result to make sure that  
18 the result is, in fact, adequate, that our process controls  
19 did work. Here, you see some examples of the things and these  
20 are essentially reiterations of what you saw earlier this  
21 morning in, I think, two different presentations. Some of the  
22 things that go into the process of producing the ESFDR are  
23 people and information. We apply controls to those; qualified  
24 people trained, familiarized, indoctrinated as you saw this

1 morning, and information that we know has come from a current  
2 correct, valid source. This particular aspect provided us  
3 some interesting times during February in that the time frame.  
4 From the time that the waste management systems requirement,  
5 Volume IV, Rev 1, was finalized and then to the time that we  
6 had to essentially flow-down that information into the ESFDR  
7 was relatively short and we had to do some interesting things  
8 to make sure that we were, in fact, using the correct current  
9 information rather than one revision old of any of those  
10 documents that I mentioned earlier.

11           We use plans and instructions and documents which  
12 establish agreements between ourselves and other organizations  
13 about what we're going to do to help control the process  
14 itself. In that, there are some reviews that occur and at the  
15 end of the process, before the final product is turned over to  
16 the DOE, we also do a final review. And, across the whole  
17 thing, we do task focused QA surveillances.

18           I was asked to describe specifically what the  
19 quality assurance organization does in this effort. It was  
20 really two things that we do. We do general activities which  
21 are not so much focused on a particular work activity, as much  
22 as things like establishing an environment in which that basic  
23 philosophy I mentioned a while ago will be achieved, will be  
24 adhered to. The philosophy that we start with good inputs, we

1 control the process to come out with a good product, a good  
2 result. And then, of course, we're still involved in detailed  
3 day-to-day activities. Some examples of those are as you can  
4 see here; reviews of those various plans and instructions and  
5 interface documents that I mentioned before, the surveillances  
6 that I mentioned are focused on the specific task at hand and  
7 the important aspects of that test, and then using this, as  
8 well as possibly results of auditing efforts if the auditing  
9 effort occurs in a time frame that covers the work we're  
10 concerned with. We use that information to provide feedback  
11 to management and technical staff to help them make decisions  
12 to keep the process on track.

13           Now that I've generally gone through the process  
14 that we utilized in dealing with the exploratory studies  
15 facility design requirements document, let me talk about the  
16 reference information base. That's the other major item of  
17 information that may be used by the designers and selected as  
18 design input. It also is essentially a process described  
19 here.

20           What we want to be able to provide is information  
21 that is usable by designers or scientists for their needs in  
22 doing the work on the project. Generally, the process is that  
23 by means of the work breakdown structure, the site  
24 characterization plan, and other vehicles, individual

1 participants know what kind of information they're responsible  
2 for generating. They do that. They go out and collect data,  
3 they then pass that data--not totally raw data, but to some  
4 extent, processed--to the Yucca Mountain Project technical  
5 database, also known as the site and engineering properties  
6 database. It's a database of numbers, of large amounts of  
7 numbers from individual experimental efforts.

8 DR. DEERE: Question?

9 MR. RICHARDS: Yes, sir?

10 DR. DEERE: For instance, if you had a--let's say, we had  
11 one of the new borings coming in. Where does that information  
12 go, the boring log?

13 MR. RICHARDS: Okay.

14 DR. DEERE: Would that get into it or does it have to be  
15 tested before information goes in? Let's say that you hit a  
16 zone that the field geologist called fault zone at a given  
17 depth. Does that get into--

18 MR. RICHARDS: The way I describe that, sir, is that the  
19 geologist here working for the participant organization would  
20 develop his information from his bore log that is quantifiable  
21 and would be able to put quantifiable data into the site and  
22 engineering properties database, all the data he wants to, as  
23 many data points as he cares to. The site and engineering  
24 properties database is a computer database. So, it's not very

1 well set up to handle qualitative or narrative information.  
2 That information can be gotten via this--these are actions and  
3 this is a process--into the reference information base itself  
4 if it's analyzed to be the kind of information that can be  
5 representative of the information that's needed by the project  
6 users. Did I help?

7 DR. DEERE: Well, you may have. Well, I mean, the most  
8 important thing in a given boring may well be the presence of  
9 a fault and a fault that's not going to be crossed, let's say,  
10 or particularly looked for in the underground drifting  
11 program. And, how does that information stay up front and  
12 doesn't get lost?

13 MR. RICHARDS: Okay. There's another pathway not shown  
14 here. That investigator will, most likely, write some kind of  
15 technical report in words--maybe with a lot of data with it--  
16 but in words that explains his findings. Those technical  
17 reports, then, for one thing, are distributed into the public  
18 domain and also into the project's record system, so that they  
19 are available, referenceable by other people at the project or  
20 other people outside the project to be able to use.

21 MR. BLANCHARD: Don, I might help a little bit. Maybe it  
22 would help if we took an example. Let's say, are you thinking  
23 of a logging report where a field geologist is looking at core  
24 that comes out of a drill hole or are you looking at a field



1 geologist's map having walked down a drift and started mapping  
2 fractures and rock characteristics?

3 DR. DEERE: Let's say one of the borings. You're going  
4 to have several 500 foot borings made early in the program,  
5 once we get site access on Yucca Mountain. Let's say that,  
6 boy, he found a zone there, poor recovery and fragmented  
7 material that to him shows it's a fault zone. Okay. In that  
8 case there, how does that really get jiggled into the--

9 MR. BLANCHARD: Well, we have a straight forward process,  
10 I think, that's probably similar to what you're accustomed to  
11 seeing and then we have another route which is an unusual  
12 occurrence route. In the first case, whoever the PI is that's  
13 doing that would be preparing his report, acquiring data, and  
14 then writing interpretations in that report. Every 45 days,  
15 some piece of information from that goes through a sweep and  
16 it goes into the local record center, and then when the report  
17 is finished, along with his interpretation, that is then  
18 delivered to the project to go through final review and  
19 release. Along with that, the raw data comes in, the actual  
20 logs and things like that. That goes into the central records  
21 facility. But, in the meantime, he's already put that into  
22 the local records facility and the central records facility.  
23 Then, that information is drawn from if there's numerical  
24 information by the people that run databases like the SEPDB

1 where they want to calculate mean or standard deviation,  
2 variance, things like that. If it's not, if it's more like a  
3 map, then it's used by those people in the RIB who want  
4 qualitative data. Now, there's general characteristics of the  
5 rock units from a stratigraphic standpoint or other features  
6 of discontinuities between one rock unit that weren't  
7 expected. That kind of information, maps that are made based  
8 on an interpretation, whether it's photo interpretation or  
9 core logs, those come out in our daily catalogs which occurs  
10 periodically and through this data committee, technical data  
11 management group. This kind of information is periodically  
12 reviewed and determined to be desirable attribute for the RIB  
13 because designers or PA people want it. So, it formally goes  
14 into the RIB.

15           Then, we have a procedure that we call unusual  
16 occurrences and that one, any time something significant that  
17 wasn't expected in the field is encountered, we follow what's  
18 in that procedure and that generally says, hey, if this is  
19 something that the principal investigator didn't anticipate  
20 and there's some reason to believe it could have an adverse  
21 impact on design or waste isolation or something of that sort,  
22 then let's raise a flag. Let's call in some review team.  
23 Let's take a look at what's going on. Let's try to decide  
24 whether we need to continue with what we're doing. Let's

1 decide whether we need to notify NRC of this occurrence. So,  
2 a course of action is developed based on a plan that's  
3 written, more or less, within 24 hours, you might say. I  
4 can't remember the time frame, but in a relatively short  
5 interval.

6 DR. DEERE: Is that up here amongst the letters?

7 MR. BLANCHARD: The unusual occurrence AP isn't AP-30 or  
8 AP-5.2. It's a different one. It's another route in case--

9 MR. RICHARDS: A way to think of that is that this other  
10 information change coming in here might serve to represent--  
11 that would be one example of other information. Other  
12 information also might not be unusual, at all. But, although  
13 it's somewhat obscure, that's a way to think about that.

14 MR. BLANCHARD: I don't know if we're helping answer your  
15 question as directly as we can.

16 DR. DEERE: No, you are. I just want to make sure that  
17 in such a very large program that we have and so much data  
18 being collected, so many different organizations going, that  
19 the effort in trying to make sure that we're going through the  
20 correct steps has one in it that does exactly what you've just  
21 described. You hit a fault, immediately it's an unusual  
22 occurrence or, I would say, it's certainly a significant  
23 occurrence for somebody to look at and decide what it's going  
24 to do and that information must get out, like you say, if it's

1 24 hours, great, or one week. But, that's the kind of stuff,  
2 what we're really, really interested in because that's the way  
3 the program is going to evolve. As soon as one finds one of  
4 those occurrences, what do you do next? Well, you review your  
5 plans up to that moment and say, well, we're not going to make  
6 the boring over there. We've got to come in now and come  
7 across here and see what attitude we have on that because  
8 maybe the first boring wasn't able to get enough information  
9 to determine its orientation and the people in hydrology are  
10 going to be very interested in what's the permeability  
11 characteristics of that and these are questions that want to  
12 be raised real fast, I think.

13 MR. BLANCHARD: Yeah, the creative and difficult part of  
14 that, I think, is trying to decide when is something you've  
15 seen an unusual occurrence.

16 MR. SHELOR: Can I offer some insight? It seems to me  
17 that by definition it's an unusual occurrence if it was not  
18 considered in the analysis that formed the basis for the  
19 design. In other words, if you run into a situation where  
20 your physical properties data exceeds the bounds that you used  
21 as the basis of your design, you have to stop and reassess  
22 that design and impacts on it.

23 DR. CARTER: Well, is this spelled out specifically? I'm  
24 somewhat familiar with DOE orders that relate to unusual

1 occurrences in the health and safety area. And, they're  
2 rather specific. You know, if exposures either do or are  
3 suspected, the amount is such-and-such an exposure, then you  
4 have to--

5 MR. BLANCHARD: Yes, it's not identical to that, but it's  
6 fashioned in a similar vein. And, if there's something in the  
7 RIB that doesn't provide enough information for the designer,  
8 I would think the first thing the designer would do or the  
9 performance assessment person would be to go back to the  
10 record and, when he looks in the records package, he's going  
11 to find probably a photograph of these features. He's going  
12 to find an actual drawing made by the individual that did the  
13 work. He's going to find a drill hole completion report or a  
14 core analysis report prepared by either that individual or  
15 some people that work for him. He's going to find a QA  
16 records package that shows what surveillances and what QA  
17 procedures were followed in the course of doing that work.  
18 And, he's going to find whether there was an unusual  
19 occurrence report filed as a consequence of that activity,  
20 too. All of that should be in the records package for that  
21 particular item, if it was a drill hole or if it was mapping  
22 along a face of a drift.

23 DR. DEERE: I was a little worried about your answer,  
24 Dwight, when you said that if it had been anticipated in the

1 design, then it wouldn't be called an unusual occurrence. To  
2 me, it's not a question of unusual occurrence, it's whether  
3 it's a significant occurrence. Because, usually, the designer  
4 doesn't expect a given fault at a given location of a given  
5 thickness. Now, he might when you drill for one that's been  
6 mapped on the surface, but still when he finds it, it's  
7 information that is so important that I think it's a  
8 significant occurrence, maybe not an unexpected occurrence.

9 MR. SHELOR: Right. Right. Well, rather than them to  
10 drill--for example, you have done your drilling. You have an  
11 estimate of what you expect to find and you start your tunnel  
12 boring machine and then you find something different. That's  
13 really unusual and you may want to go back and check your  
14 analysis that formed a basis for your design to make sure that  
15 you're still okay on the physical properties and the tunnel is  
16 not going to collapse on you or you have the right  
17 reinforcement on it. It's that kind of thing that you need to  
18 do. However, if in the analysis of the original design for  
19 the tunnel support, the assumptions were broad enough and  
20 whatever you find falls within that range, you may not have to  
21 change your design.

22 DR. CANTLON: We've been talking kind of at the show-  
23 stopper side of the continuum. So, let's go at the other  
24 extreme. What sort of process do you have to sort of look at

1 a economic component of the QA oversight? In other word, the  
2 cost effectiveness of the program? Where do you hit that  
3 diminishing return on accuracy? Is there some kind of a  
4 screen of how much is enough? Anything--

5 MR. RICHARDS: I will take a stab at that, although I  
6 welcome Don Horton's additional comments. To some extent, the  
7 grading process addresses that. Although there is not a real  
8 heavy-handed cost benefit, economic consideration in the  
9 grading process, the grading process does consider the degree  
10 of importance of some particular piece of work to the project  
11 as a whole and applies controls, hopefully, commensurate to  
12 that. Cost and delays are one of the numerous considerations  
13 in there. But, as I said, it's not a real high profile  
14 consideration.

15 Don?

16 MR. HORTON: The QA costs are so minimal, we don't even  
17 worry about it.

18 MR. RICHARDS: Of course, another consideration is that  
19 by maintaining an effective quality assurance program that's  
20 going to insure that this program is, whatever the outcome is,  
21 successful as opposed to unsuccessful when we come to  
22 licensing. It would be a big problem if we came to licensing  
23 and could not--if we submitted the licensing, could not defend  
24 it. There would be a lot larger cost than whatever the QA

1 program consists of.

2 MR. SHELOR: I think that's a very important point and,  
3 you know, in that context, not as far as Don would go, but QA  
4 is a cost of doing business. It's a cost of doing this  
5 business.

6 DR. CANTLON: But, it's like auditing. You can audit  
7 every transaction that ever takes place except that it now  
8 requires a total GNP to do it.

9 MR. SHELOR: Well, that's correct. But, at the risk of  
10 getting NRC mad at me, let me relate to you my understanding  
11 of their philosophy in overseeing our QA activities and also  
12 at nuclear power plants. If they come in and observe an audit  
13 and there is a problem, they're going to look at the  
14 corrective action and they're going to see if timely action  
15 was taken in correcting the problem. If it was, then they'll  
16 probably drop it. If it wasn't, then they're going to look  
17 more often in that area and they'll look for systemic problems  
18 across the board and they will continue to audit problem areas  
19 until they're no longer problem areas. Because you simply  
20 don't have, anybody, sufficient resources to just audit  
21 everything all the time. But, you do through the process--and  
22 I think it's a very good approach that NRC has. They have  
23 insufficient personnel to audit everything that we do, but by  
24 looking at how well we're implementing our own internal



1 audits, they can get a good feel for where they need to  
2 concentrate.

3 DR. CANTLON: I take it there's no formal cost  
4 effectiveness study component yet in the QA oversight system?  
5 Am I correct on that?

6 MR. HORTON: Not really, that's correct.

7 DR. CANTLON: Okay. Thank you.

8 MR. HORTON: I wasn't being entirely facetious when I  
9 said that QA cost was so minimal. In reality, to the overall  
10 cost, it is minimal and it's come down significantly in the  
11 past year. There are areas that we can improve in and we're  
12 doing it.

13 I would like to address Dr. Deere's comment. I  
14 think it was about the plan or what happens if we don't get  
15 the right results. You know, each time someone performs some  
16 activity, they have this plan. They follow that plan on  
17 whatever work they're going to do. They have an expected  
18 results from that and what happens if you don't get those  
19 results. To me, it's just a continual feedback loop in  
20 everything we do. It feeds back in to what the end produce is  
21 that we're trying to get. So, if it comes out with the  
22 results different than what he had anticipated, it feeds right  
23 back into the overall system.

24 MR. RICHARDS: Another aspect about the cost effective-

1 ness, I mentioned earlier task focused surveillances. Both in  
2 surveillances and audits, we are careful to focus our  
3 activities on things that are apparently important to the  
4 project as opposed to everything, so that we're being  
5 effective in looking at things that are important to manage-  
6 ment so we can provide them that feedback for them to make  
7 decisions about things that are important.

8 DR. CANTLON: It was the absence of that in your diagrams  
9 that triggered my question. I didn't see that that was  
10 explicitly in your plan.

11 MR. RICHARDS: One comment to wrap up on this, somewhat  
12 explicitly here, some of the QA controls that are in here is,  
13 as indicated by these little parenthetical alpha-numeric  
14 designations, those are procedure designaters. The people who  
15 work on the experiments and collect the data have plans and  
16 procedures to do that. We have a work plan and a set of  
17 procedures for maintaining the technical database. This  
18 process, although it may vary from time-to-time, will have  
19 some kind of definition document about how the approach will  
20 be and the reference information base has its own set of  
21 procedures. So, there's a structure there.

22 So, to wrap up, the two main components that we, the  
23 project, are providing to the design organization as  
24 information that they can use as design input is the reference

1 information base and the ESF design requirements document.  
2 And, I hope I've given you an idea of what's in them and how  
3 we've controlled the work preceding what the design organiza-  
4 tion will do.

5           Do you have any other questions?

6           DR. DEERE: Well, I think the thing that probably  
7 triggered my question of a few minutes ago is in the technical  
8 database, as you pointed out, if you have a numerical value,  
9 why you can put it in. And, I think we have all of the  
10 strength data of all of the samples that have been tested, we  
11 have permeability data, et cetera, et cetera. But, it's much  
12 more difficult, it seems to me, to be able to catalog in that  
13 you have a fault so that's it kept up in front of people's  
14 mind. And, I will cite DOE as an example of presenting us  
15 several cross sections that we've talked about two years ago  
16 when we were getting into the program and then we had another  
17 talk on the Ghost Dance Fault and they showed the nice fault  
18 and the offset of the formations and really triggered some  
19 questions, obviously. And then, the next few presentations,  
20 we got the fault was gone and it got lost someplace. And, the  
21 designers and other people in the program were working as if  
22 we had a perfectly known and unfaulted zone within the Yucca  
23 Mountain block, not during certain ends in the boundaries.  
24 But, that one disappeared. Well, I think they've been very

1 careful in the last year that they never show us a cross  
2 section that doesn't have a Ghost Dance Fault offset a little  
3 bit when they're presenting to this group and I presume to  
4 others. Because it's the qualitative data that isn't all that  
5 easy to get a finger on until you make the test if you do do a  
6 permeability test, although I guess if you put in core  
7 recovery or fracture frequency at the core, you would have a  
8 numerical value which would stand up as being considerably  
9 different than the rock above it and below it. And, that  
10 could be an indication, certainly.

11 DR. ALLEN: Other questions?

12 MR. RICHARDS: Well, I'm done with my information and--

13 DR. ALLEN: Well, I thought this was as if Al was  
14 talking.

15 MR. RICHARDS: I'm presenting the information for both Al  
16 Stevens and myself.

17 DR. ALLEN: Okay, all right. I thought there were two  
18 presentations.

19 This is also just one presentation, but two authors.  
20 Is that--

21 DR. DICK BULLOCK: It's one presentation and, if you want  
22 to hear more about QA and our shop, then Mike Regenda is here  
23 to give you more. So, I'll cover some of it and you be the  
24 judge how much more you want to hear.

1           I'm Dick Bullock from Raytheon Services Nevada and  
2 I'll be giving you the A/E's aspects of some of the same  
3 things you've heard earlier. And, I'm sorry to repeat the  
4 things, but it's from the A/E's perspective and it's what we  
5 do with the rules and the regulations or the requirements that  
6 are put down to us. In the first place, I will cover a flow  
7 chart. Ted has kind of stole my thunder in tabulating  
8 everything. So, I wanted to be different. I put a flow chart  
9 to show you the design process and it's a little complicated,  
10 but I'll try to show you how we apply our design procedures to  
11 control each portion of our activities in the design process.  
12 And then, I want to talk about the A/E's considerations in  
13 design and how they do apply as they would at a nuclear plant,  
14 but maybe differently than a normal A/E designing a mine or  
15 some industrial plant. This, we'll be covering here.

16           At the top of the chart, these two boxes pretty well  
17 represent--or maybe the top three there represent--what you've  
18 heard from the Sandia and what you've heard about the  
19 requirements documents that flow down to the A/E. As Ted said  
20 this morning, these various documents flow to us and we have a  
21 right to--in fact, we have an obligation--to read them, be  
22 sure that we can design through them, be sure there's nothing  
23 in it that will create a problem for our design, and we  
24 finally then accept them. If there's something that we feel

1 that we can't design to or we have a little problem with it,  
2 we'll work through the--resolve the consideration and it will  
3 come back to us and then we'll finally accept it.

4           Now, we do have this iterative process described in  
5 one of our procedures. I know these numbers mean nothing to  
6 you, but it just shows that they are numbers of our design  
7 procedures. Design methodology describes how we take care of  
8 that. Also, once we accept all those design inputs--and they  
9 come in volumes and we literally turn them into another  
10 volume--but, in the process, it goes through our--we baseline  
11 these and put them into a tracking mechanism, so that every  
12 design input that we use is tracked all the way through the  
13 design process to the design output. And, it may splinter and  
14 go into many design outputs, but we have to track it because  
15 that's a part of our requirements. So, that is why it is  
16 controlled by configuration management. That's our internal  
17 --ours and the configuration control board.

18           So, the information comes down to us in various  
19 documents as was described, the RIB or the ESF design  
20 requirements document. It flows into us and we prepare what  
21 we call a basis for design. On some companies in industry,  
22 they have something like this. We called it design memorandum  
23 at the company I worked for before. But, it's one document  
24 that all the engineers can come to. They don't have to

1 interpret from 10 CFR 60 or from anything else. It's all  
2 right there in front of them and it's already been interpreted  
3 for them and everybody knows to use this piece of data for  
4 that type of work. And, furthermore, it shows that the A/E  
5 has done his homework and can respond back in paper for his  
6 engineers to actually have something to work with.

7           So, the basis for design is learning an internal  
8 document for the A/Es and you also bring in other design  
9 inputs. MSHA regulations, we have to follow them. OSHA  
10 regulations for the surface, we have to follow. They're in  
11 there. Many of the ASTM standards or whatever IEEE standards  
12 we may be using, it will be in there. So, whatever we want  
13 the engineer to follow, it will be in the basis for design.  
14 And, by the way, there's a procedure which controls how we  
15 prepare this document.

16           The other document that Ted mentioned earlier was  
17 the engineering plan and he's gone through some detail  
18 describing to you what the engineering plan is. So, I'll not  
19 do it. But, we also have a procedure which tells us how to  
20 prepare the engineering plan. So, every time we prepare one  
21 of these for whatever design purpose, it's always done the  
22 same way and the records are kept on it.

23           At the same time we're doing our engineering plan,  
24 we're also working on grading packages for this activity or

1 these activities that we're going to be carrying on. And, you  
2 also heard what the quality assurance grading is and you'll  
3 hear more about it tomorrow. But, these packages that are  
4 turned into the project office, just as the engineering plan  
5 is, we can't proceed with our design until we get approval on  
6 both aspects, the QA grading, as well as the engineering plan.

7           And, finally, when we do reach the approval, we can  
8 proceed with our design process and really begin our design.  
9 And, these boxes down here represent the design process.  
10 Whether you're doing analysis which would lead into a tradeoff  
11 study which leads into making drawings or specifications,  
12 whatever it is, we have procedures that tell you how to do it  
13 and how to document it. And, our engineers must follow these  
14 things. First of all, we have a configuration management  
15 procedure so when something reaches a certain point, it's  
16 baseline. Design analysis, design interdiscipline review, and  
17 intradiscipline reviews are spelled out in our procedures,  
18 processing the documents, the record keeping, and so on.

19           We also have procedures talking about interfaces.  
20 They're sub-tier to the APs that were spoke of earlier, but  
21 they are in our shop. We handle the interfaces with other  
22 participants. And, we also have a software quality assurance  
23 plan because we do use software to design quality affecting  
24 items. So, we have a software quality assurance plan that was



1 approved. And, we have some six implementing procedures that  
2 we follow in verifying and eventually validating our software.  
3 Now, we have a considerable advantage over the PIs. The PIs  
4 are normally developing software from scratch. We're using  
5 software off of the shelf. Nevertheless, we still have to  
6 document the life cycle of that software, even though it was  
7 developed by someone else in industry and maybe used many,  
8 many times, like FLAK used all over the country. We still  
9 have to go through the process of documenting it for our  
10 record keeping.

11 DR. DEERE: Where does the PP-03-13 or 03-10 come from?  
12 What's the origin of those?

13 DR. BULLOCK: We had to sit down and write procedures  
14 based on the upper tier documents. I was not here when the  
15 originals for Fenix & Scisson were written, but they're  
16 simply--they're basic procedures that you would follow in an  
17 engineering design shop except the documentation many times is  
18 different. I mean, you're following the upper tier document  
19 --I was trying to think of an example. Well, for example,  
20 someone brought up about the engineers' notes. An engineer  
21 may be going through calculations that we've all done. If you  
22 sit there and you scribble your notes and you work in a hurry,  
23 you come up with an answer. Well, another engineer can sit  
24 down beside you and check those notes and you're sitting right

1 there with him and he can probably follow through it and check  
2 your work, but that's not good enough. That's got to be  
3 microfilmable in order to preserve the record. And, so it's  
4 little things like that that are in the procedures. They're  
5 part of the flow-down requirements. That's just an example.  
6 I mean, there's lots of other ones there.

7 MR. HORTON: The requirements come from their QA program  
8 description document and these are the implementing procedures  
9 which describe the exact process for design review, everything  
10 else that they have.

11 DR. BULLOCK: Going back to the original bullet here, in  
12 other words, all this process flows down from the QARD which  
13 is their document, which flows to our document, the QAPD, the  
14 quality assurance project design description, and then it  
15 flows into our procedures. We implement what's in the QARD  
16 and the QAPD into our procedures. But, there are many other  
17 things that get into them also that are not necessarily in  
18 there. Good engineering practice, we would put in there also  
19 if we want something done a certain way.

20 DR. DEERE: I think these design reports are similar to  
21 what are used quite often in some of the hydroelectric  
22 projects. In making the proposals for the projects, some  
23 engineering firms have as part of their proposal a certain  
24 amount of money and time assigned to prepare the design

1 reports, a design on the spillway, a design on the dam, a  
2 design of the turbines, et cetera, et cetera. Others do not.  
3 So, they have a lower price and the owners often go with a  
4 lower price. And, being on the board of consultants that  
5 looks at these things over a period of years on many different  
6 projects, what you find is that the owner is shorting himself  
7 considerably if he doesn't require the design report which  
8 documents the alternative studies they have made, their reason  
9 for selecting this, the calculations showing it, two or three  
10 drawings on the back that document it. And, as you say, you  
11 have a baseline document there and it stands forever.

12 DR. BULLOCK: And, also in the engineering plan, we are  
13 bidding a job, but in a sense, we're telling DOE, okay, you're  
14 giving us a general scope of work, now we're coming back and  
15 giving you our interpretation of what deliverables there will  
16 be in this scope of work, and they'll spell it out in the  
17 engineering plan, then we'll estimate the man-hours for each  
18 deliverable. In the case of the studies right now, there's  
19 190 of them. We'll estimate the man-hours and we'll cost out  
20 and we'll budget that and that's what in the engineering plan.  
21 They see from our point of view what it's going to cost them  
22 to do this piece of work. So, we do go through this.

23 DR. CANTLON: Before you take that off, looking at your  
24 quality assurance grading there, could you give us some kind

1 of a feeling, rough ball parks, of what percent of the process  
2 goes into one of the grades versus another? Is that a  
3 significant sorting action that takes place or is it  
4 predominately going one way with a rare exception getting into  
5 one of the other grades?

6 DR. BULLOCK: I say we tend to err to be conservative.  
7 We tend to err to--we sure don't want to slight something if  
8 there's a chance that someone may construe it or twist it  
9 around to be something that you might get away with it. And,  
10 someone mentioned earlier that if you're going through a  
11 design process, it's a little bit difficult to work the two  
12 sets of procedures, one that isn't QA and one that is. And,  
13 your training engineers--and these engineers get a mindset. I  
14 mean, engineers are regimented and they'll follow a set of  
15 regulations that you want them to follow in doing their work  
16 and you're better off to let them go ahead and do it at the  
17 conservative standard. And, that's my opinion.

18 MR. SHELOR: I think it's also important to point out  
19 that the grading process that's being implemented now doesn't  
20 result in a grade like 1, 2, or 3 or A, B, and C. The  
21 controls are selected from the entire suite of QA controls  
22 that need to be applied to that particular work activity based  
23 on its intended use. So, there's not one that's called QA  
24 work or QA level 1, 2, or 3, being different QA controls. The

1 grading process assigns a QA that holds to the work based on  
2 what its eventual use will be.

3 DR. DEERE: Like this would be 3, 6, and 14--

4 DR. SHELOR: In terms of criteria. For design, you know,  
5 you can go through the suite of 20 criteria which they've done  
6 and identify half of them as being applicable to the design  
7 effort itself.

8 DR. BULLOCK: If you were in Title III where you were  
9 constructing an inspection, it would be another set for  
10 inspection and corrective action and things of this sort.

11 MR. BLANCHARD: All right. I might be able to give you  
12 an example of QA and a non-QA graded event. Suppose someone  
13 was going to prepare an analysis of some mapping along a drift  
14 and provide that as an input to the design team. And, in  
15 order to get that mapping product finished, they call out our  
16 process. Our Q process calls out the review must be multi-  
17 disciplined and it must follow an AP that we have called 6.04.  
18 That requires a multi-disciplined team of people who didn't  
19 author the report to review and comment on that report. It  
20 requires that those people show evidence in the record that  
21 they were adequately trained, educated, had appropriate  
22 experience, and if there's any special procedures that they  
23 were trained in that before they reviewed the report. And,  
24 that all comments on that report were documented on a special

1 form and that the comments went back to the author, that the  
2 author worked off every one of those comments by either  
3 talking to the commenter and getting an amenable resolution in  
4 his written report or by making a change or by saying we can't  
5 reach an agreement, let's go to our boss and get our boss to  
6 get in the picture to see if we can resolve that comment.  
7 And, that could go all the way up the chain. In the end, when  
8 that report is finished, along with a data package, it comes  
9 in to the designer through these record keeping processes and  
10 databases and things like that. But, the actual report comes  
11 in for project approval with the records package with it.

12           Now, that's a very structured, very documented  
13 process and it allows you 10 years hence, when all the people  
14 will have left the project that are involved in that  
15 particular activity, as Dwight mentioned this morning, to go  
16 back into the record package, pull it out, and see who did  
17 what, what their training was, what they said, what the debate  
18 was, whether they were all resolved or not.

19           If, on the other hand, you were off the site and all  
20 you were trying to do was to decide whether to run a road  
21 around the right or the left, the north or the south side of a  
22 mountain, and you were going to cut part of a slope off, and  
23 it was outside the control zone even, couldn't possibly  
24 conceivably have anything to do with the design effort on the

1 repository or waste isolation, then you might not want to  
2 spend the time and money to go through this regimented 06.04  
3 review. What you might have is the guy that was doing the  
4 grading and the geologist that was helping do the routing on  
5 that get together and talk about it, the geologist write a  
6 report. It would be reviewed by a supervisor and it would be  
7 a letter report to go to the road construction group and the  
8 designer of the road siting and that would go in their package  
9 and it would be in the system, but not in Q, the formal record  
10 system that's there. If you want to retrieve it from the  
11 letter files, you know about the subject and you do a sort on  
12 subject or you know that the letter is XYZ #227 dated such-  
13 and-such. You could go back into the administrative records  
14 and pull that out, out of either the design team or the  
15 originating organization. But, that would be all that would  
16 be there unless you actually asked for something other than  
17 that.

18           And, so from one side, what I've given you is a  
19 spectrum of, one, a full QA applied program to the other one  
20 which is let's don't go through this heavy regimented Q  
21 system, let's just use, more or less, administrative protocol  
22 for getting the input to the designer for whatever he's going  
23 to do because it doesn't matter in terms of safety and health  
24 with respect to the NRC licensing process.

1 MR. SHELOR: That's correct and that would be pointed out  
2 in the grading report for that activity.

3 DR. DEERE: It would be rated how?

4 MR. SHELOR: It would be called out in the grading  
5 report.

6 MR. BLANCHARD: The grading report would explain whether  
7 you were going to use AP-6.04 or whether you were just going  
8 to write a--have the siting geologist write a letter to the  
9 designer of the routing and the construction crew for how to  
10 cut that slope.

11 MR. SHELOR: Yeah. Part of the philosophy there is that  
12 on every activity, there is a conscious decision made and  
13 recorded on how you're going to do it.

14 MR. HORTON: I would like to make one final comment about  
15 this grading. There's one step that's involved prior to  
16 grading that is very significant. That's an evaluation to  
17 determine what type an activity this is, whether it's on the Q  
18 list or whatever. The grading comes in after that. If it's  
19 determined to be important to waste isolation, et cetera, then  
20 the grading is quite important. If it comes out of that, then  
21 it's management controls in many cases then, what management  
22 decides they want to put on it.

23 DR. BULLOCK: Okay. And, you're going to get more on  
24 grading tomorrow. I was down here where we had produced our



1 design output documents and they're ready to move on. One  
2 thing, the A/E has a responsibility for the verification that  
3 Ted also described this morning and we have a PP which  
4 describes basically the four processes. We intend to use  
5 design review on everything we can see in sight right now.  
6 There might be some computer work that must be verified or at  
7 least validated by peer review, but I think primarily design  
8 review will suffice in every case.

9           Once it's gone through design reviews or  
10 verification, then we submit it to the project office for  
11 their acceptance. They, in turn, are ready to do their  
12 management or technical review. In which case, there  
13 undoubtedly will be people who will find things that they--  
14 well, back up in verification, let me go back there for just a  
15 minute. One of the things that the outside independent people  
16 will be looking at is does it meet the requirements? Along  
17 with that, from the way I see it, any performance assessment  
18 which you have started in the design process, you hope to  
19 involve the people doing performance assessment before you get  
20 there, so that by the time they get down to verification, they  
21 can finalize on performance assessment and the verification,  
22 also. That's what we would hope for. And then, as there are  
23 changes in the design review process--maybe they missed  
24 something back up there and there is a requirement that we've

1 missed and we must go back through, resolve the comments on  
2 that that were made, adjust the drawing or the calculation,  
3 what it was, work the interfaces if there's interfaces to be  
4 worked, go right back through the same process, and come back  
5 through and correct the design. Go back to verification and  
6 bring it back further. So, it's an iterative process, but you  
7 must go back and use the same process for design that you used  
8 originally.

9           Finally, you have an acceptable design which is  
10 accepted by DOE, and at this point, the design, as I  
11 understand it, is accepted and then it will go into the  
12 configuration control board for baseline. And, these are all  
13 spelled out by various procedures we have in place.

14           Now, I'd like to talk a moment about how we are like  
15 the nuclear industry in that we're working from upper tier  
16 regulatory system requirements. In our case, we, of course,  
17 can't do anything that would preclude the potential repository  
18 from meeting the system regulatory requirements from 10 CFR 60  
19 or 10 CFR 960, anything in the ESF that would mess up the  
20 potential repository. I think that's pretty obvious we have  
21 to do that. And, in particular, must design the ESF so as to  
22 limit impact on waste isolation capabilities of the site. A  
23 case in point might be in a mining situation. If we were to  
24 drive tunnels as long as we're proposing to drive them and

1 coming across on the level to meet them, no doubt, we would  
2 want to put down some ventilation raises if this were normal  
3 industry to get some ventilation. We wouldn't even consider  
4 doing it in this case because of the potential messing up the  
5 site from waste isolation.

6 DR. DEERE: Working on the Channel Tunnel, I can say we  
7 don't ventilate--

8 DR. BULLOCK: Well, that was another unique problem. No,  
9 but a lot of times in mining, at least, when we've driven two  
10 and three miles out, every 4,000 or 5,000 people put out  
11 ventilation rigs and this helps your ventilation. It lowers  
12 your power cost and that's the way to do it. We certainly  
13 wouldn't consider doing it here nor the Channel.

14 The ESF will function primarily for site  
15 characterization activities and, as such, we can't allow  
16 testing to testing interference or construction testing  
17 interference. And, it's the A/E's job to lay out those  
18 testing alcoves so that one test can be going on while another  
19 test is going on without interfering between the two. Or, if  
20 the constructor is still constructing and he's constructing  
21 the next alcove, that he's not interfering. And, that's our  
22 responsibility to lay these things out and that is spelled out  
23 under one of the requirements. So, this is things that make  
24 it different than laying out a normal mine.

1           The ESF will be designed, as will the potential  
2 repository, to meet structural stability criteria with  
3 superimposed thermal loading. I don't know of any mine  
4 anywhere that's ever been designed to have thermal loading  
5 come on in the future. Some of them do due to the oxidizing  
6 ore bodies, but they usually aren't designed that way. So,  
7 that makes it different than normal industry, but again it's  
8 something that's given to us by the requirements.

9           This last one here is a Catch 22. The ESF will be  
10 designed for very limited data. The design must not preclude  
11 the capability of potential repository to meet the system  
12 requirements for waste isolation. In other words, we have to  
13 design the ESF to withstand the loads as if it were the  
14 repository. Yet, we don't have the information from the ESF  
15 on the heat loads that will be generated and how the rock  
16 would react so we can use that information in the design. So,  
17 what we must do is design it so that the ESF can be hardened  
18 or can be strengthened at a later time once you learn more  
19 about it. We can't do anything to that structure that will  
20 preclude future stiffening or hardening or reinforcing of the  
21 ESF as they learn more about it. So, it's different.

22           Major ESF design considerations from a quality  
23 assurance point of view, again the same things you heard this  
24 morning. Certification of qualified personnel performing

1 work, this is required, I'm sure, throughout the nuclear  
2 industry. The degree to which we do it is far more than what  
3 would be industry practice, but it's--and, by the way, all  
4 these things are good and we do them, but they are different  
5 than industry practice. Detailed precise records required, we  
6 do keep a lot of detailed records and we must to make a  
7 traceable record for everyone to see throughout eternity.  
8 And, the QA grading process where I talked about design  
9 verification. In industry, you normally have the client's  
10 people in your shop and they verify as you go along and then  
11 finally you come up to the end of the design and the upper  
12 management usually examines your work and says it's okay if  
13 all the other people have said it's okay. You don't really  
14 bring in--sometimes, you do, but not often, you bring in  
15 outside people to re-verify to see if it meets those special  
16 requirements.

17           Tracking of all design inputs and design outputs is  
18 an excellent idea. Unfortunately, a lot of industry does not  
19 do this. In the nuclear industry, I'm sure they do all these  
20 things consistently. Verification and validation of computer  
21 software codes, we do an exhaustive effort, I think, of  
22 verifying our computer codes and I was made to realize it.  
23 For the IDS, we will do our own code development, we meaning  
24 Raytheon. We have two different groups in Raytheon that are

1 specialists in data acquisition known as Seis Corps and the  
2 other one is the missile systems division for Raytheon. These  
3 people are very accustomed to developing software and  
4 verifying it. In fact, I think they helped write the book in  
5 some cases because we wait for them to see what they thought  
6 about doing the software coding work for the data acquisition  
7 system and they said, well, sure, there's nothing to it. You  
8 know, they're very accustomed to it. And, they're the same  
9 people that programmed the Patriot Missiles. So, I guess they  
10 know what they're talking about. Apparently, this is a very  
11 common practice in the missile industry to use software  
12 verification and validation and they've been doing it for  
13 years.

14           Training, record keeping, and compliance monitoring  
15 is very detailed and it's more than you would find in all  
16 industry, but certainly nothing more than you would find in  
17 nuclear industry. Finally, the interfaces, cost, and special  
18 design considerations, as far as the ESF to mesh with the  
19 potential repository, that's the point that was raised this  
20 morning. The ESF people, the A/E must be in contact with the  
21 thinking of the conceptual design people. In our case, we  
22 work with Parsons-Brinkerhoff who did the conceptual design at  
23 least for the underground portion and we work with them very  
24 closely. We talk to them every week. We know what they're

1 thinking. They will work through a process while we're  
2 working through design study and come up with interface  
3 drawings for us, and I assume that in Title II there will be a  
4 similar type of interplay or reaction interfacing with them to  
5 carry us on through the Title II design. So, they will be  
6 right along with us.

7           The ESF design to meeting the needs of the research  
8 community, we have to remain flexible. This was also brought  
9 up this morning, that the PI is looking for new technology all  
10 the time, new instrumentation, new methods of dig, gathering  
11 data and transmitting data. And, ESF designers have to stay  
12 alert to this and we do this through our interface LANL and  
13 they actually interface through the PIs, but we stay in touch  
14 with them weekly to make sure that we have the latest  
15 information that they have from the PIs about what they want  
16 to see in the ESF.

17           As to quality assurance, what they do for us, they  
18 review/approval of the following types of documents: analysis  
19 and studies; drawings; technical specs; and computer software.  
20 I want to point out when we're in a design mode there are two  
21 or three QA people. They don't work for me, but they're on  
22 the design floor and I expect them to be on the design floor  
23 every day. And, they're working with those engineers to make  
24 sure that they're not missing any t's that need to be crossed

1 and they are signing the right document. They're using the  
2 right form where they should use the right form. And, these  
3 people, you could call them surveillances, but they're not  
4 really formal surveillances, at all. They're out there  
5 working with the engineers because that's where quality is  
6 generated, on the design floor. And, these people are out  
7 here to make sure that nothing gets started wrong. It is hard  
8 to go back and correct. So, we expect to have Mike Regenda's  
9 people working with us every day and then, of course, he has a  
10 different group of people that come in and do audits and  
11 surveillances on us. Now, if you want to hear more about this  
12 process, Mike's prepared to talk about the quality assurance  
13 program and I assure you it's a good one. And, we don't mind  
14 working through it. It's just a part of the job.

15           Any questions or would you like to hear more about  
16 the quality assurance?

17       MR. MCFARLAND: I think you mentioned one task would be  
18 to design the test alcoves.

19       DR. BULLOCK: Yes.

20       MR. MCFARLAND: Now, in recalling previous discussions,  
21 particularly from Dr. Cording, one of our--

22       DR. BULLOCK: Dr. Cording?

23       MR. MCFARLAND: Yes, one of our consultants.

24       DR. BULLOCK: Yes, I know him.



1 MR. MCFARLAND: Made the point that one of the great  
2 advantages of the ramp was to be able to build alcoves at  
3 points in the excavation that would offer conditions that  
4 would make you want to stop at that point and go in and do  
5 tests. That you would have the degree of flexibility in  
6 testing that the ramp would offer. If you design those ahead  
7 of--I don't understand how you can design them. How do you  
8 take account of that flexibility?

9 DR. BULLOCK: Okay. Well, what I was really referring  
10 to, there's tests that will be going on in the ramps  
11 themselves and I was not referring to those. I was referring  
12 to the alcoves in the main test level area. And, there are  
13 predetermined tests that are going to be run and we have to be  
14 sure those tests are far enough apart and out of the way of  
15 construction interference and that's what I was talking about.

16 DR. DEERE: You do have the flexibility, I presume, that  
17 if you want to take off and go over 500 feet and put an alcove  
18 there for some particular reasons which was not in the study  
19 plan, but something that you saw or something that was brought  
20 up in a meeting, this is what--you know, when we get so  
21 prescribed that we have everything down and this is what we're  
22 going to go toward, but yet there may well be where you say,  
23 oh, but if we could do this, we could gain this additional  
24 information. Now, that's going to cost a little bit more

1 money, but it may well be very, very worthwhile.

2 DR. BULLOCK: If something like that--and, I'm sure that  
3 LANL would be the first ones that would be going to DOE and  
4 saying, hey, we just discovered there's no other way we can  
5 get this information. The PIs say we have to have it. We've  
6 got to test this area which is 500 feet away. And, we'd like  
7 for you to direct the A/E to do that. That's kind of a  
8 special case. It would have to come through DOE, but we  
9 certainly would be glad to lay it out for them.

10 MR. SHELOR: But, all of that would be part of our change  
11 controlled process.

12 DR. BULLOCK: Yes.

13 MR. SHELOR: It would be a change and the important part  
14 there is that the change would be identified, be technically  
15 reviewed, and the impacts and cost and schedule evaluated.

16 MR. BULLOCK: See, you remember when Richards was talking  
17 about his appendices on the ESFDR, Appendix B and C, I  
18 believe. B is the one. Well, these test requirements are all  
19 spelled out. Well, this one you cited probably wasn't in  
20 there because they just realized there's something down there  
21 that happened that caused them to have to do it. Therefore,  
22 they would need to go through the change control process and  
23 give us some direction in writing through the change control  
24 board that the project office wants to go ahead and do that.

1 MR. DEERE: Because you can't possibly lay out a perfect  
2 exploration program on the base of the information we have  
3 now, it has to be one that has the flexibility that we can  
4 make another boring that hadn't been counted on or another  
5 branch-off or something that hadn't been counted on.

6 DR. BULLOCK: Well, now, in that aspect, we are trying to  
7 lay it out so that we have equal amount of room to lay out  
8 future tests. We don't know what those tests are going to be,  
9 but they're spaced there in the layout we're making at this  
10 time. They're spaced to do at least 100% duplication of the  
11 test that you are laying out. At least, in this  
12 configuration, we have room to do that. In some of the other  
13 configurations in the earlier iterations of Title I, this was  
14 not done. There really wasn't that flexibility to do these  
15 things as you might want to do them.

16 DR. DEERE: Thank you.

17 DR. ALLEN: Other questions or comments?

18 (No response.)

19 DR. ALLEN: Okay. Mike, you're up.

20 MR. MIKE REGENDA: My name is Mike Regenda. I'm the  
21 Manager of Quality Assurance for the Yucca Mountain Project  
22 for Raytheon Services Nevada. I've been on this program now  
23 for about six or seven years. So, I'm not exactly a virgin on  
24 it.

1           What I'd like to cover--you've heard so much about  
2 it. Just about everybody has covered everything about the  
3 overall QA program. So, I want to try to limit mine to a  
4 certain area of, okay, where are we directly involved because  
5 we're a little different in the overall QA organization in  
6 that a lot of organizations are doing a lot of overview by  
7 surveillances and audits. We're different. We are very  
8 intimately involved with the actual project people which Dick  
9 has mentioned. So, what I'd like to cover basically is the  
10 organization chart, the criteria for QA, the QA design review  
11 process that we are intimately involved with, our QA computer  
12 software, and then our audits and surveillances. That  
13 particular area.

14           First of all, I'd like to give you an overall view  
15 of Raytheon Services. As you've heard, Raytheon Services took  
16 over Fenix & Scisson, which I was originally with Fenix &  
17 Scisson and the H&N organization and it became Raytheon  
18 Services of Nevada. This particular thing, we have a general  
19 manager and coming down--I just want to try to cover some  
20 areas--coming from general manager, we have the technical  
21 project officer which is Dick Bullock. And, he has support  
22 from the program support people which are basically our actual  
23 human resources and money people and what have you. And,  
24 here, we have also a separate group for environmental safety

1 and health that support him when he needs some additional  
2 help. Underneath Dick, we have the actual facilities design  
3 manager, systems engineering, field operations, and a project  
4 administrator. These are the people we work with. Going over  
5 further here, he has an IDS, integrated data system, project  
6 manager who actually has been involved with the computer work  
7 and he reports to Dick with a dotted line to the general  
8 manager. Over further here, we have the quality assurance  
9 manager and that's a new man that just came in from Raytheon  
10 Services who has all of the actual Raytheon organization which  
11 is Johnson Island, Nevada Test Site, Tonopah, and the Yucca  
12 Mountain Project. Underneath him is myself as a quality  
13 assurance manager. I have full control of the quality  
14 assurance program with very little interference except when I  
15 need further support which I have had great support and I have  
16 no troubles with Dick in actually working with him.

17           This is basically the organization as we have it for  
18 reiterating a little bit showing where general manager,  
19 technical project officer, field operations. It basically  
20 shows the organization here. I have a manager of software and  
21 he's stationed right now at the missiles system division in  
22 Massachusetts and he will be coming on board when we start  
23 getting heavily into the ideas or he will be working with us  
24 from that particular thing. But, he does report to me. I

1 have a manager of quality assurance engineering that works  
2 directly with our people, Dick's people. You heard him say I  
3 have people assigned directly working with him intimately. I  
4 have a manager of audits and a manager of quality control.  
5 This is once we get in there and start building it.

6           The next thing is criteria for QA. Okay. How are  
7 we set up here in our program? First of all, we have the DOE  
8 QARD which is our guiding Bible here. From that, we had to  
9 come up with a program description of how we would meet all  
10 these requirements and establish a QA program. This we did  
11 and the program has been approved now. Our QAPD covers all 20  
12 criteria now. It used to be 18. But, it covers all the  
13 criteria and we, in turn, have to submit that to our customer  
14 here, the DOE, who has approved it.

15           Now, some of you asked where did the project  
16 procedures come from. This is where it comes from. In other  
17 words, Dick has to have project procedures to meet our  
18 program. On top of that, I have to have procedures that's  
19 going to implement it. These two procedures implement this  
20 thing and over here we have a software. These three  
21 particular types of documents implement our QA program.

22           DR. CANTLON: You commented your QA program had been  
23 approved.

24           MR. REGENDA: Yes.

1 DR. CANTLON: Approved internally with Raytheon by DOE,  
2 by NRC--

3 MR. REGENDA: Oh, no. By DOE completely. Before that,  
4 we had two approved programs. F&S, we had our approved  
5 program and H&N had an approved. Then we had a transition  
6 period. The transition period, we worked out time factors and  
7 we went into a transition period and changed our procedures  
8 into RSN which we're still working on, but our program has  
9 been changed and they've approved that.

10 When does quality assurance get in here on design  
11 review? These are three areas we cover. Let me point out one  
12 thing. These are not the only areas we get in. We are  
13 intimately involved in all design control processes. In other  
14 words, all those procedures you saw Dick list, I'm limiting  
15 mine only to these three. We review every one of those  
16 procedures and basically approve. In other words, we have an  
17 agreement here that I review each one or my people review  
18 them. So, in the case, we are intimately involved with  
19 everything that goes on in the actual project.

20 Okay. Here is an example of design analyses and  
21 studies. Again, we're just showing--this basically is the  
22 project procedure that tells how to do an analysis and how to  
23 do the studies and what have you. We, in turn, have a  
24 procedure how we verify this. Now, this particular one covers

1 all three of the areas, but we use checklists. In other  
2 words, a man has to go in there and he checks each one. On  
3 top of working with the individual, once they start doing it,  
4 then we come down with a checklist and verify that everything  
5 has been done. The checklists become quality records.

6           The next area that we cover in design review are  
7 specifications. Here again, he has a procedure for  
8 development of specifications and again how we do it. We  
9 review and live with them on actually preparing specifications  
10 and make sure that all quality requirements are incorporated  
11 and they're passed down either in the input documents or  
12 whatever is required for that particular area.

13           The same thing goes for the drawings. I might point  
14 out also, as I said, on the drawings, here we go through this  
15 preparation control and verification. QA signs off on all  
16 drawings. We don't just review them, we approve them. Until  
17 we have signed them and approved them, they don't go out. So,  
18 that's why I say we are intimately involved in an actual  
19 project.

20           Now, this one, somebody keeps asking, software.  
21 Dick went into this thing, but in our software review, these  
22 are basically the five items that we look at, that we will  
23 look at; in other words, the software requirements package,  
24 the verification and validation plan, hardware certification,



1 software, and the use. We will have people that will be  
2 following through again utilizing checklists. And, as an  
3 example, here's some of the actual procedures that are  
4 involved in this particular thing. The requirements are  
5 basically spelled out in those various project procedures and  
6 our verification again is done by our 19.1.

7           Finally, as a part of the overall verification and  
8 what do we do in a design process, we have audits and  
9 surveillance. Somebody says how often do you do audits? We  
10 try to--not try, we do it. We do a manual audit of every  
11 criteria in the various areas. We do at least one annual. On  
12 top of that, we do many actual surveillances. Our  
13 surveillances cover all the actual actions being done by the  
14 engineers on those various PPs. We may decide, okay, this  
15 week we'll go in and pick three PPs and we'll go in detail.  
16 Again, these are basically verifying that they are working to  
17 the QA program. And, again, as I say, we may do something in  
18 the neighborhood of 20, 30 surveillances, but we'll do one  
19 full one--now, this one audit may involve two or three mini-  
20 audits. On top of that, we also have a management assessment  
21 that Dick is required to have annually. He brings in an  
22 outside consulting firm or if we can use somebody else from  
23 Raytheon that does a management assessment of the QA program  
24 to see that we are actually living up to it. Of course, then

1 we have our friendly DOE here that's there quite often. Every  
2 time we turn around, they're either doing a surveillance or an  
3 audit and I think our friendly NRC also joins us.

4           So, gentlemen, that's basically how we overview the  
5 overall design process at Raytheon. Are there any questions?

6       DR. DEERE: Would it be possible to get a set of those?

7       MR. REGENDA: I offered them to them.

8       UNIDENTIFIED SPEAKER: We're having that made right now.

9       MR. REGENDA: You're having that made? Good.

10      DR. DEERE: Fine. And, now the second question.

11      MR. REGENDA: Yes, sir?

12      DR. DEERE: Is it possible to get a set of all your  
13 procedures, your PPs this, and PPs that?

14      MR. REGENDA: I think--well, let me say one thing. A lot  
15 of these procedures are still in draft form because up to the  
16 transition phase--we're in two phases. We need a certain  
17 number of procedures by October--no, April 1. That's for the  
18 general arrangement type things. Now, we do not need the  
19 others for Title II design until October 1. So, we're in a  
20 two phase process. But, I'm sure that through DOE we can get  
21 you the actual procedures you need.

22      MR. BLANCHARD: Don, are you interested in just the  
23 Raytheon procedures or--

24      DR. DEERE: Well, at the moment. Since the shaft is--or

1 the--

2 DR. ALLEN: Since we're getting the shaft.

3 DR. DEERE: The study facilities--

4 MR. BLANCHARD: To have a complete set, you'd want the  
5 hierarchy plans that called for certain procedures.

6 DR. DEERE: Yes.

7 MR. BLANCHARD: Then, the enabling top level procedures  
8 which have been referred to here as APs and things like that.  
9 And then, next level procedures which would be PPs or  
10 whatever.

11 DR. DEERE: Right. We'd like to have a set of those, I  
12 think--John, wouldn't you agree--in our library back in our  
13 office. So, let's say we're going to take a visit to your  
14 design shop in a couple of months. We'd like to be able to go  
15 through before we come out these listings--not only the  
16 listings, but actually read.

17 MR. BLANCHARD: Are you asking to be put on the control  
18 document list so that you have an update--

19 DR. DEERE: No, no, no. I think we are. I think we are.

20 DR. CANTLON: The central office.

21 DR. DEERE: The central office, I think--

22 DR. CANTLON: Not us, individually.

23 MR. BLANCHARD: Just for the Raytheon?

24 DR. DEERE: Well, that--

1 MR. HORTON: You know, we've been looking for an  
2 opportunity to include you in our audit program.

3 DR. DEERE: I'm afraid I'm on it already in my house and  
4 I'm still looking for something. So, that's why I want to  
5 make sure that it goes to our library. So, it's readily  
6 available to our staff, as well as to the board members when  
7 they come in. I don't know how extensive the thing is, but I  
8 would rather imagine that we do need it all.

9 MR. HORTON: I think that we can discuss that with you,  
10 Dr. Deere, and whatever control procedures that you would  
11 like, we'll work out something for you. But, keep in mind  
12 there is a responsibility to go along with that and we might  
13 have to come in and check on you once in a while.

14 DR. DEERE: That's fine. That's fine.

15 MR. HORTON: And, you know, NRC, Bob Bernaro would like  
16 an opportunity to come in and look at you, too.

17 DR. DEERE: We'll talk about this in executive session.

18 MR. HORTON: And, Susan Zimmerman from the state.

19 MR. REGENDA: Of course, it's up to--let's see if you  
20 keep these things up to date.

21 DR. ALLEN: Could I ask a question to get your general  
22 feelings on this and I think the DOE people might also wish to  
23 respond. Outfits like yours seem to find it possible to live  
24 with QA without great trauma. Now, I've talked to many

1 people, scientists working with individual companies, many of  
2 whom don't like QA and many of whom help support it. They  
3 still say it's no big deal. Somehow, we manage to work with  
4 it. The Government seems to have a different experience, in  
5 general. It's traumatic. Why is this different? Or is my  
6 perception wrong?

7 MR. REGENDA: One of the reasons it's different is  
8 because a lot of people still have the idea QA is nothing but  
9 a policeman. And, here they are, they say gotcha. And, so  
10 they resent that. A lot of resent being regimentized saying  
11 you've got to have records. If you hit some of the long-  
12 haired scientists that have been working all these years and  
13 doing everything by a book, you know, you say, well, good,  
14 your book, you haven't been able to produce. Oh, I can't do  
15 that. I'm not going to give you that book. That's my private  
16 book. But, there are more demands on the actual people to  
17 have a documented program. The biggest part of it is that  
18 they resented this idea of being told you have to have  
19 something and you're a policeman. Here he comes. Here comes  
20 that QA guy with that white hat he has on. He's out to get  
21 me. And, that's what happens with audits. Unfortunately, a  
22 lot of auditors still think they have to find something or  
23 they haven't justified their existence. Where instead of  
24 going in there and saying, hey, you have a good program, but

1 you do have--I can go into any place and find something wrong,  
2 but how bad is it?

3           So, to try and answer your question--and maybe they  
4 can give us some more--it's the idea of being a policeman, I  
5 think, is the greatest resentment.

6       DR. CANTLON: Don't you think also there's an element  
7 that Government has regulated the private sector for many,  
8 many years. Government is not used to being regulated itself.

9       MR. REGENDA: Very possible. And, I've been on NASA  
10 programs, as well as I spent 10 years with DOD, the chief of  
11 inspection for Army Signal Corps. So, I've lived on both  
12 sides.

13       DR. ALLEN: Do you have any thoughts on this, Don?

14       MR. HORTON: Well, I'm relatively new within--

15       DR. ALLEN: Well, maybe that's one of the reasons.  
16 Maybe, it was just as traumatic 10 years ago for you as it is  
17 now for the DOE. It's just--

18       MR. REGENDA: I've been 30 years in QA.

19       MR. HORTON: I think that it is a new way for DOE.  
20 Within DOE itself, OCRWM has a much broader program than many  
21 other facets of DOE. They're starting to come around, you  
22 know. For a long time at the Nevada Test Site, they didn't  
23 want anything to do with our QA program because it was too  
24 rigid for them and they were afraid that the NRC might get

1 involved, et cetera. But, you know, slowly, they are seeing  
2 that possibly in the future they're going to be regulated much  
3 like we are and they're turning their program around and it's  
4 meeting many of the requirements that we have. And, the same  
5 way with the other facets of Department of Energy. But, I  
6 think, as you stated, it's very hard for the regulator to be  
7 regulated.

8 DR. ALLEN: Well, also, it's certainly true that the DOE  
9 activities include a much greater part of sort of research,  
10 basic research, than does anything being done by most of the  
11 contractors. That, itself, is quite a difference in the kinds  
12 of people that are being subjected to QA procedures.

13 MR. BLANCHARD: Clarence, I'm sure there's no one answer  
14 to a question as resounding as this. But, some agencies, some  
15 Federal agencies, carry out technical work themselves, as well  
16 as asking contractors to do work. For instance, the years I  
17 spent with NASA, there were some field centers that had groups  
18 of engineers and scientists on unmanned missions that they  
19 wrote their quality assurance program that abided by the NASA  
20 hierarchy of QA documents, they wrote their own procedures,  
21 they had their own audits, and they had to demonstrate the  
22 same kind of things that the aerospace contractors had to  
23 demonstrate to show that their booster or their payload  
24 package was okay. The Department for many years because of

1 the way it was formed from ERDA and then AEC before has had in  
2 the past a general operating philosophy where it was just a  
3 few, more or less, administrative contract managers overseeing  
4 a large facility that was managed and operated by something  
5 called a management and operating contractor, like a Union  
6 Carbide or whoever the organization was, but they were a  
7 complete entity that was operating the facility, whether it  
8 was Nevada Test Site or Rocky Flats or Furnel or wherever,  
9 like Savannah River, Union Carbide down there. Well, they had  
10 the engineering culture, the administrative, the technical  
11 accountability, and what they were doing was carrying out  
12 management instructions and fulfilling a contract requirement.  
13 And, the Department group was not doing anything that people  
14 would call quality affecting. They were basically providing  
15 management oversight and dollars so that the facility could  
16 operate. When the Nuclear Waste Policy Act was passed, this  
17 particular program moved to the forefront of the DOE programs  
18 where it had a measure of accountability in becoming a  
19 licensed applicant to the NRC. This called for significantly  
20 different perspective of the way the DOE civil service  
21 engineers and scientists and management interacts with the  
22 body that's going to issue the license and calls for a  
23 different role for the Government than just asking many  
24 different contractors to come in and do their thing. And, so



1 I think that shift in culture has been necessary as a  
2 consequence of the passage of the Nuclear Waste Policy Act and  
3 there's been growing pains in recognizing how to do that.  
4 And, even now, I think we're still learning how to do that.

5 Don, would you say that's fair?

6 (No response.)

7 DR. ALLEN: Any other questions or comments?

8 (No response.)

9 DR. ALLEN: We're exactly on schedule. We'll take a 15  
10 minute break.

11 (Whereupon, a brief recess was taken.)

12 ROUNDTABLE DISCUSSION

13 DR. ALLEN: Okay. May we reconvene? I hope the  
14 alignment here doesn't indicate it's us against you. May I  
15 also ask that since we have a smaller number of microphones  
16 than we do people at the tables that those of you who are  
17 speaking lean over to a nearby microphone and announce  
18 yourself for the help of the court reporter here.

19 Let's start off by diverting a little bit away from  
20 the sheet here that we just passed out and let me ask Don to  
21 introduce a question here.

22 DR. DEERE: A question was raised at the Senate hearing  
23 last week, essentially to Bob Bernaro, as well as to me. Is  
24 the DOE ready to start work at the facility at Yucca Mountain?

1 And, are there any known disqualifying features on the basis  
2 of the current information? That question also was asked to  
3 the Admiral and the Secretary of Energy and I think some of  
4 the Nevada delegation also had some comments about it.

5           Both Mr. Bernaro and I answered that we felt that  
6 DOE was ready to start work at the site in a progressive  
7 fashion, meaning that there are bits of information they could  
8 start collecting immediately and, although I didn't have a  
9 chance to go into it in greater detail, had I been asked for  
10 further discussion, I probably would have said the shaft work  
11 as far as construction really cannot begin until additional  
12 information is collected ahead of time, such as some of the  
13 stratigraphy studies with the deep borings and the  
14 continuation with the trenching and the mapping. I wasn't  
15 asked this, but that's--I said in a progressive way and Mr.  
16 Bernaro had something similar, not exactly the same words.

17           He said there were questions. This is Mr. Bernaro.  
18 If he had been asked that question two years ago, he would  
19 have answered no because he did not think that all of the  
20 procedures and all of the comments that they had made on the  
21 site characterization plan had been answered at that time.  
22 But, to date, he feels that these have been answered on a  
23 number of the first activities, such as the trenching at  
24 Midway Valley and some of the other work and he would say,

1 yes, they are ready to start work.

2           Now, I guess the question is how far along can this  
3 work go or are the QA processes getting in the way of any of  
4 these other activities or are they all falling in line,  
5 particularly the design and the beginning of construction of  
6 the underground facilities? Now, from the QA point of view,  
7 first.

8           MR. HORTON: From the QA standpoint, I feel that we  
9 currently have adequate procedures in place to proceed with  
10 this work. Some of the things that we have to do in the  
11 interim, prior to starting some of this, is verify  
12 implementation of these. Since there has been essentially no  
13 design going on for the past many months now, what QA has to  
14 do is go in and verify during the implementation process of  
15 the design that these procedures are being implemented and  
16 that there are adequate controls in place to assure the  
17 quality of the design. So, as I say, we're in the process of  
18 doing this. We have a specific schedule laid out over the  
19 next several, many months, in which case QA has inserted in  
20 there specific points where we're going in to do surveillance  
21 to verify the process.

22           DR. DEERE: Thank you. And, Dwight, I guess that there  
23 is a lead time necessary for these studies that you've  
24 mentioned this morning to go ahead and take their progression?

1           MR. SHELOR: Yes, that's correct. I think--let me answer  
2 specifically. I think Max has part of the answer to your  
3 overall question. But, I think in terms of the development of  
4 the system requirements from the overall system, for the  
5 transportation, MRS--all of those specific activities, we have  
6 three of them, the overall system, the MRS, and the mine  
7 geologic disposal system, nearly finished and we're starting  
8 in on our technical review procedure on those now and, as I  
9 indicated, we're working now on developing the test facility  
10 requirements for the ESF and then we'll complete the  
11 functional analysis for the ESF. I personally believe that  
12 the QA controls that we have on that are adequate and also  
13 necessary.

14          DR. DEERE: Max, you had something to add, perhaps?

15          MR. BLANCHARD: Well, from a technical management  
16 viewpoint, there's only a couple of things that stand out.  
17 One is like Dwight has mentioned, we want to make sure that we  
18 have the right set of requirements to work to, that we've  
19 developed a design and test process which follows those  
20 requirements and has procedures which implement the  
21 requirements. We're not there yet, but we're not too far from  
22 being there. We got some things under control that have been  
23 in the program for quite a while and Dwight is finishing more  
24 classical systems engineering approaches, as I mentioned, to

1 get the requirement documents more refined. Some time this  
2 summer, we'll have that and we will then be modifying the  
3 procedures that we've got in place to adapt to that.

4           The other thing we have to have is a graded QA  
5 program for all those activities that affect the design work.  
6 That is essentially complete now. Sometimes, you go back and  
7 grade things at a lower level of detail, but that kind of  
8 effort, going back and going to lower and lower level of  
9 detail, is iterative. And, that's the kind of thing that you  
10 continue on as you evolve your design and performance and site  
11 suitability assessments.

12           So, I think all the elements that are critical to  
13 answering that question affirmative are there. They're in  
14 place. They're in different stages of maturation. Each stage  
15 gets more comprehensive and better and we feel better about it  
16 and the people that are overseeing it, like our quality  
17 assurance department and people that come with that from the  
18 NRC, gives us confidence that we're on the right track and  
19 we're very close to being able to move out.

20           Ted?

21           MR. PETRIE: Okay. I think we have everything in place.  
22 As Don pointed out, what they're looking for now is a  
23 demonstration that we can implement these procedures properly.  
24 I feel confident that for the most part, we will, and we will

1 probably have a few findings here and there, but I don't see  
2 anything that would be show-stopping at this point. And, in  
3 fact, so what we're really saying is, yes, we're ready to  
4 proceed. We need to implement these things we've already  
5 developed and demonstrate during the implementation process  
6 that we know how to perform the task.

7 DR. DEERE: I wonder if NRC would like to add any  
8 comments about this? Maybe, you'd give a better interpreta-  
9 tion of Bob Bernaro's answer than I did?

10 MR. CONWAY: I'm Jim Conway with NRC, the Office of High  
11 Level Waste. Our initial exposure with QA with regards to the  
12 ESF Alternative Studies has been that we participated as  
13 observers on an audit that DOE did of Sandia, I believe, back  
14 in October of last year and they followed it up with a  
15 surveillance in September. The bottom line being that we felt  
16 that again, as Don said, controls were in place to go on with  
17 new work, but also that we didn't have a chance, as DOE did,  
18 as to look at implementation and this is what currently has to  
19 be looked at with the observances done by the state and the  
20 NRC.

21 DR. CANTLON: Before you leave, in your judgment is it  
22 unlikely that NRC would find anything at this stage that would  
23 hold up the ESF from proceeding on a QA basis?

24 MR. CONWAY: I don't think so. I don't think on the

1 number of observations and surveillances we've been on that we  
2 see anything that's been commented, to date, anything that  
3 would be called show-stoppers. I think you're going to find  
4 if you've got a good surveillance team, a good auditing team  
5 out there in the QA arena, they're certainly going to pick up  
6 some things. But, again, if these things are corrected,  
7 corrective action is taken, preventive action to prevent  
8 recurrence, you're going to strut through your programs. And,  
9 again, as I think a lot of people have commented on here  
10 earlier in the session today, DOE has certainly come a long  
11 way, at least in the two years that I've been on the project  
12 and since they've started this QA program, we've all gone  
13 through a learning. QA is certainly not a static issue. It's  
14 a dynamic sort of thing and it's changing every day. And,  
15 again, I feel and the staff, I believe, feels that DOE has  
16 come a long way. There's no show-stoppers on the horizon that  
17 we can see. We've approved again, as people have said today,  
18 the QAP, the QARD, the recent revisions to those, feel that  
19 the participants have programs in place with controls to  
20 proceed on with the calcite-silica Midway Valley investiga-  
21 tions and any future site characterization activities in the  
22 future.

23 DR. CARTER: I'd like to ask a related question, I guess,  
24 to DOE, but perhaps others. I'd be interested if someone

1 would sort of summarize for us the DOE interactive process in  
2 the QA area, as far as OCRWM is concerned, with not only the  
3 NRC and their site representative in Nevada, but also the  
4 State of Nevada and any of the other principal players in the  
5 drama.

6 MR. HORTON: You would like to clarify the interactions  
7 with them?

8 DR. CARTER: Well, not clarify necessarily. I'd like to  
9 hear a summary of it. How do you interact? What's the  
10 process on a day-to-day basis, if you will, between, for  
11 example, your office, the NRC, the State of Nevada, and so  
12 forth?

13 MR. HORTON: Well, currently, we have two project people  
14 located in Nevada from the NRC. These two interface on a day-  
15 to-day basis with specific activities that are ongoing at the  
16 project level.

17 DR. CARTER: These cover the entire project, I presume?

18 MR. HORTON: That's correct.

19 DR. CARTER: Okay.

20 MR. HORTON: They often come in, interface with me, in  
21 addition to the line organization itself. We also have  
22 bimonthly meetings formally announced by monthly meetings with  
23 the NRC, in which case we have not only DOE QA, but if there  
24 are specific presentations to be made during this meeting that



1 would require support from one of the participants, the  
2 participants accompany us on these meetings, specific Clark  
3 County, Nye County, and any others that are directly involved  
4 attend these meetings. EEI attends these meetings and all  
5 interested parties are allowed to attend them. These occur  
6 approximately on a bimonthly basis. Sometimes, they occur  
7 monthly depending on the activities of the overall program at  
8 that time. We have various correspondence, of course, with  
9 the NRC and all these are directed to the NRC through Dwight  
10 Shelor's organization, but we do communicate on a daily basis.  
11 Susan Zimmerman comes by and discusses the overall program  
12 with me on an occasional basis when she can make it down to  
13 Las Vegas. In addition to that, you know, several of the  
14 counties come in and talk to me when they have an opportunity.  
15 So, there's constant interaction between all the parties  
16 involved here.

17 DR. CARTER: Okay. The other thing, I guess--and, maybe,  
18 Dwight would want to comment on it--but, I presume there's an  
19 ongoing working day-to-day relationship from what you've said,  
20 Don, and I presume also from what you've said is that in terms  
21 of policy matters that involve QA, then this is through  
22 Dwight's office if it relates to the NRC. Is that correct?

23 MR. HORTON: Yes, that's correct. Not only QA, but the  
24 entire program. The official NRC interface is through my

1 office. Right now, they have a new director for the division  
2 of regulatory compliance from NRC, John Roberts. He's been on  
3 board now--this is his second week. Between John Roberts and  
4 previously, of course, Linda Desell, we establish through a  
5 quarterly meeting with NRC a management meeting on meetings.  
6 We formally set up technical exchanges and we arrange for the  
7 QA meetings. And, the reason we have these is because our  
8 procedural agreement requires 10 days notice for every meeting  
9 that we have to give the state and the counties and other  
10 affected parties an opportunity to attend. Every meeting is  
11 noticed by the NRC 10 days before with an agenda. And, that  
12 becomes, then, the official record. Any official correspon-  
13 dence going through the NRC goes through my office.

14 DR. ALLEN: Any other comments or any other closely  
15 related questions?

16 (No response.)

17 DR. ALLEN: Well, maybe, Russ, since you posed some of  
18 these questions, let's talk about the conceptual design  
19 problem for the moment and maybe if you could focus in on  
20 things perhaps you thought were not adequately responded to  
21 this morning. Some of these were already treated.

22 MR. MCFARLAND: Be glad to, Clarence. As you can well  
23 imagine, trying to write questions before the presentations is  
24 a bit of fishing. But, I think some of the questions here

1 that we listed perhaps were directly addressed. In  
2 particular, as you can see, I did concentrate on the question  
3 of conceptual design. The very first phase is design in which  
4 you're trying to understand your parameters, your variations  
5 of parameters, and the direction to go, and, particularly,  
6 curious about the QA perspective of the conceptual design  
7 phase. And, you can see that the first question is that from  
8 the QA perspective, is this a quality affecting phase of the  
9 program? Don, perhaps you could offer me some clarification  
10 on that?

11 MR. HORTON: Well, first of all, we've come up with  
12 answers to all these questions. It's yes, no, yes, yes, and  
13 NA.

14 (Laughter.)

15 MR. HORTON: On the first question, from a QA perspective  
16 is the conceptual design phase of the system development  
17 quality affecting? If it is, how is assurance provided that  
18 QA has been met? The answer to that is, yes, it is.  
19 Conceptual design is quality affecting. It's so specified in  
20 our QA program documents. And, that through our evaluation  
21 and grading process and implementation of our control  
22 processes which includes surveillances and audits, we verified  
23 the QA requirements are implemented.

24 MR. RICHARDS: Don, I might be able to add a little to

1 that also from the historical point of view. If you think of  
2 the conceptual design that was completed to accompany the site  
3 characterization report as being something that ended a while  
4 ago--and, if it's revisited, that's another aspect--in that  
5 particular time frame, the conceptual design activity was not  
6 considered to be what would correspond to the term quality  
7 affecting. It was considered to be essentially similar to  
8 what is down here further on the page, to be preliminary and  
9 scoping. At that time, the organizations involved--I must say  
10 the reason I'm responding to this is that Sandia had a lead  
11 role in the conceptual design report. At that time, the  
12 quality assurance programs for Sandia, as well as the project,  
13 were not sufficiently mature nor accepted by the NRC for us to  
14 make the case that whether we applied them or not, which we  
15 did, to that activity that it would later be all blessed and  
16 everything because we were still in a process of getting our  
17 QA program's feet on the ground.

18           Now, having said all that, I would say that the  
19 kinds of things that would be applied to a quality affecting  
20 activity now, all the things you saw in these slides this  
21 morning about qualified personnel and plans and procedures and  
22 that sort of thing, were in place and were, in fact,  
23 applicable to the preparation of the conceptual design and the  
24 report that summarized it. It would probably, however, be

1 very difficult to make that case from the documentation that  
2 exists from that time frame. In any case, we treated it.  
3 Because we didn't feel we had the fundamentals for the QA  
4 program in place, we treated it as--what at that time was  
5 called a quality level 3 activity. IN terms of, you know, if  
6 somebody asked what is this? Well, this is a quality level 3  
7 activity. However, if you asked, well, are you using  
8 qualified people to do the work, the answer is yes. Do you  
9 have a plan for it? Yes. Are you going to review the  
10 results? Yes, thoroughly. And, all that was done. So,  
11 there's certainly a two-tier answer to that question.

12 MR. PETRIE: Let me just add a little bit to that. Ted  
13 Petrie. This is one of the reasons why we went through and  
14 did the alternative studies, was to provide the equivalent of  
15 a conceptual design on a solid basis of a quality assurance  
16 program.

17 MR. MCFARLAND: Excuse me, Ted, the alternate study?

18 MR. PETRIE: For the ESF, yes. That program we've just  
19 gone through when we looked at something like 54 different  
20 concepts for the--

21 MR. MCFARLAND: Repository to ESF real quick.

22 MR. PETRIE: Yeah.

23 MR. SHELOR: Let me, Russ, if I can--this is Dwight  
24 Shelor. Let me switch you again to another area entirely

1 different. Let's talk about the MRS, for example. There has  
2 been a lot of work done in the past, but for all intents and  
3 purposes, we're about to start over again dependent upon the  
4 success of the negotiator and the volunteer host sites. There  
5 is a good probability that we will modify the system approach  
6 to the development of the MRS design and that here we have an  
7 opportunity to establish our requirements up front and then to  
8 do the thing that we'd really like to do and that's to develop  
9 several alternative conceptual designs. And then, evaluate  
10 each one of them to determine if it meets the requirements,  
11 identify all of those that meet the system requirements, and  
12 then involve the host state or the host, imparting to as their  
13 value judgments, as to which of the technically acceptable  
14 alternatives they would prefer. So, the selection process  
15 may, in fact, have a major involvement of the host in the case  
16 of the MRS.

17 MR. MCFARLAND: You've clarified a question I had  
18 considerably. Let me postulate in that further analysis would  
19 say that we should not have a hot repository, we should go to  
20 a cold repository and that we would still like to hold 70,000  
21 metric tons. This would have immense impact on an MRS  
22 conceptual design. Will that be one of the alternative  
23 scenarios that you're--

24 MR. SHELOR: Okay. Well, this is very interesting. Next

1 week, there's a meeting in Denver on the Strategic Principles  
2 Workshop and these are issues that will come up. But, for  
3 example, in answering that question, it would be difficult to  
4 argue that these issues are not related and they are systems  
5 issues to be resolved because, clearly, the strategy for the  
6 repository design, if the site is found suitable, will have an  
7 impact on the MRS. That impact is--some people have claimed  
8 that it's further downstream, but in fact, it's not. It has  
9 to be upstream. A licensing strategy for the MRS may, in  
10 fact, take us through a conceptual design or several  
11 alternative conceptual designs and selection up through Title  
12 I, but then in Title II, only select a phase. Take off a  
13 first portion of it where we have store only. It may be just  
14 a simple handling facility and then the second phase would be  
15 of much larger capacities, in order to try to accelerate that  
16 date when we can begin accepting spent fuel. But, in order to  
17 license this and not segment the licensing in the conceptual  
18 design and in the Title I design, we will have to address the  
19 full-up facility, the Phase II, if you will, and then take off  
20 part of Phase I. And, we have to do that in the EA and in the  
21 EIS. They will have to be submitted with the license  
22 application. So, I think that the time that we'll have  
23 available to do the analysis and make decisions is very, very  
24 short. I hope it doesn't result in having to make a decision

1 to proceed on one or the other and have it then become a  
2 constraint on the rest of it. But, right now, those are of  
3 major issue on our point.

4 MR. MCFARLAND: Thank you. That was most helpful to me.

5 DR. ALLEN: Any other comments here? Do you want to  
6 proceed with the second one? You said the answer was yes?

7 MR. HORTON: No, the second one is no.

8 DR. ALLEN: I'm sorry, I got the order wrong.

9 MR. MCFARLAND: The second question was a comment made  
10 at, I believe, it was our Denver meeting and, going back and  
11 re-reading the handouts and the transcript, I was hard pressed  
12 to understand the implications of this question or this  
13 comment that was made and I thought, gee, I'll just take this  
14 opportunity and let Don answer at our roundtable.

15 DR. ALLEN: Wait a minute, Russ. Are you referring to  
16 Question 2 at the bottom of the page?

17 MR. MCFARLAND: Question #2 at the bottom.

18 DR. ALLEN: Okay. What about the other three at the top?

19 MR. MCFARLAND: I think he has addressed them. I think  
20 Dwight addressed them quite nicely in discussing the  
21 alternatives.

22 DR. ALLEN: Okay, fine. I just wanted to make sure where  
23 we are.

24 MR. MCFARLAND: Between Don and Dwight, I think we put to



1 bed the question that prototype could be synonymous to  
2 conceptual.

3 DR. DEERE: So, we didn't get an answer to Question 2 at  
4 the bottom of the page?

5 MR. MCFARLAND: No.

6 DR. DEERE: No, you're answering the--

7 MR. MCFARLAND: Excuse me, Clarence, for jumping ahead  
8 here.

9 DR. ALLEN: I was trying to make sure I know where we  
10 are.

11 MR. HORTON: The answer to Question 2, are there  
12 sufficient differences in the QA training between the various  
13 YMP organizations that would support this observation? I  
14 would say that this was the subject of a recent QA managers'  
15 meeting that we had on which we had discussed were there  
16 agreements between participants to perform supporting  
17 activities for the other participant and them requiring copies  
18 of certifications, training documents, et cetera, to be  
19 furnished to the requesting participant in this case. This  
20 something that we're going to check into further, but it's my  
21 position that, since all of us have approved quality assurance  
22 programs that meet the upper tier requirements from DOE, that  
23 the training requirements should be consistent across the  
24 project. There may be a different form that are possibly used

1 by each participant, things of that nature, but the basic  
2 training requirements should be the same, except in some cases  
3 where one participant might be required to implement all 18  
4 criteria, for example, including design control and they are  
5 requesting support from another participant, in which case  
6 they might not be doing design; so, therefore, they would have  
7 to be trained to specific procedural requirements of that  
8 requesting organization. But, in general, most of the  
9 participants should be trained to the same requirements across  
10 the board and they shouldn't have to have a copy of the  
11 documentation from the other participant.

12 DR. DEERE: Raytheon is helping with this by gobbling up  
13 two companies, right?

14 MR. HORTON: Right. Again, I hate to keep adding all the  
15 time. It's possibly an aside, but it's a very important one.  
16 As you know, the M&O contract was awarded recently and TRW  
17 has begun to bring people in on their team. At this point, I  
18 can tell you, quite frankly, that I anticipate that some  
19 members of that M&O team will be assisting us in the review of  
20 the functional analysis reports prior to the time that the M&O  
21 contract QA plan is approved. And, you say, well, how can you  
22 do that? Good question. They are working to our procedures.  
23 We have given them documentation so they can verify the  
24 qualifications of their personnel. We have taken them through

1 our QA indoctrination program and we are training them on our  
2 QA procedures, the same as if it were one of our people going  
3 through that.

4 DR. CHU: Can I ask a question relating to that?

5 DR. ALLEN: Please?

6 DR. CHU: Your QA requirements are kind of tiered in the  
7 sense of different management levels have different kinds of  
8 requirements. Headquarters and OCRWM has one set and the  
9 project office and the requirements down at the laboratory  
10 then are derived from the more top-tiered kind. The M&O  
11 contractor has many responsibilities, both responsibilities  
12 resembling those that are at headquarters and also something  
13 that's farther down. Could you give us some flavor as to what  
14 kind of QA requirements they might have?

15 MR. HORTON: Well, first of all, I'd like to make the  
16 comment that we don't have tiered requirements. All the  
17 requirements are the same. It's just that not all the  
18 requirements are applicable to every participant.

19 DR. CHU: I expressed myself poorly. I meant in the  
20 sense of the level of--

21 MR. HORTON: Twenty criteria versus six?

22 DR. CHU: Yeah. Also, the type of detail.

23 MR. HORTON: In the case of the M&O contractor, they will  
24 have all of them. All 20 criteria or whatever number of

1 criteria that we have at that time will be applicable to the  
2 M&O contractor. Specifically, as Dwight described, in the  
3 initial stages, they're going to be responsible for the design  
4 for the MRS facility. So, therefore, they have to have a  
5 design program.

6 DR. ALLEN: Russ, do you want to pursue the third  
7 question?

8 MR. MCFARLAND: I think we declined on the third one.

9 DR. DEERE: Maybe you should read it, Russ, for the  
10 audience. They don't have a copy out there.

11 MR. MCFARLAND: The third question, in response to  
12 Question #63 of the NRC review of the SCA, the DOE stated that  
13 the final decision regarding standards for conflict of  
14 interest and independence of DOE QA reviewers must remain the  
15 prerogative of the DOE and that different standards may be  
16 appropriate for different types of review topics. The  
17 question is, is this still the position of DOE and, if so,  
18 what would be the different standards and topics that would  
19 warrant these differences?

20 MR. HORTON: I guess, you know, if that's posed to me, I  
21 would need clarification on what you're really asking there.

22 MR. MCFARLAND: You put me in a bad situation. Let me  
23 run to the phone. Max, do you recall this particular question  
24 on the SCA that came from NRC?

1 MR. BLANCHARD: No. I'd have to get somebody to call  
2 and--

3 MR. MCFARLAND: Is there anyone in the room that could  
4 offer some insight into this that remembers those particular  
5 discussions?

6 DR. ALLEN: Russ, it's not hard to imagine different  
7 kinds of topics that require different kinds of review.  
8 Different kinds of group that--

9 MR. MCFARLAND: What triggered me was that we're talking  
10 of standards for conflict of interest and independence of  
11 reviewers and that we would have different standards to  
12 determine a conflict of interest for different types of  
13 reviews.

14 MR. SHELOR: Again, I don't know what the Question #63  
15 really was. We can only surmise. I can only surmise. There  
16 were too many questions in the SCA to remember all of them.

17 MR. MCFARLAND: Yeah.

18 MR. SHELOR: But, for example, the one context that that  
19 could have been in was the independence of a technical  
20 reviewer. And, when you come back down, though, to our QA  
21 requirements for the independence of a reviewer, if I remember  
22 correctly--I don't know if I do--the requirement is that if  
23 the--a technical review can be conducted by an individual  
24 supervisor providing he has not directed a specific method to

1 be used by the individual who conducted the work. Or, it  
2 could be review by somebody totally independent of that  
3 organization doing a separate set of calculations. And, I  
4 believe that is still our position and it's been accepted by  
5 the NRC. If that is the context of Question 63.

6 MR. MCFARLAND: That makes sense to what I read into this  
7 question.

8 MR. SHELOR: Because you may come down to a situation  
9 where you have insufficient number of reviewers. So, you  
10 don't want to tie your hands, you know, and have to go out all  
11 the time.

12 MR. BLANCHARD: A question somewhat similar to this, I  
13 think, was raised by the NRC technical staff when they  
14 reviewed the DAA. And, if my recollection is on target, it  
15 was something like when you look at this multi-disciplined  
16 effort on the DAA, there were some people that were reviewers  
17 and, if you look at the list of references, you also find  
18 their name in the list of references that were being reviewed  
19 in this very comprehensive document. A big thick thing,  
20 multi-discipline, science, engineering, QA, performance  
21 assessment.

22 Our response to that was that we continue to meet  
23 the requirement that a person doesn't provide an independent  
24 technical review by reviewing part of his own work. But, it

1 may well be that a person in performance assessment is very  
2 well suited to review an analytical part or some design  
3 tradeoff study in engineering or some model of a site process.  
4 And, so in the process of putting that team together, a team  
5 together to prepare the DAA, we selected people that we  
6 thought had the most appropriate background who did not have  
7 this conflict. Well, as it turned out, we had someone like a  
8 person who had the right qualifications who had done some PA  
9 work. He didn't review his own authored PA work, but he did  
10 review something in the earth science or the engineering area.  
11 And, so that question was raised by the NRC. I don't know  
12 how well they are satisfied with the answer, but our view was  
13 that we adhered to the requirements adapted in the QA program  
14 stated to us and that was people don't review their own work.  
15 But, that it's perfectly okay to have a person who has  
16 appropriate background and training to review another part of  
17 a multi-discipline effort. And, that is the context within  
18 which we had some people who were on the DAA preparation team  
19 whose names also occurred in the technical reference list of  
20 documents that were there that were being reviewed.

21 MR. HORTON: If you would like, I could read you the  
22 specific words in NQA-1 on design reviews and what it says.

23 MR. MCFARLAND: Please?

24 MR. HORTON: It says, "Design verification shall be

1 performed by any competent individuals or groups other than  
2 those who performed the original design, but who may be from  
3 the same organization. This verification may be performed by  
4 the originator's supervisor provided the supervisor did not  
5 specify a singular design approach or rule out certain design  
6 considerations and did not establish the design inputs used in  
7 the design or provided the supervisor is the only individual  
8 in the organization competent to perform the verification.  
9 cursory supervisor reviews do not satisfy the intent of this  
10 standard."

11           And, I think that that rule was originally included  
12 in there for small design organizations because the Regulatory  
13 Commission didn't want to limit those small organizations and  
14 require them to go outside to get support.

15           MR. MCFARLAND: I understand.

16           DR. CANTLON: This is a good question to pursue a chronic  
17 question we've been asking you and that is the matter of what  
18 percent of the total project do you think now is going into  
19 the cost of the QA system? Because, here, you have a matter  
20 of review. If you wanted to really take a Caesar's wife  
21 approach to it, you'd make sure that no DOE person made the  
22 review to satisfy the sharpest critic of DOE's activity. That  
23 increases costs. You've got a whole bunch of quality  
24 judgments and so on. So, you're making both a quality



1 determination on the type of review. You're also making an  
2 internal cost and time calculation when you choose the  
3 reviewer. So, these are ingredients in a management decision  
4 of making a judgment between a total Caesar's wife approach  
5 versus a no really outside review. To what extent is that  
6 part of the rationale for where you came out in specifying  
7 your review procedures?

8 MR. HORTON: Let me add to your question. In some  
9 instances, you may elect, for example, to do a peer review if  
10 it is beyond the state-of-the-art. And, in many cases, that  
11 election may not be because you don't know what you're doing,  
12 but it adds to the perceived credibility of the final product.  
13 And, it may be a straight management decision that you need  
14 the added credibility of one or more peer reviews to do that.  
15 Now, that's a management call. I don't think it's in there.  
16 I helped Don a little bit. I believe that in many of these  
17 we have to meet--if it is through the grading process, if the  
18 activity has been determined to be quality affecting in terms  
19 of safety and/or waste isolation, then clearly we have to meet  
20 the minimum requirements for a technical or peer review.  
21 Then, there may be others that you elect to do in addition.  
22 But, that is a management call. But, you have to meet the  
23 minimum requirements. And, there are similar ones, but they  
24 may have different review requirements depending on what the

1 activity is.

2 MR. CLARK: If I can add something to that. I'm Bob  
3 Clark, DOE. One of the requirements that we have to meet in  
4 every review that we do is that we have to cover all the  
5 disciplines involved. So, in an attempt to quantify, if  
6 that's what you're looking for, the amount of reviewers,  
7 that's one thing we would consider. What is the document that  
8 we're reviewing? And, if it takes a multi-discipline  
9 approach, then we need somebody that can cover all those  
10 disciplines.

11 DR. ALLEN: Russ?

12 MR. MCFARLAND: Dwight, may I ask you a question? On the  
13 peer review, is there a documented process by which you  
14 identify and select peers, experts?

15 MR. SHELOR: Okay. There are two aspects. Let me  
16 answer--because there are right now still two procedures on  
17 peer review. One that we have in the Forrestal Building and  
18 the other one in the project. I really can't speak to the  
19 project, but Bob and Don and I can speak to the one in the  
20 Forrestal Building. I believe the answer is quite clear.  
21 There are only the requirements that we have to meet if--we  
22 have to cover all disciplines. There are criteria for  
23 determining if a peer review is appropriate and I believe that  
24 the basic criteria is, is the subject matter beyond the

1 accepted state-of-the-art? If it is, then it requires a peer  
2 review and that you cover all the disciplines. As far as  
3 selecting the individual, there is none other than that they  
4 be qualified in that area.

5 MR. RICHARDS: Dwight, could I ask maybe for some  
6 clarification? I know at Sandia we have a real terminology  
7 problem because most of the folks who work there use the term  
8 peer review to basically mean getting one of their technical  
9 reports checked by somebody who is technically competent that  
10 works down the hall, but not on that report, as opposed to a  
11 peer review board, as it's used in the project documentation.

12 MR. SHELOR: Absolutely. It's not only confusing to you,  
13 but to the rest of the world and, hopefully, through Don's  
14 efforts in standardizing some of our procedures and  
15 particularly the terminology, we need to settle down on one  
16 very clearly. Now, the ones that we have right now, I  
17 believe, is consistent with NQA-1 and standard accepted. The  
18 technical review is also done by peers, people of equal  
19 competence and have done that kind of work. But, the  
20 difference is that it's within the accepted state-of-the-art  
21 or state of knowledge in that particular area. A peer review  
22 then is, as I indicated before, when you're reviewing  
23 something that is new and different and beyond an accepted  
24 state of knowledge. For example, the hydrology model or

1 models that you're reviewing may, in fact, require a peer  
2 review if it is beyond the accepted state-of-the-art.

3 DR. ALLEN: Of course, much of a criticism of peer review  
4 recently, Congressional members having to do with allocation  
5 of research funds and whatnot, is that, yes, you get someone  
6 who is not associated with that project, but still a  
7 parishioner and member of the same old boys' club, and  
8 therefore, the whole process of generating itself and there's  
9 no opportunity for really new ideas or something to come into  
10 them.

11 MR. SHELOR: Well, one is just a practical consideration,  
12 obviously. If somebody had elected to use somebody's model  
13 and then go and ask that person to peer review it, you know,  
14 it might be a little self-serving maybe.

15 MR. BLANCHARD: Dwight, you described the headquarters'  
16 procedure. Let me just share with the panel the project  
17 procedure. We have one that governs peer review and it  
18 focuses--it has words in it like if it's beyond the state-of-  
19 the-art, peer review is called for, but it doesn't limit  
20 there. It says any time a branch chief, a division chief, or  
21 the project manager feels that something is sufficiently  
22 controversial in nature, he may call for a peer review. And,  
23 it spells out the process for documentation, process for  
24 identifying the chairman, and the process for identifying the

1 peers. And, in that definition, it requires each member of a  
2 multi-discipline team be selected and be selected from outside  
3 the project, someone who has not been funded on this  
4 particular subject in the project, in the funding area, as  
5 well as in the technical discipline area. And, we have  
6 carried out these peer reviews and have written reports,  
7 published them. Three that come to mind was one last year we  
8 conducted on geophysics and the use of prototype seismic  
9 profiling in welded tuffs to determine whether or not the  
10 method that's been proposed by the geophysicists from the USGS  
11 was one that was worth going forward for doing further  
12 geophysics in welded tuff in the vicinity of Yucca Mountain.  
13 That report was finished and it used all outside universities  
14 and outside consultants who do that work for a living.

15           We also finished one a couple of years ago where we  
16 brought the team of hydrologists, isotope specialists, and  
17 mineralogists together to propose a study that they wanted to  
18 conduct to determine the origin of the calcite-silica deposits  
19 in Trench 14. Again, we went outside and got some outside  
20 university people, some outside USGS people, and other  
21 consultants to review that plan, write an analysis to us, and  
22 make recommendations to the project whether to move forward  
23 and fund that plan and carry it out.

24           A third one, we just finished this year where Alan

1 Freeze, a hydrologist, assembled an independent group of  
2 university and outside consultants to peer review our state of  
3 knowledge of the unsaturated zone. They also in a similar  
4 vein went through the process of being debriefed by all the  
5 PIs, reading their reports, asking for briefings, looking at  
6 what the data was, and then independently decided whether or  
7 not our state of knowledge was adequate for the unsaturated  
8 zone to have a meaningful plan to characterize the unsaturated  
9 zone and to reach a basis for calculating groundwater travel  
10 time. That report is also available.

11           I don't think from an engineering standpoint the use  
12 of peer review in the science area is quite the same when you  
13 say is it beyond the state-of-the-art. There's two ways you  
14 can look at it. You can say, well, studying hydrology is not  
15 beyond the state-of-the-art. So, it never fits into that  
16 category. On the other hand, you could say making  
17 predictions, whether they're mineral stability or groundwater  
18 travel time over a 1,000 year or a 10,000 year period, is well  
19 beyond what most people would conceive reliably as within the  
20 state-of-the-art for predicting and, therefore, just about  
21 everything you do is interpreting site characteristics that  
22 lead you to conclude an impact on waste isolation over a  
23 10,000 year period. Just about everything might fall into is  
24 that within the state-of-the-art? The answer might be no.

1 So, we need to do it better. So, we've elected to use from a  
2 science standpoint more like what your degree of sensitivity?  
3 Is this a big issue? Is it in the area of disqualifying the  
4 site or is it in the area which is obviously going to be a  
5 heavy licensing issue? If it is or if it's receiving a lot of  
6 outside notoriety and debate, then we elect at the supervisory  
7 level to immediately go for a peer review and we always have  
8 selected people who are not in the project, who are not  
9 affiliated with the project, and who are not funded or have  
10 been funded by the project.

11 DR. DEERE: It appears that there should be a difference  
12 between a peer review and external peer review. You're saying  
13 you're essentially using external--

14 MR. BLANCHARD: All external people.

15 DR. DEERE: And, you are not using external peer reviews  
16 necessarily?

17 MS. SHELOR: Not necessarily, but it could be. And, you  
18 would have to find, you know, obviously, someone who was not  
19 directly involved to be a member of the peer review team.

20 DR. CANTLON: Independent review is different from  
21 outside review. Theoretically, you could have a DOE internal  
22 person who could be a perfectly excellent independent  
23 reviewer. But, he would not be necessarily--or she--an  
24 outsider.

1 MR. SHELOR: That's correct. And, it depends on whether  
2 you talk about the DOE as the entire DOE or OCRWM as part of  
3 DOE.

4 DR. DEERE: When you read the Congressional record of  
5 some of the statements by the House of Representatives during  
6 the formation of our particular Technical Review Board, you  
7 find that one of the things they had in mind was to create a  
8 peer review group that could report to them. That's  
9 essentially what they wanted. And, John Bartlett has told us  
10 that much. He said you keep asking for a peer review group.  
11 Well, that's what you are. We don't need any more.

12 MR. SHELOR: Right. You fit the definition.

13 DR. DEERE: It's interesting. They said we want a peer  
14 review group, a group similar to the National Academy of  
15 Science, but one that has power. Then, in the next statement  
16 that got into the final Act, it says the Technical Review  
17 Board has no authority. However, they should report their  
18 findings to the Secretary and to the Congress.

19 DR. CANTLON: Well, I must say comparing with where we  
20 were when we first met with you and where you are now, there  
21 seems to have been a great deal of crystallization, formal-  
22 ization, details put together. You gave us some crude numbers  
23 on the general cost of QA when you talked to us in November,  
24 but what's your new numbers?



1 MR. HORTON: I'm not going to tell you.

2 DR. CANTLON: What do you predict?

3 MR. HORTON: They're less now.

4 (Laughter.)

5 MR. HORTON: I just had a recent discussion with some of  
6 the people concerning the QA cost and I think that right now  
7 we're down around the 10 or 11% area in most of the  
8 organizations and even lower than that in some of them.

9 DR. ALLEN: Even lower than the overhead at Stanford?

10 MR. HORTON: I beg your pardon?

11 DR. ALLEN: Even lower than the overhead of Stanford?

12 MR. HORTON: Right.

13 MR. SHELOR: If I can make another comment and an  
14 invitation, not on the cost. But, as I indicated, recently  
15 with the M&O coming on board and getting some of the people  
16 indoctrinated in QA as we did very recently, it occurs to me  
17 that one thing that I'd certainly like to do is to invite any  
18 member of the Board or their staff who could spare the time to  
19 come over and sit through the six hour QA indoctrination. I  
20 think you would be impressed. I think you would be very  
21 pleased in sitting in to this indoctrination that every single  
22 OCRWM employee goes through. And, it would be quite  
23 informative to put everything in context.

24 DR. DEERE: Thank you very much. We'll take advantage of

1 that, right, Woody?

2 DR. ALLEN: But, let me ask then, in addition, say, for a  
3 specialty, say, for a physicist or some specialty, that person  
4 then undergoes an additional indoctrination in his or her  
5 particular field?

6 MR. SHELOR: No. Well, not as far as the QA is  
7 concerned. I mean, it's the same QA indoctrination for  
8 everybody. Secretaries, everybody that works in OCRWM goes  
9 through the general indoctrination and then, depending upon  
10 their job function, then there are--there can be additional  
11 procedures that they need to be trained in to perform for that  
12 function.

13 DR. CARTER: You know, some of you also were at the QA  
14 meeting in Las Vegas last week. So, now, I presume the Board  
15 is going to have a designated QA trainee. Last week, the  
16 lawyers were talking and they were talking about designated  
17 felons.

18 DR. ALLEN: Are there other questions from anybody at the  
19 table here? Roy, you've been very quiet.

20 DR. WILLIAMS: I think it's safer that way.

21 DR. ALLEN: Any other comments you people would like to  
22 make in response to any of ours?

23 (No response.)

24 DR. ALLEN: I have one question. The public image,

1 rightly or wrongly, within the State of Nevada of DOE or at  
2 least the waste management part of it seems to be at a rather  
3 low ebb among at least many Nevada citizens. At the same  
4 time, the Raytheon Corporation seems to come in flying high.  
5 Is there some way we can get these two together to get a  
6 public image that somewhat combines those two?

7 MR. HORTON: After listening to the hearings and  
8 everything, you know, I don't think that there's anything that  
9 we can do to change the attitude of Government officials  
10 there. It's politically motivated. But, you know, as far as  
11 the interface between Susan Zimmerman from the state, the  
12 counties, and everything, from a QA perspective I don't think  
13 that we have any differences, you know. We may have some  
14 minor conflicts on various things, but communication, I feel,  
15 is quite good. But, we're not going to resolve the political  
16 issues.

17 DR. ALLEN: Okay. Anything further?

18 (No response.)

19 DR. ALLEN: The remainder of the program has to do with  
20 final remarks from the DOE and the Technical Review Board.  
21 Let's not change our format here or the arrangement. Would  
22 John or Dwight or Ted or any of you wish to make some final  
23 statements?

24 MR. HORTON: Well, since no matter what I would say,

1 Dwight would have a comment about it--

2 MR. HORTON: Okay, Don, as a matter of fact--no, I would  
3 just like to conclude by saying, one, that we're very pleased  
4 to have been here today. I hope that some of the information  
5 that we presented and answers to your questions were helpful  
6 to you and that we want to continue in that mode and focus and  
7 use our time wisely on those areas which are of most interest  
8 to you and of some concern.

9 DR. ALLEN: Thank you. I think we've appreciated the  
10 opportunity to learn more about the program. Certainly, I've  
11 learned a great deal and I'd also say your invitation to  
12 attend the sessions, I think we'll take seriously. I think  
13 that's something that--the kind of thing we should become more  
14 familiar with.

15 MR. SHELOR: I'll go ahead on Don's behalf. Many times,  
16 it's more convenient for you to have a location and the  
17 individual to come to you if you have a few people that can  
18 spare the time.

19 DR. ALLEN: Okay. John, as Chairman of the QA panel, do  
20 you--

21 DR. CANTLON: Well, we will continue our session  
22 tomorrow, but today we focused on the QA aspects of design  
23 which is very different from things that we're going to be  
24 looking at tomorrow which look more into the research side of

1 things. I think this has been very helpful because, while  
2 there are obviously research dimensions that go into good  
3 design, nevertheless you're really dealing much more closely  
4 with things that are going to make a great deal of difference  
5 on the risk elements that the repository or MRS or whatever  
6 will be generating. And, so I think it was useful. At least,  
7 I come away with a feeling that the QA process is alive and  
8 well and developing and maybe even--maybe fully developed is a  
9 little too pat an answer, but at least it's in a more mature  
10 state than when we talked to you in November. From our  
11 comments that we've received from NRC, they don't see any  
12 show-stoppers at this point. That's gratifying to hear.  
13 Since there have been a lot of other kinds of show-stoppers,  
14 it would be great not to have a major QA show-stopper as the  
15 exploratory studies facility now begins to mature and to take  
16 off. Because until we can begin to see what lies under the  
17 repository site, a lot of the ideas of the design of the  
18 facility are going to still be in rather limbo, I think.

19           So, for my part, I think I am very pleased to have  
20 heard this element on the design and we look forward to  
21 tomorrow's activity where we look a little bit more closely at  
22 the continuing relationship to your researchers who are a  
23 little bit more difficult to get in the barn than perhaps the  
24 engineers.

1 MR. HORTON: We have them in our hip pocket now.

2 MR. SHELOR: Just a personal note, I do not plan to be  
3 here tomorrow morning. I have to go back on vacation. So,  
4 tomorrow, I'll leave it in Don's hands and I won't have to  
5 second guess.

6 DR. ALLEN: Okay. Don, the final word is yours?

7 DR. DEERE: Right. Well, I think I would like to use the  
8 36 minutes we have left here. First, are there any comments  
9 from any of the observers, be it Edison Institute or EPRI or  
10 Nevada or one of the affected counties? We'd be pleased to  
11 take any.

12 MR. TOM CALANDREA: I'm Tom Calandrea from Edison  
13 Electric Institute. I have just a quick comment on the  
14 progress of DOE through the years. I've been associated with  
15 the project for Edison Electric Institute for a little over  
16 four years now and have been observing through various means  
17 the progress that DOE has been making from a QA standpoint.  
18 And, one of the things that sticks in my mind as one of the  
19 milestones along the way that I use for comparison is a  
20 meeting held in July of '88 in which the subject of ESF was  
21 brought before the NRC and presentations were given. And, the  
22 bottom line of that meeting was that the NRC had some  
23 questions about the competence that they could place in DOE's  
24 approach to QA for the ESF. And, since that time, I've

1 noticed considerable improvement and I've seen several other  
2 milestones that particularly trigger in my mind significant  
3 jump shifts or step increases in the rate of improvement.  
4 And, I think one of them is bringing Don Horton on board in, I  
5 think it was, October of '89, and from that point forward, the  
6 rate of increase in DOE's improvement was significantly  
7 greater than prior to that point in time.

8           Other things, though, that were also in my mind step  
9 increases were the workshops. There were workshops on the QA  
10 flexibility which we discussed in November. They occurred in  
11 October. And, they represented a significant closing of the  
12 gap in terms of the concerns that the scientists had and the  
13 QA's ability to respond to those. So, to me, that was a  
14 significant step forward. The workshops held in January and  
15 February on software QA were also steps along those lines.

16           So, from my perception and, I guess, more of  
17 personal observation than a statement from EEI, I'm very  
18 pleased with the increase in the rate of progress noted by DOE  
19 from a QA standpoint and I encourage them to keep that up.

20       DR. DEERE: Thank you very much, Tom. Now, aren't you  
21 glad you stayed around for this?

22       (No response.)

23       DR. DEERE: Are there other comments?

24       (No response.)

1 DR. DEERE: Well, I think that we, as well, are favorably  
2 impressed with what we have heard today and the real progress  
3 or the real effort that's being exerted to apply QA to the  
4 design. We thank you very much for obvious time that you took  
5 in preparing this information to give to us and I think it's  
6 been most helpful.

7 Thank you.

8 DR. CHU: I have an announcement. The public part of the  
9 meeting tomorrow is at 10:30, as it's so noted on the program.  
10 So, this is just a reminder.

11 (Whereupon, the meeting was adjourned.)

12

13

14

15

16

17

18

19

20

21

22

23

24



## CERTIFICATE

This is to certify that the attached proceedings before:  
UNITED STATES NUCLEAR WASTE TECHNICAL REVIEW BOARD

In the Matter of:

QUALITY ASSURANCE

and

STRUCTURAL GEOLOGY & GEOENGINEERING

JOINT PANEL MEETING

Location: DALLAS, TEXAS

Date: MARCH 26, 1991

was held as herein appears, and that this is the original  
transcript thereof for the file of the Board.

---

Official Reporter

FEDERAL REPORTING SERVICE, INC.  
17454 E. Asbury Place  
Aurora, Colorado 80013