

UNITED STATES
NUCLEAR WASTE TECHNICAL REVIEW BOARD

Meeting of the Panel on Structural Geology
& Geoengineering

Repository Sealing Program

Wyndham Garden Hotel
18118 Pacific Highway South
Seattle, Washington

November 13, 1991

BOARD MEMBERS PRESENT

Dr. Don U. Deere, Chairman, NWTRB
Dr. Dennis L. Price, Co-Chairman, NWTRB
Dr. John E. Cantlon, Member, NWTRB
Dr. Clarence R. Allen, Member, NWTRB

NWTRB STAFF

Dr. William D. Barnard, Executive Director
Mr. Russell K. McFarland, Senior Professional Staff

I N D E X

PAGE NO.

Opening Remarks, NWTRB
Dennis L. Price 315

Technology to Seal Shafts and Ramps
Dr. John Case, IT Corporation 315

Field Test Planning Efforts
Joseph Fernandez, Sandia National Laboratories. . . 331

Concluding Remarks
Dr. Jon White, Department of Energy 368

1 The outline of my presentation is, is that I am
2 first of all going to discuss primary grouting of the
3 modified permeability zone around a shaft seal. I am then
4 going to discuss construction methods for liner removal
5 which include fragmenting the liner and mucking the broken
6 liner to the ground surface. I am then going to discuss
7 placement of backfill; excavation of a keyway; placement of
8 concrete; and then secondary grouting of the interface zone
9 and modified permeability zones.

10 This presents a schematic of the final design for
11 shaft seal as we see it. I should indicate that this work
12 was done as part of the Exploratory Shaft Performance
13 Analysis studies that we did for the Department of Energy to
14 address issues with respect to whether the exploratory
15 shafts would affect the long term performance of the
16 repository. So it was done in that context. But, basically
17 the final product that we would have would be, we would have
18 a series of holes that would be drilled outward from the
19 shaft to intercept the modified permeability zone. We would
20 have removal of the liner at the place where the plug was
21 placed, and also keying in the plug. This would be done for
22 several purposes. One would be to remove perhaps a shallow
23 zone of blast damage that might exist around the shaft.
24 Also, it would promote the structural integrity in the sense
25 that the plug would be resisting loads in bearing

1 compression, as opposed to simple shear. Following
2 construction of the plug, then we would drill additional
3 holes for secondary grouting of the interface zone and
4 perhaps the modified permeability zone.

5 After so many technical presentations, I think it
6 might be appropriate to quote Shakespeare. He said in one
7 of his plays: "All the world is a stage. All men and women
8 are players. They make their entrances and exits and of men
9 there are seven ages." And with that I introduce this
10 picture. This shows the shaft stage from which we make
11 entrances and exits to the areas where we are going to be
12 sealing. What it is, is essentially it is fabricated out of
13 structural steel; it has a series of different platforms;
14 the steel would be constructed in such a way as to have a
15 gap of perhaps nine inches at the boundary for safety
16 reasons; and, there would be areas where things could be
17 hoisted up and down the center of this shaft stage, or
18 another term is a Galloway. Basically, this platform would
19 be hoisted up and down the shafts in conducting the
20 operations.

21 The first thing we would probably have to do would
22 be to decide where we were going to place the seals. I
23 think what we would do would be to conduct various
24 geophysical surveys. These surveys might be shaft mapping.
25 They might also be geophysical surveys such as cross-hole

1 seismic resistivity or electrical resonance. And in the
2 case of perhaps large fracture zones which we might be
3 interested in isolating, or at least not proposing seals
4 near large fracture zones, we may be using ground
5 penetration radar surveys which have been used at the Waste
6 Isolation Pilot Plant with considerable success in
7 identifying large fracture zones.

8 After we had done that and we located the place
9 for sealing, we would then proceed to obtain information
10 about grouting. This might be done with a series of packer
11 tests where we would test for the permeability of the rock.
12 We would determine safe injection pressures. Some of the
13 rules of thumb that have been developed is that the safe
14 working pressures for grouting operations would be
15 approximately .8 of the depth of cover. We might envision
16 the need to pump grout at pressures of a pumping rate of one
17 to fifteen gallons per minute with pressures to 700 psi.

18 I might also add that the permeability information
19 would tell us things about what types of grout to use. If
20 we had a higher conductivity materials, maybe we could go
21 with normal particle sizes in terms of our grouts. If we
22 have much smaller conductivities of the order of 10^{-5} , 10^{-6}
23 centimeters per second, we may need to go to an ultra fine
24 cement.

25 After we had determined information with respect

1 to grouting, we would then proceed with grouting. We would
2 probably use some sort of grouting of pattern as is shown
3 here. We would go in and this is showing the shaft and
4 developed elevation. We would start at one end, perhaps at
5 this row here in the bottom row, grout there, come over here
6 and do this at the same time (indicating), then here in the
7 center, and then essentially just sort of fill in between
8 here and here (indicating). Once we had done that, go into
9 a central set of holes and do additional grouting. So we
10 are grouting within the holes created by the top row and the
11 bottom row.

12 This grouting would be done from the liner.
13 Having the liner in place facilitates grouting and also
14 provides protection during the operations. We might have a
15 grout pipe that would be initially grouted into the shaft
16 liner and then the hole would extend out into the modified
17 permeability zone angled slightly downward. And then of
18 course, we would attach our grouting hoses at this point.

19 Just to give you an idea of the types of equipment
20 that we might use, this shows a small circular rail system
21 that could be mounted on the shaft stage or Galloway. There
22 are small carts here, such as here (indicating), and we
23 could have then a Drilling Jumbo that would be pneumatically
24 operated. We could use this to precisely locate places at
25 which we would do our drilling.

1 Let me move on and talk about liner removal
2 methods. We may want to remove the liner, not only at the
3 location of the plug, but we may also need to remove it
4 below as Joe had indicated before, there may be some reasons
5 we would want to encourage drainage. We may have chemical
6 compatibility problems with respect to leaving the liner in
7 place that would pose problems. And so one of the things
8 that we looked at in the study was to look at various
9 methods for complete removal of the liner.

10 The methods that we looked at were several manual
11 methods that would be hand-held pneumatic breakers, drilling
12 and blasting, drill and use of hydraulic splitters, drill
13 and use of nonexplosive drilling agent. Then, we looked at
14 other methods that might be used in more of a higher
15 production environment, an impact breaker and a roadheader
16 boom.

17 The first four methods would be used from a single
18 stage and could be used in conjunction with placement of
19 backfill. The last two methods would be mounted on one
20 stage and mucking and backfilling would occur from a second
21 stage.

22 This shows the schematic of the production cycle
23 that we would have. The Galloway is coming down to this
24 area right here (indicating). What we have at the top deck
25 is drilling that is taking place. Supervisors on this deck

1 were loading it up with an agent or using hydraulic
2 splitters on chains. As liners fragmented it drops down to
3 the bottom.

4 After completion of that first cycle, then we
5 would go in with our Cryderman, which would come down and
6 pick up the chunks of the liner and place them into the
7 bucket which then could be hoisted to the surface. We would
8 then use the same equipment to bring backfill down to the
9 bottom here and use the Cryderman to place the backfill. We
10 might also use some manual compaction methods at that stage.

11 One of the things I point out about these
12 operations is the need for safety. I don't think we have
13 talked about safety, but safety is of extreme importance in
14 operations that we are doing. In this particular operation,
15 it will be important that the men know exactly what their
16 jobs are and that they are at the right place at the right
17 time.

18 This shows a picture of the shaft stage that is
19 rigged in a different way. You would have a circular rail
20 system down here possibly, and an Orange-Peel-Grab that
21 could be operated and could be hoisted up and down. Then we
22 could pick chunks of liner off at this point and place them
23 into a bucket which could be hoisted to the surface.

24 Here is a picture of a Rotary Underdeck Mucking
25 Unit. Basically, what we have is a Orange-Peel or Cactus

1 Grab that would be operated from a winch right here. This
2 thing could rotate around and could also travel laterally
3 like this and it could be used for precise placement of
4 backfill. Here is a picture of a Cactus Grab. Basically
5 it has pedals that are operated hydraulically. It can be
6 used to pick something up and take it over to some other
7 area and drop it. Anyway, this is the kind of equipment
8 that could be used for the removal of the liner and
9 placement of backfill in a shaft.

10 Here is another type of rigging on the base of the
11 shaft stage. Basically, this picture here shows an Impact
12 Breaker that is operated from this area (indicating). This
13 thing could be swiveled around and the Impact Breaker could
14 then impact and fragment the liner. Chunks of the liner
15 would fall out. This stage would go to the surface and the
16 mucking stage would then be used to remove the liner.

17 This shows a schematic of the emplacement of the
18 concrete. What we would do is after we had removed the
19 liner, we would probably go in here, construct a shaft
20 keyway by drilling a series of lateral holes. Loading those
21 up with some expansive agent we would fragment this part of
22 the liner and then once we had developed a small platform,
23 we would work our way down in removing the rock at that
24 point. After we had done that then we would have a batch
25 plant at the ground surface; we would pump concrete down.

1 The concrete would be tremmied into place. This is not
2 correct here; this person would actually be using a rod to
3 basically remove air voids from the concrete at this point.
4 And then we would just work our way up, retreat the shaft
5 stage out of that area.

6 After we had completed that, we would go in and
7 have a series of seal grout pipes that we could remove. We
8 could break those out at the very end, so we weren't
9 introducing any steel into the system. And then from this
10 point, we would have perhaps eight holes at the top midpoint
11 and bottom of this shaft seal. We would essentially grout
12 that interface zone to tighten that area up.

13 At this stage, I would like to address a little
14 bit about what we would do if we had a ramp seals as opposed
15 to a shaft seal. Most of this work was directed at looking
16 at sealing in the exploratory shafts. Some of the things
17 that we would do the same would be if the ramp was tunnel
18 lined, lined with concrete, then we could use the similar
19 grouting techniques that were portrayed here, grouting from
20 that particular liner. If we had a shotcrete with welded
21 wire mesh with shallow bolts, I think that we could probably
22 remove those as part of the operation of keying the plug
23 into the rock.

24 I would think that resin grouted bolts that
25 extended far up into the rock at the points that we were

1 wanting to locate to seals, might pose something of a
2 problem in removing that artificial support.

3 I should also say, that one thing that would be
4 different for a ramp seal would be we might want to angle
5 the holes from the vertical so that the holes would
6 intercept the dominate vertical fracture patterns that are
7 in evidence in the welded fractured tuff.

8 After we had completed that operation, we would
9 probably use similar manual methods for fragmenting the
10 liner. Backfilling would be similar to what was presented
11 yesterday in terms of backfilling. However, we would have
12 problems with respect to emplacement of a concrete plug
13 because of potential separation that may occur at the top.
14 Now, some of the ideas that could be used for addressing
15 that issue would be to construct temporary bulkheads, inject
16 the concrete under a slight pressure, try to force it up
17 towards the roof of the ramp seal. I think after we
18 completed that, we still would have a problem with air voids
19 that might form at the top of that plug. It would be very
20 difficult, I think eliminate air voids perhaps at the top of
21 the plug. However, after we completed that, we could go in
22 there with our contact grouting and the contact grouting may
23 be much more important in the case of the construction of
24 the ramp seal, than in the case of the shaft seal, to try to
25 tighten up that area that might exist at the top of the ramp

1 seal.

2 With that, I conclude my presentation.

3 DR. PRICE: Any comments or questions?

4 DR. DEERE: Don Deere. I think you have made a very
5 nice study of it certainly using techniques that will do the
6 job and are available. I don't think there would be a great
7 trouble, however, in emplacing either an incline ramp or a
8 horizontal tunnel, the concrete plug and the seal, because
9 this is sort of what is typically done in all of our
10 hydraulic pressure tunnels. They do though have to come
11 back in as you mentioned with angle holes to cross the
12 contact. You have to wait a little while until the concrete
13 cools down and shrinks, then come in. It is absolutely
14 necessary that you do come in with that two or three rows of
15 contact grouting right there at the contact to fill up what
16 may have pulled away from the top. I don't see it as a
17 great problem.

18 Right at the moment, they are removing very heavy
19 concrete segments in the Channel Tunnel at the French
20 Crossover Cavern. They have gone in again and they want to
21 make it a production exercise. What they have gone to is
22 the hydraulic ram, which you showed a picture of there with
23 a long machine held super rock breaker or jack hammer and
24 breaking these segments down as fast as they can and then
25 lifting them out with a small shovel and putting them on the

1 train.

2 Do you think there is any possibility that you can
3 just leave that material and not have to haul it out? It
4 probably won't be reinforced concrete, because it is in a
5 circular shape and it may well just be a plain concrete.

6 MR. CASE: The issues that we looked at were that the
7 NRC had raised some issues with respect to liner removal.
8 If you can imagine a plume of water that is moving down the
9 shaft somehow maybe at the contact zone it enters the shaft
10 or perhaps there is some fracture zone that may enter the
11 shaft and the water is moving down in the unsaturated zone.
12 If it moves below the repository horizon into a sump, then
13 that sump could fill up and it could simply drain below the
14 repository and not pose a problem for water entering the
15 repository.

16 Some of the concepts that I think Joe had showed
17 earlier would incorporate a concept of drainage and there
18 might be some advantage to removing the liner for that
19 purpose. But other issues that have evolved with the
20 project are, if we have a liner and we have the J-13 or
21 nearly meteoric water contacting that material, could that
22 alter the pH of the water, increase the pH, and cause some
23 issues with respect to radionuclide migration. I think that
24 was sort of the context in which it was looked at.

25 DR. DEERE: I guess I didn't state my question real

1 well. I meant after you break the lining out, just break it
2 small enough that you just compact it right in place and you
3 mix it with the backfill.

4 MR. CASE: That is a possibility, yes.

5 DR. DEERE: Rather than hauling it up and then bring
6 something else back down.

7 MR. CASE: Yes. It could be done that way. And in
8 fact if it was done that way, then the Impact Breaker or the
9 roadheader that would be mounted at the base of the shaft
10 stage could be used at a much higher production rate. In
11 other words you could really go in there and probably remove
12 that liner at minimal cost, reducing the cost for that
13 particular operation.

14 MR. FERNANDEZ: I think Tom Hinkebein had a question or
15 a statement to make.

16 DR. HINKEBEIN: This is Tom Hinkebein. The comment
17 with respect to leaving the liner in place is this. One of
18 our sealing concepts has the bottom of the shaft as a
19 drainage area. If you allow the concrete liner to drop to
20 the bottom of the shaft, that could cause some problems with
21 plugging in the bottom of the shaft. We have calculations
22 of kinds of things that show that the concrete interaction
23 with the tuff could cause the tuff to tighten up and make it
24 less permeable.

25 If you were to create a zone near the bottom of

1 the shaft, you know, you isolate it, we don't think that
2 these interactions are going to be a very large range. But
3 if you crate a zone of isolation and provide for some
4 drainage structure near the bottom of the shaft there is
5 certainly no reason why you couldn't leave a lot of that
6 concrete there. It would take a lot of experimental
7 confirmation at this point. But, the point is, is that if
8 you can get that drainage structure secure so that you know
9 that you have got to require drainage at the bottom of the
10 shaft, then the concrete should pose no additional problems.

11 DR. CANTLON: But if it is more or less left in place
12 incrementally as the filling goes on, you don't have it in
13 any one place.

14 DR. HINKEBEIN: Right. So what you would have to do
15 there is assure yourself that the backfill properties of a
16 mixed concrete tuff would have appropriate hydraulic
17 conductivity to allow your drainage.

18 DR. DEERE: I guess a concern would be that the
19 calcite, calcium solutions coming out of the concrete with
20 water moving through would do self-grouting.

21 DR. HINKEBEIN: That is exactly what happens, as a
22 matter of fact. Your concrete solutions are high in calcium
23 and when they hit the tuff you start to get calcite
24 formations and a lot of other zeolitic minerals, feldspar
25 type minerals tend to also precipitate. So, you do have a

1 lot of alteration and that alteration is what you need to be
2 careful about.

3 DR. DEERE: It does seem to me like it is geochemistry
4 controlled.

5 MR. CASE: Yes.

6 MR. FERNANDEZ: I just had a comment here too.

7 The study we had done on the performance of the
8 exploratory shafts, particularly the geochemistry study that
9 we had performed, is an ideal case that where we can support
10 the design activities, recognizing that we may have problems
11 with the traditional concrete, or there may be more problems
12 with the traditional concrete. Why not at the onset modify
13 that concrete since in fact our concepts are to leave the
14 majority of it in place, here we have a unique opportunity
15 perhaps to get an enhanced concrete liner with minimal cost
16 that will help us from a long term performance standpoint.
17 Just an additional point of clarification, it is our
18 designed concept to remove all of that material, all of the
19 liner that is at the bottom of the shaft, which really is
20 not that much concrete. So, it is more desirable I think,
21 looking at other issues for example, settlement, to control
22 the rock fill that you would put in there by eliminating the
23 concrete. So, we avoid several issues. I think the overall
24 cost of removing the concrete is minimal in comparison to
25 the performance objectives that you are trying to achieve.

1 DR. PRICE: Any other questions?

2 What about the role of compaction of the backfill
3 and settling of the backfill and so forth. Any concerns
4 about that?

5 MR. CASE: We have done some calculations that have
6 looked at those issues. I would say this, we think that
7 given that we do laboratory testing to determine compactive
8 properties of a backfill, and we go to some lengths to apply
9 compaction principles to compacting those materials, we can
10 achieve a good compactive effort. We can reduce the
11 potential for settlement that would occur. We have done
12 some calculations in terms of the amount of settlement.

13 We may have some settlement that would occur and I
14 think, you know at the point of which the seal is supported,
15 we would want to probably key that into the surrounding
16 rock, so that we have load transfer that is occurring from
17 the backfill above into a bearing compression in the rock.
18 I think the fractured tuff has sufficient bearing capacity
19 for us to do that. So if there was some potential for
20 settlement to occur below the plug, we would still have a
21 stable configuration.

22 Does that answer your question?

23 DR. PRICE: Yes.

24 MR. CASE: Okay.

25 DR. PRICE: Any other questions or comments from the

1 table? Audience?

2 If not, we will go to the next player at the next
3 stage, who shouldn't upstage or he'll have a "Case" on his
4 hands.

5 MR. FERNANDEZ: Good morning. The subject of my
6 presentation is some ongoing work that we are doing. We
7 are actually getting very close to completing this work as
8 the definition or the preliminary definition of the field
9 test plans for the repository sealing program.

10 The reason why we did this work was two-fold.
11 One, to provide focus for the sealing program and those
12 additional areas that we need to perform. For example,
13 supporting laboratory analysis and also numerical analysis
14 that we feel are necessary in order to better understand the
15 performance of sealing components.

16 The second reason for why we did this work was to
17 support the current design activities. It was at the
18 direction of Ted Petrie of the Department of Energy. He had
19 requested us to provide information with respect to
20 requirements for the overall facility; requirements that
21 would be incorporated by all the principal investigators
22 associated with the field testing programs and then
23 coordinated by Los Alamos National Laboratories and provided
24 to the designers as we get into the next design phase.

25 The purpose and the approach for the field testing

1 work is described on this slide. The purpose is to reduce
2 the uncertainties associates with the performance and
3 emplacement of sealing components. You may recall my first
4 presentation I had a great big rectangular box that said,
5 the focus of the sealing program is to reduce the
6 uncertainties associated with sealing. Those uncertainties
7 fell into two categories; emplacement uncertainties,
8 uncertainties that have been raised in John's presentation
9 and Archie's presentation; also, the performance of the
10 sealing components. That is the focus of the sealing
11 program and the field testing program to reduce those
12 uncertainties.

13 By reducing those uncertainties, we also resolve
14 Issue 1.12, through the flow diagram that John White had
15 presented yesterday. In one of the boxes, about half-way
16 down on that particular issue resolution, process or logic
17 diagram which is included in the SCP, and our approach to
18 resolve the Issue 1.12 is field testing and laboratory
19 testing.

20 The steps that were defined in the SCP, there were
21 four steps. We had opted not to present a lot of detail on
22 field testing, requirements or field test plans in the SCP,
23 because, we felt it was slightly premature to do that.

24 We did however, define four steps in the SCP that
25 we felt were logical steps to developing a field testing

1 program in sealing. The first was to evaluate what
2 information is needed; what site information is needed; and,
3 what seal performance information is needed. In the SCP we
4 had very detailed tables that had presented the hydrologic
5 site properties that we needed; the miscellaneous properties
6 such as the in situ stress state; the unconfined compressive
7 stress of the Tiva Canyon, Topopah Spring, Paintbrush Tuff
8 Member; places where seals would be located; thermal
9 conductivity requirements in order for us to properly design
10 cementitious seals; as well as seal performance issues.

11 The second step was to evaluate the adequacy of
12 that information. We had also presented the performance
13 allocation process. One part of the performance allocation
14 process was to look at the information that we need and is
15 that information available? What is the needed confidence
16 in that information and do we have that confidence today?
17 That is what the second step involved. The third step was
18 to define what tests we currently would like to do in the
19 sealing program; a preliminary definition of field test.
20 The fourth step was to provide the detailed definition of
21 the test.

22 Right now we've basically completed the first two
23 steps and those are described in the SCP. We are at the
24 process of defining these tests, a preliminary definition of
25 the field test, and that is the work you will hear today.

1 As we develop further into the sealing program, we will
2 provide detailed definition of the test prior to the
3 implementation of those tests in the field.

4 The next slide shows the regulatory basis for
5 testing. You may recall in John's presentation and several
6 of my presentations, we referred back to the regulations,
7 the 10 CFR60 regulations or the 40 CFR191 regulations. In
8 10 CFR60, the regulations really can be broken down to three
9 areas; design testing, performance criteria and general
10 criteria. The one that really directs this work I feel is
11 10 CFR60.142. And in Section 142, there are four sub-parts.
12 The first is during the early or developmental stages of
13 construction, a program of in situ testing of borehole and
14 shaft seals, backfill. And it went on further to say that
15 the thermal interaction effects of the backfill, the rock,
16 the waste package and the ground-water effect should also be
17 evaluated.

18 The second part said to test as early as is
19 practicable. The third section specifically mentioned the
20 backfill test, effectiveness of placement and compaction
21 procedures should be evaluated. The final section said that
22 test sections should be performed to evaluate the
23 effectiveness of the borehole and shaft seals before full-
24 scale emplacement of seals.

25

1 Now I just would like to go back to the first part
2 here. During the early developmental stages of
3 construction, I think the NRC by their comments back to us
4 are inferring that this is in fact the initiation of
5 construction of the underground facilities; the ramps for
6 example, the exploratory studies facility. If you go back
7 to the one slide that Jon White had presented yesterday, it
8 is our intention to initiate field testing prior to license
9 application and to continue field testing after that point
10 in time in order to provide sufficient validation of the
11 performance of sealing components.

12 In the testing program we basically have two
13 categories of testing. The first is testing of the geologic
14 features. You've heard by now through all of our
15 discussions yesterday and today, primarily yesterday, that
16 we are very much trying to tie our sealing performance to
17 the site itself and to the design. There were three
18 elements that I pointed out in my first presentation: site
19 consideration, design consideration and the seal performance
20 considerations.

21 It is very important then to understand what the
22 nature is of the different geologic features that we are
23 penetrating through. It is all tied to the total system
24 performance assessment. For example, in the testing
25 program, we have identified an understanding of the geologic

1 and hydrologic properties of the Ghost Dance fault and other
2 major geologic features. We've also identified other faults
3 that may occur beneath alluvium. What sort of
4 interrelationship is there between the surface to the
5 subsurface? Perhaps shallow faults that would penetrate the
6 upper portion of the ramp for example, but not necessarily
7 go down into the underground facility.

8 Conversely, are there some other fractures or
9 faults associated, penetrating through the Topopah Spring.
10 Is there some sort of categorization scheme that we can use
11 where we can categorize the fault or the geologic features
12 into different units, and then apply that understanding to
13 the overall performance assessment activities.

14 The second category is the evaluation of specific
15 sealing concepts and sealing components. One part of our
16 strategy is not just the sealing components, it is looking
17 at the sealing concept; the concept of drainage. I think
18 this concept has to be demonstrated and validated in the
19 field, or at least better understood in the field, as well
20 as the sealing components themselves.

21 Now, it is not necessarily the responsibility of
22 the sealing program to do this type of testing where it
23 works in conjunction with a specific test. We will evaluate
24 the performance of the geologic and hydrologic performance
25 of these unique features. But, for the most part, a lot of

1 this testing has been described by the U.S. Geological
2 Survey, the Bureau of Reclamation and other people in the
3 project who will be performing that particular function of
4 trying to understand and characterize these geologic
5 features.

6 My discussion today, really will focus on the
7 Category B testing; the evaluation of the concepts and the
8 sealing components. I'll talk primarily about the field
9 testing aspects, but I didn't want to ignore the fact that
10 we will be using numerical analysis and laboratory testing
11 in order to support the field testing activity. I think
12 prior to fielding a very large expensive test, it is very
13 important to understand what type of response we expect to
14 get or think we might get out of these field tests to do a
15 more thorough up front evaluation through the numerical
16 analysis and laboratory testing.

17 I would like to briefly go through one slide
18 apiece on the numerical analysis as well as the laboratory
19 testing just to give you an idea of where we are with that
20 right now. This by no means represents the comprehensive
21 list of analysis that I believe will be necessary to do the
22 field test, but they are the analyses that we have performed
23 to this point in time, in order to give us a better
24 understanding for some of the tests that we are proposing in
25 the field testing program.

1 The first is a steady-state flow of water through
2 plugs. We made some assumptions as to Darcy's Law, the
3 parallel flow through the interface, modified permeability,
4 and seal zones and we evaluated a number of conditions.
5 I'll present some of the calculations just to give you a
6 conceptual idea of what we have done there.

7 The second is in the area of hydration
8 calculations to determine interface stress. John has
9 presented some of that information yesterday. What I would
10 like to do is again show a typical calculation that we have
11 done to help us a little bit better to define the field
12 test.

13 The third is the water flow through an inclined
14 embankment. And I presented some of those results
15 yesterday.

16 The laboratory testing to support the seal test
17 are defined basically in two categories. Tom Hinkebein,
18 yesterday, talked about the screening of the materials for
19 the sealing program. Basically we are focusing in on two
20 types or two categories of materials; earthen materials and
21 cementitious materials.

22 There is some fundamental relationships that we
23 need to understand in order to progress in our testing
24 program. The relationship between density and water content
25 for the earthen materials; particle gradation; hydraulic

1 conductivity related to the density as well as to the
2 particle gradation; swelling capacity of clays as related to
3 density just to give some examples.

4 For cementitious materials, they fall basically
5 into two categories of characterization, performance and
6 emplacement type of considerations. For example,
7 workability would be considered an emplacement type of
8 property that we would like to understand to make sure we
9 can get this material underground over long distances if
10 that seems appropriate, or over shorter distances. The set
11 time and working time for the cementitious materials; the
12 slump and viscosity, viscosity being also a performance
13 issue of how well we can inject the grout into the different
14 fractured rock media.

15 DR. CANTLON: Joe do you mean that, in the earthen
16 materials, which of those categories of information would be
17 useful to estimate slumping or settlement, because that is
18 clearly going to be one of the key problems?

19 MR. FERNANDEZ: Well, you know, this doesn't
20 necessarily represent a complete listing.

21 DR. CANTLON: I understand.

22 MR. CASE: Well, you know, typically your basic
23 compaction type curves where we are looking at void ratio
24 versus load for various material gradations and so forth
25 would be the types of information and indeed I think on some

1 of the crushed tuff experiments that have been done, we have
2 data and information like that. So, actually it is
3 something that should be included on that list.

4 DR. CANTLON: Compaction or settlement or something.

5 MR. FERNANDEZ: And as John pointed out, we have done
6 some work in that already looking at crushed rock fill to
7 find out what the consolidation properties would be. And as
8 I also pointed out yesterday, it is an area that we need to
9 continue a little bit more because we don't know what those
10 relationships are for the material that we have in hand or
11 will have in had.

12 DR. PRICE: Do you have a history or data on long term
13 settlement over like 100 years?

14 MR. FERNANDEZ: We have done no laboratory testing. I
15 don't mean to be facetious in that regard.

16 DR. PRICE: He is looking for long term funding.

17 MR. CASE: Most of the work I think we have is simple
18 void ratio versus load type of information and then given
19 that we have a column of backfill, we can calculate what
20 kinds of compression would occur. We can also look at it
21 from the standpoint of minimum void ratio and maximum void
22 ratio and changes in void ratio that potentially could
23 occur. In other words, you can go in the laboratory and
24 determine minimum and maximum void ratios for most
25 materials. So I think we have some information and

1 calculations that we have looked at that we have generated.
2 We have had some information on the amount of settlement
3 that may occur. It's of the order of perhaps one to two
4 percent of the height of the shaft. So, it could be fairly
5 substantial.

6 DR. CANTLON: Couldn't you get some of these old mine
7 dumps, many of which are now approaching 100 years old, and
8 look at comparative densities on the tuff that is out there
9 on the dumps to get some estimate?

10 MR. FERNANDEZ: Well, part of the available
11 technologies work that we were doing was to try to get a
12 better handle on case histories where we would be able to
13 understand what some of the properties would be. It is hard
14 to find that operation. That is not to say it doesn't
15 exist, but in our resource pool, we have not found very many
16 examples to get that performance information, to find out
17 what the consolidation was for certain types of backfill.

18 There was a report that was put out, I think it
19 was National Coal Board back in 1982, that talked about if
20 you just dumped stuff down a shaft, you would expect to get
21 a 70 percent settlement over the column of the shaft. That
22 was considered in the original work that we had done. The
23 one or two percent that John is talking about is the
24 performance criteria that we had established in the original
25 repository concepts. The work that was done at Waterways

1 Experiment Station to look at the consolidation behavior, we
2 actually came up with our curves of consolidation versus
3 time. So, in that since, we tried to compress the materials
4 such that we would be able to reduce the void ratio or to
5 reduce the porosity of the material.

6 DR. DEERE: I think there is another point, too. The
7 friction that is exerted between the material and the walls
8 is extremely important and how much of it hangs up on the
9 side and doesn't get carried down. You can fill up to a
10 certain depth or to a certain height, let's say, and keep on
11 filling up. And if you put a pressure plate down at the
12 bottom you don't even measure anything; no difference at all
13 because it goes out by shear friction, which is shear
14 generated. In filling a lot of our bins for instance, with
15 soybeans or corn or oats, makes all the difference in the
16 world, because, soybeans always give us greater pressures at
17 the bottom. They also give us greater outward push and a
18 lot of the failures that we have had in steel tanks have
19 been where we have soybeans because of their low friction
20 with respect to the other materials. I know we are not
21 going to use soybeans.

22 MR. CASE: One of the things I would say here, we have
23 some calculations we are currently working on, you know,
24 this report on exploratory borehole strategies, and we have
25 actually used the silo type formulas to take into account

1 the friction that occurs on the sides to calculate potential
2 loads that would occur on seals. We haven't presented any
3 of that information here in these presentations. However,
4 that information will be made available in the current
5 report that we are writing. We are looking at that
6 particular issue. We are also looking at issues that if
7 there was water that built up within the backfill in terms
8 of loading the plug, we could take into account the
9 effective stress. In other words, not only the weight but
10 we would do an effective stress analysis of what the
11 stresses would be potentially in the plug and compare that
12 with the potential strength of the material. In order to
13 address your question here we do have those calculations and
14 unfortunately we didn't bring them with us.

15 DR. DEERE: Another comment I would like to make, on
16 your cementitious materials, I think your density heat of
17 hydration, etc., are extremely important, not the density so
18 much, but getting a cement that does not have a high heat of
19 hydration, because that is what drives the cracking during
20 cooling. In having built a lot of these plugs, I know we
21 can get into trouble very easily. We have them crack,
22 absolutely horizontal right down through the center of
23 tunnel plug. It went in too hot and when it cooled down to
24 ambient, there was a delta-T, a temperature change greater
25 than about 15 degrees centigrade, which will crack it every

1 time.

2 Ten is about the theoretical limit if you take the
3 cracking strain and the coefficient of thermal expansion.
4 But we have been able to get by at ten without any trouble
5 and all the way up to 15. But when that delta-T becomes
6 greater than that, it almost invariably will crack, and in
7 one place.

8 You can get around that with your low heat of
9 hydration cement which I know you are considering, possibly
10 with fly ash or the silica which again will tend to lower
11 the heat of hydration, but not the strength. You can still
12 get the same strength it just builds up over a slower period
13 of time. But, I think I am more worried about the really
14 correct design of the cementitious materials than probably
15 the earthen materials that go in between. They are just
16 sort of a throw-away thing, don't you think? It is really
17 the plugs that you are going to have at certain positions.

18 MR. CASE: Yes. I think that we would concentrate on
19 the cementitious materials in terms of their structural
20 strength. It is important to recognize that in the work
21 that has been done, there is a relationship between
22 structure and performance, hydrologic performance of sealing
23 components. We are able to tighten up that interface zone
24 and have a stable plug. It will also be one that will be
25

1 low in terms of hydraulic conductivity.

2 DR. DEERE: Thank you.

3 MR. FERNANDEZ: Again the two categories that I
4 mentioned before and the performance. Our approach in
5 developing these field testing plans is to look at reducing
6 the uncertainties in two areas; the performance
7 uncertainties and the emplacement uncertainties.

8 Under the performance uncertainties we have a number
9 of considerations that we have looked at. I mentioned
10 earlier that in the SCP we had defined four tables that had
11 listed the types of information we needed in order to assess
12 the performance of the sealing components. They fell
13 basically in these areas; hydrologic, structural, thermal,
14 MPZ propagation and fines migration. As far as emplacement
15 uncertainties: liner removal, grout placement, workability
16 and casing removal.

17 After going through all of those tables, we
18 basically had about 33 questions or uncertainties that we
19 had defined. Having defined or summarized those
20 uncertainties into those 33 questions, we came up with three
21 different categories to resolve each one of these
22 uncertainties, each one of these questions. The proposed
23 action that would be required. The approach that should be
24 used and the test that we feel would be necessary in order
25 to reduce that uncertainty and the facility required.

1 We then took those three columns with that
2 information from those 33 questions and then compiled that
3 to say that these are the lists of tests that we feel would
4 be necessary in order to reduce those uncertainties.

5 They fall into two categories; the seal component
6 tests and the seal system tests. These in general, the seal
7 component tests would be a simpler type test; the seal
8 system tests would be the more complex type of tests that we
9 had proposed.

10 What I have done is I have highlighted some of
11 these and there should be a highlight for the backfill test
12 as well, as far as what I feel would be the minimum test
13 that should be proposed for the sealing program. I say this
14 reflecting now back again to the regulations that I
15 presented earlier, the Section 142 regulations.

16 These tests may not necessarily all be necessary
17 after we get underground. I think the first issue is to
18 find out what we are sealing. Then once we know what we are
19 sealing we would be able to propose all these tests or some
20 subset of these tests. The approach right now is to present
21 all of the tests and then decide ultimately what we do need.
22 But this is what we feel to be a comprehensive listing of
23 tests in order to answer all the uncertainties.

24 Again the strategy that we are using here is kind
25 of progressive component evaluation. We are taking the

1 smaller tests, going to the intermediate tests and then
2 going to the larger scale field test. First doing the
3 simple tests to understand where some of the simple issues
4 are and then going to more complex ones to try to
5 incorporate these simple ideas. And that is what this
6 really reflects also.

7 We have the small scale in situ tests going to a
8 slightly more advanced tests, would be the intermediate
9 borehole test, fracture grouting test for the Tiva Canyon
10 and Topopah Spring Members. The purpose of the surface
11 backfill test is to give us and allow us to better
12 characterize the rock fill properties under more realistic
13 conditions. The emphasis hopefully as you have seen by now
14 is to try to incorporate the emplacement concerns or just
15 the ability of emplacing these materials to find out how the
16 emplacement activities would affect the quality of our
17 materials.

18 The purpose of the surface backfill test is to run
19 multiple tests in a large scale facility that would be on
20 the order of 12 feet in diameter in which we would be able
21 to place rockfill using the actual equipment that we would
22 be using underground, but to have it be a relatively low
23 cost activity. We would be able to vary our rock fill, to
24 run flow tests, to run settlement tests, to look at the
25 porewater pressure that might build up at the bottom of this

1 backfilled culvert, if you will, at the surface, in order to
2 understand what type of fines migration might we get in a
3 rock fill material. Perhaps, also to place two different
4 types of material and then look at what would happen if we
5 inclined the structure just a little bit to simulate water
6 flow in an underground facility? How well can we match our
7 numerical analyses that were presented yesterday with this
8 facility? Can we really validate this understanding or our
9 numerical analyses through the use of this type of facility.
10 It is meant to be a comparatively low-cost surface facility
11 to answer many of the questions that we have currently
12 defined in the SCP and also to respond to 10 CRF60.142.

13 The heated grout and block test, one of the issues
14 or uncertainties that we were trying to address is what
15 happens if you emplace a grout and you elevate the
16 temperature? How does that grout respond to that
17 temperature from a performance standpoint? Do you end up
18 having a large fracture, or do you have a small fracture, or
19 do you have any fracture at all? What are the limitations
20 that we have in that regard? What is the appropriate grout
21 that we should be using?

22 The heated grout and block test is kind of spinoff
23 of the work that Sandia had done on the heated block test in
24 the rock mechanics facility that Roger Zimmerman had done
25 some time ago. It is just meant to capitalize on the

1 knowledge that was gained in that facility.

2 The more detailed tests include the filter/single
3 embankment tests. The objective of this particular test is
4 really meant to better understand what the effects of this
5 filter or single embankment or just the two materials butted
6 up against one another would have on lateral migration of
7 flow in a facility. Also, it is meant to take a look at the
8 migration of water in the rock mass underneath this
9 particular type of sealing component. So, it is certainly a
10 more complex test.

11 The backfill tests and the bulkhead tests here are
12 meant to be tests within the underground facility, looking
13 at the interaction between the seal component and the rock
14 surrounding that seal component. So it is meant to be an
15 integrated test as opposed to a decoupled test as in the
16 surface backfill test.

17 The large-scale shaft seal tests and the remote
18 borehole sealing tests are actually meant to be full-scale
19 tests to look at the response of these materials in actual
20 geologic environment that we would intend to place these
21 seal components in.

22 DR. PRICE: Excuse me. Where would be these tests be
23 conducted, such as the surface backfill?

24 MR. FERNANDEZ: Oh, surface backfill tests?

25 DR. PRICE: Yes.

1 MR. FERNANDEZ: Somewhere at the surface close to the
2 source of materials.

3 DR. PRICE: Are you talking about at the site?

4 MR. FERNANDEZ: It will be done at the site.

5 One of the reasons for having the tests is to have
6 the availability of the materials as it is being excavated.
7 We can stockpile it in an area and run the tests rather
8 than having to haul it back down into the underground
9 facility. Once we get that understanding at the surface, we
10 would be able to incorporate that understanding into an
11 underground test.

12 I mentioned some of the specific objectives for
13 those tests, but there are also a number of common
14 objectives for the tests. To demonstrate the placement of
15 sealing components using current technologies. It is very
16 obvious, but yet it has to be done.

17 To determine the effectiveness of the testing
18 instrumentation, the range, the sensitivity and accuracy.
19 These tests really have not been done before. There is no
20 need to really conduct tests of this sophistication in a
21 typical mining operation or a civil operation for the most
22 part, although some measurements have been done certainly in
23 civil operations to better understand some of the rock
24 structure interactions. But, these sealing tests are
25 typically not done, so we don't know how the instruments

1 will respond to certain types of loadings that we would
2 actually impose on these instruments.

3 To develop quality control procedures for
4 emplacement. The field testing is not an end in itself.
5 The field testing is to validate certain performances, but
6 also to come up with quality control procedures that could
7 be used by a fielding group to emplace these. What are some
8 of the problems that we encountered in a field testing
9 activity? We have to understand those problems and we have
10 to come up with simple procedures in order to get high
11 quality materials. Procedures that can be used in a very
12 easy sense for somebody emplacing these materials; a very
13 important coupling that we need to have between our testing
14 and the emplacement of these materials.

15 And finally, to establish the reliability of the
16 seal system under anticipated conditions and unanticipated
17 conditions, a performance issue that will be associated with
18 all of the field tests.

19 The potential testing areas are shown here. The
20 figure on the left-hand side represents the proposed design,
21 the option 30 that we are looking at down to the Topopah
22 Spring Member. Here is the northern ramp and here is the
23 souther ramp. We have the ramp interconnecting the two and
24 we have the cross-ramp here. It doesn't have all the
25 details that you've probably seen, but it is not really

1 necessary to show those details.

2 This little loop on top and little loop on bottom
3 represents the ramp going down to the Calico Hills member
4 and here I have shown on the right side of this view graph,
5 that ramp going down into the Calico Hills member and this
6 is the primary drift at that level.

7 Now we have identified several areas in which to
8 do testing. The approach is to do as much testing as we
9 think is appropriate, outside of the repository boundary so
10 as not to get into other issues associated with how will our
11 test impact perhaps the conduct of other tests or how will
12 our test impact the overall performance of the repository?
13 It is a concern that was expressed in the SCP, presented in
14 the SCP through calculations, etc. And our intention is to
15 do as much again as we can outside of the repository
16 boundary.

17 The assumptions that we used here is based on a 10
18 percent grade in the north ramp and a 1.6 percent grade in
19 the south ramp. There are two large testing areas that we
20 have proposed in the north ramp. One, to take a look at
21 fractured rock mass in the Tiva Canyon which would be very
22 similar to the fractured rock mass that would be encountered
23 in the Topopah Spring member, the densely welded devitrified
24 portion of the Tiva Canyon. The second would be performed
25 in a non-welded zone going into the upper portion of the

1 Topopah Spring. Two major test facilities that potentially
2 we are proposing.

3 The area indicated here, Area 5 and 6 really
4 relate to two different types of tests that would be done at
5 the main test level itself inside the perimeter drift. And
6 the reason why we felt it was necessary to at least do one
7 test looking at a filter single embankment concept or
8 drainage concept is because I am not sure if that
9 characterization or that similarity could be achieved
10 anywhere else. However, we are proposing another area in
11 this ramp here that if we go down there and we find out that
12 the Topopah Spring member is the same here and here
13 (indicating), then our logical place to do that validate
14 testing would be to do it in this portion (indicating) of
15 the ramp going down to the Calico Hills so we can avoid
16 testing within the perimeter boundaries. So we have an
17 optional area to do this testing to look at drainage in a
18 water in a fractured rock mass.

19 In the Calico Hills member, we have really two
20 different testing areas. This Area 3 which is to evaluate
21 the effectiveness of the material itself and the emplacement
22 aspects of just getting it down in the ground, what are the
23 actual properties of the materials? It may be required to
24 have two different testing areas. We really don't know
25 until we are underground to find out what unusual problems,

1 if there are any that we may need to seal as we penetrate
2 from the Topopah Spring into the TSW2 portion of the Topopah
3 Spring, to the TSW3 the vitrophere, down to the Calico Hills
4 vitric-zeolitic. So, we need to first understand what is
5 the material that we are penetrating and does it present
6 from a performance assessment standpoint any unusual
7 challenges that we need to address in the sealing program.
8 That is why we have identified potential test areas here to
9 do some sort of a bulkhead test if it is necessary.

10 We have proposed this test facility in Areas 1 and
11 2 that you saw in the previous diagram. Again, this is the
12 ramp coming down at a 10 percent grade. It is actually
13 beneficial to have a high ramp or that particular grade,
14 because, it allows us to shorten up our facility and to
15 reduce the cost. This ramp here represents a 20 percent
16 grade going down to a lower structure, a lower drift area
17 and this represents the upper drift area with a drift coming
18 off of that of 10 percent. What we were trying to do was to
19 get a minimum distance between the two drifting of
20 approximately 50 feet. There were some routine mining
21 considerations that we had as far as structural support when
22 you get over 50 feet separation. So, we want to keep it
23 basically at 50 feet, but also to provide access from this
24 upper facility to the lower facility.

25 What we have here is a number of the tests that I

1 just mentioned. The reason for having these tests done in
2 one area is really to do a detailed characterization of the
3 geology and hydrology in the area and try to minimize the
4 disturbance in the area in so doing that characterization.
5 Once we understand what that rock mass is like, we have a
6 better idea of how to couple our seals, seal performance to
7 that particular rock mass.

8 We have two shafts, large-scale shafts, 12 foot in
9 diameter that are presented here. We have tried to have a
10 second shaft or a second facility if you will, or second
11 test, in all instances because this may be the first time
12 that we will field these experiments. So, we need
13 redundancy in our field tests. Ideally it would be nice to
14 have a prototype facility to look at many of the issues to
15 or to look at many of the objectives, the common objectives
16 of field testing and look at the problems that we may
17 experience with field instrumentation, the same approach
18 that was used by Roger Zimmerman to do his prototype testing
19 in G-Tunnel. That would be the ideal case, you know, to
20 have a facility outside of the area to answer some of these
21 common problems that we might expect or just questions that
22 we have.

23 Nonetheless, if we stay at one facility, we need
24 to have at least several different tests that would address
25 potentially the same issue. These are the intermediate

1 borehole tests that will provide access from the upper
2 facility and the lower facility. We have one back here and
3 one over here. We have a series of grouting experiments
4 that would be done in these three corners of the facility.
5 We also have some of the small scale tests that are done in
6 the lower portion of this facility.

7 This is a rotation of that view. We had proposed
8 a number of different size of tests, different diameter of
9 tests, different length tests, in order to better understand
10 what the effect would be of a cementitious seal as it
11 hydrates in different sizes and different geometries. And
12 that is what the intention of these boreholes would be at
13 the bottom there.

14 I wanted to walk through just two of the tests
15 very quickly. You have a more complete listing of our ideas
16 as far as the tests, the objectives of the tests and then
17 kind of a schematic of the test in your packet, but I don't
18 think it is necessary to go through those in the interest of
19 time.

20 Here is a small-scale in situ test. The objective
21 is to characterize the thermal and the stress response of
22 the hydration of cement to basically understand what is
23 occurring at this interface? John had presented a number of
24 calculations yesterday, varying some of these parameters in
25 the analysis and basically trying to achieve the compressive

1 stress at the interface here. Well the intention of this
2 test is to basically understand what occurs with that
3 interface stress as the cement hydrates. It is not meant to
4 be a performance test in the true sense of the word. It is
5 meant to get a basic understanding of what occurs with a
6 cementitious seal. A cementitious seal that we would
7 propose as a very usable material for someplace in the
8 underground facility or in fact for the exploratory
9 boreholes.

10 This just shows the different levels of
11 instrumentation, thermocouple strain gauges, concrete stress
12 meters and rock displacement gauges which is shown over in
13 this location to get a sense of what the in situ stress
14 state would be. These are done for different diameters and
15 for different lengths again to look at the effects of
16 geometry changes on these particular properties.

17 The tests that we are proposing is actually very
18 similar to the work that has been done down in southeastern
19 New Mexico in the WIPP facility. Here is John Stormant who
20 used to be involved with this work here and one of his
21 small-scale in situ tests. Here we have a concrete plug
22 very similar to what we would have, it is just is in a
23 different orientation; it is in a horizontal orientation
24 rather than a vertical orientation. So, we could do the
25 same thing if we felt it was necessary. Here is the

1 instrumentation port coming out here with the
2 instrumentation at different locations around the perimeter
3 of the seal. So, what we are proposing here is not new.
4 And it certainly has been done before.

5 A couple of the examples as far as the analysis
6 that were done, again these are meant to be conceptual
7 analysis for the purpose of our discussion here, to say that
8 we have looked at the variation in the seal size, we have
9 done this for boreholes as well as shafts, we really will
10 focus in this column here. We have made certain assumptions
11 on what the Young's Modulus would be, Poisson's Ratio, and
12 other properties of the cementitious seal in order to come
13 up with two different curves; one which addresses the
14 interface stress which is what we are trying to characterize
15 out in the field.

16 What this diagram shows is the relationship
17 between the interface stress on the vertical axis and the
18 time as the cementitious seal hydrates as a function of the
19 different size of seals. What we are trying to do, well,
20 what we will ultimately do in the field is to try to mimic
21 this type of response to find out if our modeling efforts
22 are really in fact correct.

23 The second figure represents a relationship
24 between the temperature and again as a function of time for
25 different seal plugs. We would suspect by these analysis,

1 that in fact we are going to get a different response. And
2 that is the reason for having multiple types of small-scale
3 experiments in order to find out what that response truly
4 is.

5 The second test, you know just progressing from
6 that small-scale test and the understanding of doing that
7 test is the intermediate borehole seal test. The purpose of
8 this test is to characterize the hydrologic performance of
9 the borehole seals. This would be done--our interest here
10 is not now to understand if in fact we had a cementitious
11 seal which would just conceptually say, we have some sort of
12 a material here, that might be a cementitious seal or it
13 could be a bentonitic seal that would be injected into the
14 rock mass, but also to take a look at some other seal,
15 whether that be a bentonitic seal or whether that be a
16 cementitious seal and look at the actual response. When it
17 comes down to the regulations, NRC will want to know what is
18 the overall response to that material. I think this test
19 will do that. We are not interested in understanding in
20 this particular test, what some of the minute properties are
21 or the stress state would be necessarily at this location.
22 Hopefully by that time, we will have had an understanding.
23 The purpose of this test is to look at the performance, the
24 actual performance in the field of that particular test and
25 the benefit of having the upper and lower drift is to

1 perhaps monitor the whole system a little bit better as far
2 as its overall performance.

3 DR. ALLEN: Joe, can I ask sort of a philosophic
4 question here?

5 Our problem, it seems to me at the moment or the
6 near future is to license the site. That is, to demonstrate
7 that with current technology, we can adequately seal the
8 facility. Yet, since most of the sealing is actually going
9 to be done maybe a 100 years down the line, it is sort of
10 ridiculous to think that the current technology is really
11 going to be what is used in the eventual sealing process.
12 Therefore, isn't our challenge at the moment to spend as
13 little money as we can to license the site and adequately
14 demonstrate that with current technology we could do it,
15 recognizing that that indeed is not going to be the
16 technology we are probably going to use 100 years from now.

17 MR. FERNANDEZ: I think you might have some debate on
18 that point from the NRC. I guess it is looking at the
19 regulations and giving the analysis that we presented
20 yesterday. I think in the area of borehole sealing, I think
21 there may be some seals that may be required to be in place
22 well before the 100 year time frame that you are talking
23 about, so these seals, I think would be actually necessary
24 prior to license application.

25 Now, it can be argued by the NRC or other people

1 as to whether or not these large-scale bulkhead tests will
2 be necessary. I don't think we really understand what the
3 response for example of the Calico Hills member would be
4 right now. I don't think there has been enough numerical
5 mechanical analyses done for the Calico Hills. That may
6 require sealing much earlier than we think.

7 I guess right now, the intention of these field
8 tests are to say these are the broad range of field testing
9 that may be required, some of which would be done prior to
10 license application and some which clearly would be done
11 after license application.

12 DR. ALLEN: Well, okay, but our problem is still to
13 spend the money most effectively.

14 MR. FERNANDEZ: I agree.

15 DR. ALLEN: And not over plan now for things that we
16 are not going to use 100 years from now and in the meantime
17 demonstrating to the NRC that indeed we could do it if
18 necessary with current technology.

19 MR. FERNANDEZ: Certainly. I'll go back to the
20 objective or the tasks that we were confronted with; we were
21 given the tasks of actually coming up with a potential list
22 of requirements for this underground facility that we would
23 be able to help the designers with a little bit as they were
24 planning the facility. That was one of the purposes for why
25 we did this work. The other purpose was just to give us a

1 better idea of the focus that we may need in the sealing
2 program.

3 Don't get me wrong, I am not proposing, I'll
4 reemphasize this; I am not proposing that these are all the
5 tests that are required. I still think we need to get to
6 the underground facility to find out what the
7 characteristics of the rock are, to do the testing, to have
8 the Geologic Survey or other groups to do the testing in
9 order to find out what we have to seal. I think we need to
10 do that. We stated that quite clearly in the SCP. We are
11 not going to go ahead with these tests until we better
12 understand what the geology is underground and the
13 hydrology.

14 This is just a second set of tests to look at the
15 performance aspects of sealing. Again, we are doing a
16 parametric study here; we are varying the properties of the
17 interface permeability, the change in pressure, plug length,
18 as a function of the conductivity or the permeability of the
19 seal itself. We did it both for boreholes and shafts. The
20 intention for doing this type of calculation is to find out
21 if we can actually field the experiment within a reasonable
22 period of time and to actually measure any water flow if in
23 fact we have an incredibly tight seal and we don't see any
24 water flow after ten years, maybe the numerical analyses
25 might be able to help us answer that question before we

1 field the experiment.

2 This is just a diagram that looking at the
3 different parameters that we evaluated, it would give us an
4 insight as to the function of the permeability of the plug
5 itself and also as a function of the assumptions of the
6 interface zone or the MPZ and what types of flow rates we
7 might expect in doing a particular test like this. Again,
8 it is only meant to be conceptual at this point to give us a
9 better understanding for the duration of the test, for
10 example.

11 Finally, to carry the thought through is that the
12 final test that would be performed would be remote borehole
13 sealing test. And we would emplace a borehole out in the
14 field in sequential lifts and evaluate the performance of
15 that borehole. This is actually, we had proposed
16 sequentially doing this test, or pouring different lifts in
17 a plug. It was also recommended actually by work that was
18 sponsored by the Nuclear Regulatory Commission that this was
19 actually a preferred way of emplacing a seal underground.
20 There has been some precedence for doing this work. The NRC
21 did sponsor some work in sealing remote boreholes or
22 boreholes that were actually shallow, but remote in the
23 sense that they were from the surface down to a plug and
24 they evaluated the performance of bentonite as well as
25 cementitious plugs in granite.

1 There has also been some work associated with the
2 Waste Isolation Pilot Plant, the Bell Canyon test that was
3 done some years ago on a remote borehole seal. So we do
4 have some precedence in this particular area as well.

5 This really concludes my presentation for the
6 field testing work. There are a number of other field tests
7 that for planning purposes we have defined in your packet
8 there. I don't think it is necessary really to go through
9 those, but if there are any questions right now, I will
10 answer those questions.

11 DR. PRICE: Board questions?

12 DR. CANTLON: It would seem to me useful to take some
13 the drillholes well away from the repository area and do
14 some preliminary actual sealing operations and instrument
15 them to find out things like slumping behavior and so on.
16 Is any of that in the plan?

17 MR. FERNANDEZ: Yes, it is. In fact, we have proposed
18 two boreholes well outside of the boundary, but part of
19 Yucca Mountain Project. The reason for selecting well
20 outside the boundary was based on some of the analysis that
21 we had done. We really--actually we really went much
22 further than 600 meters away as was defined here. Yes, that
23 in my way of thinking would be the ideal thing to do.

24 DR. CANTLON: What sorts of tests now are proposed for
25 that? Have you flushed that out yet?

1 MR. FERNANDEZ: Only as far as you have seen here and
2 some other details. It is only a matter of some three to
3 five page description.

4 DR. CANTLON: It is a part of what we have been looking
5 at here?

6 MR. FERNANDEZ: It is a part of what you are looking at
7 there. We are intending to complete this work in about a
8 month.

9 DR. DEERE: I note that you have several pages here on
10 the fracture grouting and the heated block grout test. I
11 might just make a comment or ask a question about the
12 fracture grouting test.

13 I think it would be very helpful to look at the
14 new concepts of grout penetration based on the cohesion of
15 the grout. Almost all the work in the literature is in
16 terms of viscosity and this doesn't tell whether it is
17 groutable or not, it is just how much time it takes to do
18 it.

19 But, the cohesion property or the yield point
20 property of the grout itself is very, very important in
21 telling what your penetration will be at a given pressure,
22 at a given aperture opening. I don't think this has been
23 used very much. It is starting to be used on a few dam
24 projects across the world, actually and it is one that you
25 should really look at. The advantage is, it uses a

1 stabilized grout. That means a grout that doesn't separate
2 into a liquid phase and a precipitate, or not a precipitate
3 it just simply settles out, but to use a stable grout that
4 can maintain a single phase of a liquid. For very fine
5 fractures, if you want to penetrate them, you should go to a
6 low cohesion grout and it is not necessarily the super fine
7 grout, because the super fine grout has so much activity it
8 has a lot of cohesion.

9 You have to use something that will reduce the
10 cohesion. In a number of these we are using fairly thick
11 grouts, but putting in a super plasticizer that would reduce
12 it. So this raises a question, can this technique be used
13 in this environment here because we will have some type of
14 an additive that would have to be placed. But, if it is,
15 there is now theoretical studies available which allow this
16 to be fairly well predicted. It is a different type of
17 mechanical behavior grout that essentially has not be used
18 in the past, but it is now available and has proven to be
19 extremely interesting. It is probably more important than
20 the size of the cement particle itself. It used to be
21 thought that it was just the size of the cement particle,
22 but it is certainly a combination.

23 I would like to get that into the record and I'll
24 see that we get some information available.

25 MR. FERNANDEZ: Okay. I appreciate that. Thank you.

1 DR. PRICE: Any other comments or questions from the
2 Board or Staff? Audience?

3 Motionless faces behind me. Thank you very much
4 and I guess Jon White now will provide us with some
5 concluding remarks.

6 DR. DEERE: While he is getting up there I will
7 continue talking a little bit about the cohesion of the
8 grout. An advantage of a grout that's cohesionless is that
9 as it goes away from the borehole, you lose the pressure.
10 So, you don't have to worry about jacking up the rock. You
11 only have trouble with hydrofracturing when you are grouting,
12 when you have something that is so liquid that it doesn't
13 lose its pressure as it goes away from the hole. And the
14 worst thing you can use is water, of course. So, you can
15 really move a lot of rock around if you raise the grouting
16 pressure with a very thick grout or making a water pressure
17 test. But, if you go into material that has cohesion, the
18 very first centimeter that it leaves the borehole and starts
19 going out, you have cohesion across the top interface,
20 across the bottom interface so the pressure that gets
21 transmitted out is decreased, so you end up with a specific
22 diameter that you cannot push it farther without either
23 increasing your pressure, which will then allow it to go
24 another increment.

25 So what we have found is that we go with very high

1 pressure grouts and don't have the problem of jacking. This
2 is part that comes out of the theory and also out of the
3 experience.

4 DR. WHITE: Thank you, Dr. Deere.

5 One of the previous speakers, John Case, brought
6 us a quotation, and I thought of one that also might be
7 somewhat appropriate. The book of Ecclesiastes quotes King
8 Solomon as asking the question, "That which is a far off and
9 exceedingly deep, who can find it out?" And as I flew up on
10 Monday morning, I saw Yucca Mountain from the air and it
11 certainly is far off. There is not much around there. And
12 should a repository be built there it would be deep and we
13 can all say that the Department of Energy intends to find it
14 out. I was reflecting on these thoughts as Joe Fernandez
15 was speaking. It certainly requires a solomonic degree of
16 wisdom to do so.

17 We have seen the last two days an introductory
18 history of the sealing program. We have discussed the
19 technical requirements from the hydrologic and atmospheric
20 points of view. We have been impressed with the strategies
21 to seal the boreholes and the strategies to seal shafts and
22 ramps. And Joe just finished telling us about the field
23 test planning.

24 There are a few salient points that I would to
25 mention here, but before that, I would like to address an

1 issue that was raised from the audience concerning borehole
2 reclamation. This was raised by Mr. Carl Johnson from the
3 State of Nevada and he is very concerned about borehole
4 reclamation.

5 I want to say that the Department of Energy has
6 indicated many times in writing that it will follow as a
7 matter of comity state and local laws and regulations that
8 do not conflict with the Waste Policy Act. Also, the Waste
9 Policy Act itself contains a requirement that should the
10 Department leave the site and abandon it that the holes must
11 be reclaimed.

12 I mention a personal thing here. I have been
13 privileged to be the friend of many, many ranch families in
14 the Wyoming and South Dakota areas and many of those
15 families have had their property explored for minerals.
16 They are very concerned about rutting; they are very
17 concerned about piles of cuttings on the surface and so
18 forth, and I understand those concerns.

19 When I was with the U.S. Geological Survey, I did
20 a lot of drilling with regard to the federal minerals
21 program and I interacted at great length with the
22 environmental authorities in Montana and Wyoming. So, Mr.
23 Johnson, I want you to understand that as the program
24 element manager, that is an interest of considerable concern
25 to me and I have a personal understanding of what the

1 state's concerns really are.

2 As salient points, I thought that Joe Fernandez's
3 comments about performance assessment, asking, well, how
4 good must the system be? I thought that was very
5 appropriate. And also appropriate is the integrated
6 approach, which would incorporate performance and design
7 calculations.

8 I was very interested in Tom Hinkebein's comments
9 on hydration effects of cementitious seals. And I thought
10 it was particularly important that the issue of a sealing
11 plan for each hole was raised. It was very appropriate and
12 it certainly indicates that we in the Department of Energy
13 have a certain piece of work ahead of us to get those things
14 prepared.

15 I was surprised at the number and variety of
16 boreholes which are out there and the number and variety of
17 methods of drilling and the conditions of the boreholes. I
18 thought that was very important.

19 Finally, I was particularly impressed with the
20 issue of characterizing the conditions of the boreholes and
21 the idea of logging the boreholes from the point of view of
22 sealing them and the point of view of placing the boreholes
23 in various categories. It seems to me that there is
24 probably application of that technology and that idea to the
25 waste disposal efforts of other nations. There is a

1 possible application to other geotechnical efforts.

2 We see here on example of a broad application of
3 research that comes out of a project like this. Of course,
4 that is a great benefit to the public.

5 Thank you for your attention. If there are other
6 questions about programmatic aspects, I would be pleased to
7 receive them.

8 DR. PRICE: Any final questions before break by the
9 Board? From the Staff?

10 The audience will have your chance during
11 discussion, if you quoted from Ecclesiastes, I'll return the
12 quote. "The making of much books is a weariness of flesh";
13 so obviously it is time for our break.

14 DR. WHITE: Yes, sir, I heartily agree.

15 (Whereupon, a break was had off the record.)

16 DR. DEERE: Well, we are preparing to enter into
17 discussion amongst the various presenters and those of you
18 who are in the audience. I particularly think it would be
19 of value if we would ask the NRC and if they could make some
20 comments on the impressions that they have or any comments
21 that they would care to make on any part of the presentation
22 or any part of the problem. I believe we have three
23 representatives from NRC. Would somebody like to make some
24 comments?

25 MR. PHILIP: My name is Jake Philip, I am a

1 geotechnical engineer from the Office of Research at NRC. I
2 am program manger for sealing research program that we have,
3 which was being conducted at the University of Arizona by
4 Professor Jack Damon. Jack Damon is now head of the Mining
5 Engineering Department at University of Nevada, Reno. A lot
6 of the things that we heard about like things like interface
7 strength, whether the plug could just actually dislodge from
8 the hole and things like that, we have looked in our
9 program. We have looked at cement hydration and how it
10 affects--, because expansive stresses might cause some crack
11 of the boreholes or the shafts and things like that. We
12 have looked at the effect of dynamic loads on plugs. We
13 have also had a field study where we looked at in situ
14 performance of seals. We also have done permeameter tests
15 where we looked at, these are lab tests permeameter tests,
16 where we could simulate the in situ conditions of stress on
17 the seal.

18 We have a lot of NUREG documents with us which
19 gives us results of some of this work that we have done. I
20 think that we could always make available those documents to
21 you whenever you need it.

22 DR. DEERE: Thank you very much. Are there any
23 questions of Mr. Philip?

24 Any other comments from NRC?

25 The USGS have a few people here. I wonder if

1 anyone from USGS would like to make any comments of things
2 that you agreed with or didn't agree with?

3 Would the State of Nevada like to comment now or
4 come in as various topics come up? Carl.

5 MR. JOHNSON: Carl Johnson, State of Nevada. I have
6 asked my questions and made my comments throughout the last
7 day and a half. I don't have too much to add to that other
8 than an observation and it is more of a topic that the Board
9 might want to consider for the future. We have heard a lot
10 of discussion over the last day and a half relative to
11 sealing, but sealing with a outmoded now repository concept
12 and that is two vertical shafts. We are now to the point of
13 ramps and two levels of expiration. I think the Board might
14 want to consider maybe six months or a year from now
15 revisiting this topic and asking the Department to address
16 these same topics relative to the new proposed exploratory
17 facility.

18 DR. DEERE: Yes. Thank you very much, Carl. Are there
19 any comments from DOE or about that?

20 MR. FERNANDEZ: I guess I would like to make a comment.
21 A lot of the calculations that we have done to date really
22 would support the new design as we currently foresee kind of
23 a skeleton of that design developing right now.

24 It has always been our intention in the sealing
25 program to try to make the calculations, performance

1 calculations and design calculations broad enough in scope
2 so that we can use them for modifications and design. In
3 fact this isn't the first time the design has changed. You
4 know there was a first design, then there was a conceptual
5 design, which was actually maybe one in the same. It has
6 been modified several times is my point. We have a
7 sensitivity to that change and we have tried to maintain
8 that flexibility in the analysis that we have done.

9 I do however concur that and I think I made this
10 point in my presentation that we will have to go back and
11 reevaluate the sealing concepts to make sure that there
12 aren't some small perturbations. I did make the point that
13 there were things to consider: site, design of the
14 underground facility, and seal performance. And certainly
15 in the area of repository design, you know, there may be
16 locations of sealing components. That certainly will
17 change. Perhaps a number of sealing components that may
18 change. Maybe some aspects of the actual configuration that
19 may change. So I just wanted to make that statement.

20 DR. DEERE: Thank you.

21 Max.

22 MR. BLANCHARD: Thank you, Don. I think that Carl
23 makes a good point and that is try to keep the program
24 current from both a design concept and a testing standpoint.
25 From that standpoint a lot of what has been discussed by

1 Joe and his team today and yesterday, has very much a
2 generic benefit from the overall test program and to the
3 overall design concepts.

4 As a matter of practicality from an FY'92 funding
5 standpoint, I have to suggest that probably not an awful lot
6 more would be done in this area throughout this fiscal year,
7 so a time period of six months may be a little too soon to
8 see very much change.

9 One of the major things that will be coming in the
10 seal program is some sort of a master study plan which will
11 update what is in the current Chapter 8 for the sealing
12 program and eventually under the Change Control Board into
13 our SCP planning basis. That has not yet happened. And it
14 has not happened to allow Joe and his team to develop their
15 sealing concepts and tie them the way they have just been
16 mentioning over the last couple of days. When the SCP was
17 prepared, the group in general thought it was too premature
18 to try and define those in very much detail. So, they have
19 been doing that and I am not sure that they are yet even
20 quite ready to prepare their first master study plan, but it
21 is under the evolutionary stage. That is probably the next
22 big thing this fiscal year, rather than major revisits in
23 sealing concepts as they would apply to a newly evolved
24 repository concept.

25 It would go along with the new version of the

1 ESF. To be sure we have to be sure to continue to look at
2 the sealing aspects that would relate to the new ESF. But,
3 as you know, we are not starting an intensive ESF design
4 effort this year, it is only for the portals unless there is
5 a significant shift in FY'92 budget.

6 Thank you, Don.

7 DR. DEERE: Thank you. Maybe this would be a time to
8 expand a little bit more the information on what
9 organizations are doing what work at the present time and
10 what you anticipate will happen for '93, just to give us a
11 little more of that picture. Ted, is that something, or
12 John, Max?

13 MR. PETRIE: This is Ted Petrie. I intended to answer
14 one other question first, Don, let me at least get over that
15 and talk about fiscal '92 and then we can spend a little
16 time on fiscal '93.

17 In fiscal '92, the emphasis is on surface based
18 testing. And frankly in the seals area there are
19 essentially in a sustaining mode. They have approximately
20 four man years of effort in fiscal '92.

21 Now their major job from my viewpoint is to assure
22 that the activities, as far as any boreholes are concerned
23 or ESF is concerned are consistent with and do not preclude
24 the sealing activities. That is their primary mission for
25 this year. Now, of course, that is not a full-time task,

1 but if it were, that is what they would do completely. So,
2 they have other activities which are going on in fiscal '92
3 and I think I will let Joe expound a little bit upon that
4 and then maybe we can talk about fiscal '93.

5 Joe.

6 MR. FERNANDEZ: The work that we currently are
7 intending to do this year evolves around several different
8 areas. One, is the completion of the development of the
9 strategy for sealing exploratory boreholes. We viewed this
10 over the last fiscal year to be fairly important,
11 recognizing that were a number of other principal
12 investigators in the project who would be interested in
13 knowing were there some restrictions on their particular
14 operations.

15 One area will be completion of a report looking at
16 the strategy to seal exploratory boreholes. The second one
17 will be completion of a report dealing with the field test
18 planning activities, the ones that I presented in my last
19 presentation. That will be completed this year as well.

20 We were also intending to, in the same spirit of
21 addressing a strategy for sealing exploratory boreholes
22 developing a strategy for backfilling and sealing the
23 underground facilities, shafts and ramps, which would look
24 at and have a similar type of approach that we use for the
25 strategy for sealing boreholes, significance of backfilling,

1 looking at the how, when and where questions in backfilling.
2 So that is something else that we are attempting to
3 initiate this year. Depending upon the complexity of that
4 problem, sometimes we get into evaluating these problems and
5 they are a little bit more complex to evaluate than is
6 really apparent at the onset. Hopefully, we will try to
7 complete that this year; that may go into next fiscal year.

8 Together with these major activities, there is the
9 documentation of some other work and the presentation of the
10 work that we have already talk about in different forums.
11 We are intending to present some of the results on field
12 testing and the hydration effects in the International High
13 Level Radioactive Waste Management Conference in April or
14 May of 1992. Also, the preparation of a journal article
15 looking at the strategy to seal exploratory boreholes, and
16 also the preparation of a degradation model report that will
17 also be authored by Tom Hinkebein.

18 The documentation and going to these meetings
19 consumes a fair amount of effort. This year I think, for
20 us, it is going to be a high documentation year or
21 discussion year and so in that sense we will incur a lot of
22 costs from traveling and preparing our papers.

23 The final area that I have a personal interest in
24 looking at, and I think it is also a very good programmatic
25 interest looking at the effects of seismicity on sealing

1 components. It is a very limited effort this year, but we
2 are trying to make at least a little bit of headway in that
3 area.

4 That kind of summarizes the work that we are
5 intending to do this coming year.

6 DR. CANTLON: Could I follow up? Really, I thought
7 that Ted commented that one of your major roles would be
8 making sure that what you have learned here is fed into the
9 design of the ongoing drilling program. I didn't hear you
10 touch on that at all.

11 MR. FERNANDEZ: I don't mean to exclude that. It will.

12 DR. CANTLON: What actually is the process? How is
13 doing what? I don't mean it in specifics, but what is the
14 nature of that feedback process?

15 MR. PETRIE: Maybe I could. We have the design reviews
16 (like this meeting) and when we have the design review the
17 seals people look at it. We are asking them to review the
18 Title I Design Summary Report. We will ask them to look at
19 the designs of the boreholes which are appropriate. That's
20 the ones which are going to be at the repository site.
21 That is where they will be involved in it. They also are
22 involved in preparation of the requirement documents. And
23 there are going to be some modifications to those this year,
24 which we will have to get them to help us with.

25 MR. FERNANDEZ: I think if we go back also to some work

1 that Mike Hardy had presented, you know there may be very
2 important issues that come out of this backfilling and
3 sealing strategy of an underground facility. For example,
4 the placement of the backfill. If we had to come up with a
5 strategy to say place that early as opposed to late, I think
6 the design people would be very much interested in that
7 particular topic. So there may be fallouts that directly
8 come out of the work that we are doing that would help the
9 designers. It is just a matter of what is that interface,
10 is the nature of the question. We have worked on that
11 before and we have worked either directly with the
12 Department of Energy or indirectly for example with Los
13 Alamos National Laboratories in order to provide that design
14 input.

15 DR. CANTLON: Within DOE, you have two other major
16 operations that are engaged in filling. The Nevada Test
17 Site clearing has done a lot of sealing operation, and the
18 hydro-thermal people also have looked at especially thermal
19 effects in sealing. What goes on internally within DOE to
20 make that flow of information as adequate as it should be?

21 MR. PETRIE: I am not sure within the Department. The
22 Sandia organization works on some of the work at the test
23 site and feel reasonably confident that Joe was in touch
24 with those folks. I don't have any specific connection with
25 them

1 DR. CANTLON: Would it make good sense to look at some
2 of these old seals that are setting over there now that are
3 decades old and see what has happened? It would seem to me
4 a very economical way to get a very good class of
5 information for this climatic region, these geologies.

6 MR. FERNANDEZ: In fact, one of my presentations, the
7 second presentation that I made, actually referred to an
8 interface study report which we actually had cored into a
9 number of the old concretes and the old grouts. We
10 recognize this at the very beginning of the sealing program
11 that this would be very economical to do this, and the fact
12 it actually was because there were drilling crews out there
13 and for very reasonable costs we were able to extract core
14 and do some physical property testing on some of the very
15 old core, 17 year old core and some of the younger core.
16 So, we have done exactly what you are talking about as part
17 of the interface study to get an initial handle on whether
18 or not it was feasible and what types of problems they
19 encountered out at the test site.

20 We still are working with people out at the test
21 site. I still have personal connections with the Sandia
22 office in Mercury to try to enhance our understanding
23 through that process. One of the areas of available
24 technology I had on my view graph, NTS at the bottom of the
25 case histories visited, if you recall. And we actually have

1 gone out there several times looking at some of these large
2 cores following that initial study.

3 DR. DEERE: Wouldn't it also be valuable to get the
4 information from Fennix and Sisson because I think they have
5 been involved in the stemming and the design of a lot of
6 these. I guess they were involved in the design of it
7 perhaps. And REECO with the actual construction?

8 MR. FERNANDEZ: I have worked with a number of other
9 people associated, not necessarily Sandia people, for
10 example Bob Kennedy, Structural Mechanics, Inc. We have
11 worked with him; Sandia has had him on contract to look at
12 more of the seismic aspects of the repository design.

13 We have discussed things with him; we have
14 discussed these particular issues, stemming designs, etc.,
15 at INTEL Corporation in California; people that have been
16 historically involved out at the test site. It certainly is
17 a wealth of information out at the test site. And also, I
18 have talked to other people like Joe LaCombe at DNA to try
19 to get the right contacts of people to talk to. He has
20 helped us quite a bit, also.

21 MR. MCFARLAND: Every time there is an LOS constructor
22 there is a backfilling, stemming operation. They are doing
23 it right now. Every time an add-on is built or a test is
24 conducted, there is a backfilling, i.e., a stemming
25 operation. Joe LaCombe's people have been doing this for 20

1 years. I didn't see any reflection in your discussion on
2 backfilling and stemming reflecting that experience and I
3 believe it is pneumatic stowing.

4 MR. FERNANDEZ: No, it actually isn't.

5 MR. MCFARLAND: It isn't?

6 MR. FERNANDEZ: We asked the question of how much
7 pneumatic stowing is actually down and is there any slinger
8 type of technology for emplacing backfill. A lot of it is
9 not in that area. The majority of what I was able to
10 extract from the people at DNA and other people were large
11 concrete pours.

12 MR. MCFARLAND: No. No.

13 MR. FERNANDEZ: I understand the stemming operations
14 and there are variety of materials that they use. It hasn't
15 frankly always been easy to get that information. There is
16 some information that is classified. And in that nature
17 itself, it is tough to get for a project like this.

18 MR. MCFARLAND: Have you gone to Joe LaCombe or Don
19 Linger and specifically inquired?

20 MR. FERNANDEZ: Well I have sat down with Joe LaCombe
21 three to four hours one afternoon and we chatted about what
22 was available in all different areas.

23 MR. MCFARLAND: They do stem with crushed tuff. They
24 back fill with material they excavate. I don't believe they
25 very often use a plug; it is too expensive.

1 MR. FERNANDEZ: I think that is true for the vertical
2 shots.

3 MR. MCFARLAND: I'm talking LOS, line of site tests.

4 MR. FERNANDEZ: In our discussions they didn't reflect
5 the availability or our accessibility to that information,
6 because our discussions were in a very general nature to
7 look at anything that can support the sealing program.

8 MR. PETRIE: Times do change. Maybe it is the
9 appropriate time to readdress that issue.

10 DR. CANTLON: It may be useful for the Board to suggest
11 that that line of information flow is probably more
12 constrictive than it needs to be.

13 MR. PETRIE: That may be noted.

14 DR. DEERE: I certainly agree that there is a wealth of
15 information there and you obviously are getting what you
16 can. There must be a lot also on the difficulty of keeping
17 a hole, and getting the instrumentation packaged back out,
18 and collapses, and leaving some of the things down the
19 holes. We found out a great number of holes have things
20 left down them, what do they call them, fish and junk? And
21 I understand that the reason that they are down the holes is
22 that they weren't easy to get out and that is why they are
23 there.

24 So again, there may be a specific group that you
25 could contact and get brought up to date on all of their

1 problems with trying to seal the holes and getting out
2 instrumentation packages that weren't designed so they could
3 be picked up and brought out.

4 So again, I think the effort to contact them is
5 probably paying off and would pay off more.

6 MR. FERNANDEZ: Just as a final point there, I did
7 bring some view graphs from the Nevada Test Site, particular
8 experiments that Sandia was involved in line of grouting
9 operations and where they had emplaced instrumentation. I
10 had a series of about five or six pictures here which
11 actually had shown Sandia's and other people's, REECO's and
12 F&S's operations as far as getting back into these areas to
13 extract information, looking at the quality of--not
14 necessarily looking at the quality of the interfaces. I
15 don't think they always were interested in that, but rather
16 to try to retrieve instrumentation that was used to measure
17 some of the dynamics associated with the shot. So, I did
18 have those; I just didn't present those.

19 DR. CANTLON: It would seem that the classification
20 problem probably isn't the restriction with the geothermal
21 side. What is the nature of the interplay with the
22 geothermal experience in sealants?

23 MR. PETRIE: Joe, do you have anything to say on that?

24 MR. FERNANDEZ: There is no interface.

25 DR. CANTLON: Isn't there some USGS people here that

1 know a little something about that? Could you give us a
2 little bit of view about what is going on?

3 MR. WALLACE: Ray Wallace, U.S. Geological Survey.

4 From about January of '84 through October of '87 I
5 was involved with a national and continental scientific
6 drilling effort. I have seen and had experience with the
7 horror stories, horrible experiences one can get into lost
8 circulation problems in hot holes. In fact our bill for,
9 lost circulation control was three quarters of a million
10 dollars in the Sultan Sea scientific drilling effort. And I
11 think it was about a half million dollars in a 2,500 foot
12 hole drilled in Long Valley recently.

13 I would suggest you talk to Jim Dunn at Sandia
14 and/or Peter Bisney. Also, as far as high temperature
15 cements, there has been some work done at Brookhaven
16 National Lab that might be of value to you. Other than
17 that, I would certainly suggest the contacts there.

18 DR. PRICE: Go ahead, if it is on this topic.

19 DR. BLEJWAS: Tom Blejwas from Sandia. I also wanted
20 to mention that we do have an interface with the people on
21 the WIPP program who are also concerned about sealing and
22 they have been looking more broadly recently to try to
23 expand their technologies. For example, going in and
24 visiting Strategic Petroleum Reserves and looking at some of
25 their problems and trying to get information from that.

1 That is one of the ties that Joe already has and we will try
2 to reinforce that more in the future.

3 DR. DEERE: Ted, you were going to go ahead and talk
4 about perhaps fiscal year '93?

5 MR. PETRIE: There is not a lot I can say about '93 at
6 this point, other than from our viewpoint the priorities are
7 probably going to stay about the same. I have no reason to
8 say they are going to change. We do expect at this point to
9 get some greater funding that what we received in '92. When
10 we find out what that is, we will be able to have a better
11 idea of how we can tie the seals program in with our present
12 program.

13 One thing I can say is that we expect the ESF
14 design to be accelerated beyond what it is in '93. That
15 will require then that we do some repository design efforts
16 to go with it and of course some seals design effort
17 sufficient for the repository design to go along with
18 whatever the ESF needs.

19 Beyond that and what Max has already spoken of as
20 a test plan in effect from the seals program, those would
21 probably be the major references I would see in '93.

22 DR. DEERE: Thank you, Ted.

23 It would appear to me that one of the really close
24 areas where you have started work and where you are going to
25 have to continue working is when you start the actual

1 excavation of the access ramp and you have a whole group of
2 support items that you can use for support, whether it is
3 precast concrete segments, whether it is shotcrete, whether
4 it is rock bolts, what kind of rock bolt, rock bolt with
5 chain link, rock bolts with shotcrete, or rock bolts with
6 something else. And I think you are going to have to look
7 and have a lot of interaction with Joe Fernandez's group as
8 to which seems to be the most compatible. And I take it
9 this will come up as you go ahead with ESF design.

10 MR. PETRIE: Absolutely. For the previous older
11 design, the seals people had provided interface requirements
12 on the ESF design. I am not sure what they were; I recall
13 reading the drawings, but maybe Joe would remember. There
14 were a specific set of interface requirements that were
15 placed on the repository and then on the ESF as it related
16 to the repository. And that same kind of effort has got to
17 go on next year.

18 DR. DEERE: I would propose that we should have a
19 meeting on this, but I think we are talking about a year off
20 or something like that. I mean just dealing with this
21 interface of seals and the ramps, because those are going to
22 be the first part constructed for the first year or so.

23 MR. FERNANDEZ: A pragmatic concern that I have given
24 the funding level, I would find that a meeting is all well
25 and good, but unless there is additional funding to support

1 these type of studies that you are potentially requesting
2 here, you know, I don't see a meeting in a year as really
3 feasible given the task that we currently have in front of
4 us. We have "X" number of dollars and we have already
5 extended ourselves a little bit in that regard. I just
6 raise that as a concern that I personally have with people
7 that I work with that we do have severe limitations in
8 funding.

9 There's limitations for the entire project. We
10 have to balance what is the most appropriate activities for
11 the entire project and the Department of Energy has made the
12 priorities for what we need to do consistent with other long
13 term objectives.

14 MR. PETRIE: Of course, we do work up the schedules and
15 the topics and the meetings with the Board. It is a mutual
16 agreement. I am sure we won't do it unless we've got
17 something to report.

18 DR. PRICE: Have you looked at the interface of the
19 tunnel? It seems like in this thing, the smaller the
20 opening, the easier the seal problem, generally. Smaller is
21 better from a sealing standpoint, whereas it may not be
22 better from other aspects, operational aspects, smaller is
23 better. And have you looked at in-drift emplacement and
24 waste package design as it interacts with the repository
25 design question, smaller being better and backfill and so

1 forth?

2 MR. FERNANDEZ: We have not had a strong interface with
3 the waste package people to this time, although that is not
4 to say we haven't had an interface. The preparation of the
5 SCP provided a good opportunity for people across the
6 project to interact with one another. It was in that
7 activity preparing the SCP that we had that interaction.

8 What you are asking for sounds like what we may be
9 doing in the backfill strategy paper, to try and incorporate
10 the project concerns, waste package concerns with the
11 backfilling strategy. Is there some constraint they would
12 like to place on the sealing program, in particular the
13 backfill or let's say some large seals.

14 We have in the past worked with the waste package
15 people and it is reflected in our program. At one time we
16 had a lot more cementitious based materials in the
17 underground facility. Our strategy now is to minimize man-
18 made materials as I mentioned in several of the
19 presentations. So, we do have that interface that will
20 continue hopefully this year with the development of the
21 backfill strategy and a closer tie with the waste package
22 people.

23 DR. PRICE: Did you have an assumption about vertical
24 emplacement or horizontal emplacement in the walls or in-
25 drift behind anything that was presented here today, or was

1 it more general than that.

2 MR. FERNANDEZ: Let me see if I understand your
3 question correctly. We actually evaluated it in the
4 technical basis report both vertical and horizontal
5 emplacement, both schemes. So, what we presented here is
6 consistent with the current design basis of vertical
7 emplacement.

8 DR. PRICE: But you didn't consider in-drift
9 emplacement or the impact if instead of some type of
10 canister design, you went to a universal cask design, you
11 didn't get involved in those types of things? It certainly
12 affects some of your operations.

13 MR. FERNANDEZ: As I understand these large cask
14 designs are a newer philosophy or a new concept that has
15 come out more recently. And because of that we haven't
16 addressed that.

17 DR. PRICE: And do you agree smaller is better from a
18 sealing standpoint?

19 MR. FERNANDEZ: Philosophically I probably do, but I
20 think we would have to consider what the other problems
21 might be. I may not be able to get the equipment that I
22 thought I could get into some of these areas so maybe I
23 would go strictly to pneumatic stowing as opposed to using
24 mechanical compaction. I would have to think about that a
25 little bit.

1 DR. DEERE: I would have to change the topic for a
2 moment. In Costa Rica they are building a dam on top of
3 tuff. In doing this, they have had to excavate a very large
4 tunnel which they did all without blasting, just with a
5 backhoe actually, and a dozer, about 30 feet in diameter;
6 lined it and now the river is passing through that. They
7 have diverted the river and are in then the process of
8 cleaning up the bottom and coming up the abutment and
9 getting ready to build the dam. The interesting thing,
10 they have hit some lithophysae. I mean they are something.
11 Things that are as much as 5 feet to 15 feet across and
12 they are really decomposing pumice; gigantic pumice masses.
13 These have been weathered down to practically nothing, so
14 you have the large cavity.

15 What was interesting to me is that they detected
16 some of these when they were drilling through the alluvial
17 and found pockets; when they moved over the bedrock was ten
18 feet higher. The reason was it was one of these large
19 pumice boulders that had weathered.

20 They are mixing crushed tuff with a very small
21 amount of cement, about ten percent of cement with water and
22 just in a small little operation there and just dumping it
23 in and backfilling this. It sets up to stronger than the
24 tuff; it is not like a normal concrete, but it is a weak
25 tufaceous concrete that has a enough rigidity and enough

1 strength that it does a perfect job of replacing the
2 material. They said, " this has worked out so well that we
3 are using it all over the area. We are using it for parking
4 lots; we are using it here." It is not mixing it dry and
5 then compacting it like you do cement, it is really making a
6 very low tufaceous concrete with low cement content and
7 spreading it.

8 There may be places were something like this could
9 be worked into a backfill program or perhaps into a
10 supporting strata for vehicle traffic in the ramps; these
11 different possibilities.

12 That same project brings us back to where does the
13 water move in unsaturated tuff? These slopes were cut at
14 1:1; 45 degree slope, 100 feet high. Pretty impressive.
15 Pretty impressive exposure of seeing that much freshly
16 excavated tuff. You could see the three joint sets in one
17 of the major bands, perhaps 50 foot thick. Very
18 interesting. No joints above it; no joints below it. So,
19 it had something to do with the depositional history.
20 Probably it could well be cooling cracks; we are not quite
21 sure but think it may be.

22 Well, everything is dry; no water flowing. I am
23 sure the tuff has a certain moisture content in it; maybe it
24 is 40 percent or 50 percent, I don't really recall in terms
25 of dry weight of the material. But, it has some water and a

1 medium degree of saturation, I would imagine.

2 The week before I went down, which was only three
3 or four weeks ago, they had three day's of rain. When I
4 arrived and said, " how is the project going?" Because it is
5 a pretty small little dam and all this and that, and didn't
6 have too much interest except it was on tuff. Everything is
7 in tuff. And I had never worked where you had the abutments
8 in tuff and the foundation in tuff and the tunnels in tuff.
9 It is not a very strong tuff either; it is very weak, about
10 half the strength of ours. After the third day of rain,
11 they said suddenly we saw water. I said, where did you see
12 it? Oh, in the joints, of course. And it is a point that
13 we have been stressing for three years that we are convinced
14 that when the water comes in, it doesn't have time to be
15 sucked out. Of course, there is a potential, but there is
16 also a permeability and how rapidly and how far the material
17 can move before the water goes right on down through the
18 joints. Right after the water started appearing at the
19 surface of the cut and joints, they started to see some
20 instability of the slope; everybody got out and, over a four
21 hour period, they had a very, very large slide. It extended
22 for 400 to 500 feet in one direction a 100 feet high. It
23 really has ruined one of the abutments as they had designed
24 it.

25 Well, this almost certainly was the buildup of

1 some pressure in the joints. You actually had the porewater
2 pressure causing uplift on the base and causing a hydraulic
3 thrust on the incline surface and generating the failure of
4 the slope.

5 So, a couple of things came out of that; seeing
6 the lithophysae; seeing how they use the tuff in a very weak
7 cement; and, then seeing how that in a dry abutment, you
8 must remember when people say we are in unsaturated tuff, we
9 don't have much experience in unsaturated rocks. Well,
10 almost every abutment in the world is of unsaturated rocks
11 and we saturate them just a few years later; so, we do have
12 lots of experience of how material moves through grouting of
13 unsaturated materials. But, it also shows that water moves
14 into the joints but only when you have some prolonged heavy
15 rains. This was a major storm in and actually must have
16 filled up the joints to give it a little hydraulic thrust.

17 I think that is the comments I have there? Any
18 more comments? I'm sure there are. Questions from the
19 audience or comments from the audience on any of the topics
20 that we have discussed?

21 Russ?

22 MR. MCFARLAND: In respect to Warner North, a question.
23 I am sure he would not forgive me.

24 I would think that in understanding Warner's
25 concern, one of the major questions he would have were he

1 here, or one of the statements he would make is to stress
2 the importance of an overall system performance assessment
3 to reinforce your assumptions on the allocation to each of
4 these plugs, the allocation of isolation to the plugs. You
5 have consistently made a 1 percent assumption, that 1
6 percent of the releases would be allocated to the plugs. I
7 wonder if that is really a tenth of a percent or ten
8 percent. Do we have, have we a better understanding of
9 really what is the need that you are representing by your
10 plugs?

11 You may be striving for a very high impermeability
12 when it is not necessary. You may be trying to reach to the
13 state-of-the-art rather than the need. I have been
14 converted by Warner. I would think that a system
15 performance assessment would be essential before coming up
16 with priorities on allocation of funds and really where are
17 you going in the next few years in terms of where you put
18 the money for your better understanding of the pieces of the
19 system.

20 I hope Warner approves of that.

21 MR. PETRIE: I think Tom Blejwas would like to discuss
22 it.

23 DR. BLEJWAS: I would just like to reiterate a point I
24 tried to make yesterday. Either you don't agree or we
25 miscommunicated, I'm not sure which.

1 If we are going to do a total system performance
2 assessment; I presume you are talking about the total system
3 being all of Yucca Mountain. The broad brush that we have
4 to take at this point in time, the seals are in the noise.
5 If you want them out of the noise you have to change things.
6 In order to include them in the total system performance
7 assessment, you are going to have to do something
8 artificial. That is because as we have discussed in the
9 past, when you deal with your models for performance
10 assessment, you start out with mechanistic models.
11 Eventually when you roll them up into total system, you have
12 to make simplifications so that you can indeed do this
13 probabilistic looking at everything. Those relatively
14 simple models where the state-of-the-art is right now to
15 roll everything up, would not be able to include the details
16 of seals unless we had a separate scenario for seal failure
17 or seal performance.

18 Right now we have not come up with a scenario
19 whose combinations of probabilities would be adequate to
20 include in the assessment so that you would be able to see
21 it. We have to continue to look at those things, but
22 without that I don't know of a good way to include it in the
23 total system performance assessment.

24 DR. DEERE: Yesterday I commented about some problems
25 in determination of the amount of damaged you have next to a

1 blasted tunnel. This obviously affects your seal.

2 When we were in Sweden, we found that they were
3 going through an experiment, in fact they had just finished
4 it a couple of weeks prior in their hardrock laboratory.
5 They are driving from the mainland out towards a small
6 island at an incline of minus ten percent. It was very
7 interesting. We went tearing down that in their truck all
8 the way down to the face, and they manipulate very nicely in
9 a ten percent grade. I also would point out that it was 5
10 meters in diameter and there was space all over for people
11 to walk up and down and materials in and out and drilling,
12 etc. They also had three alcoves driven off of the side.

13 Now, here was the question. One group who had
14 been responsible for the design and responsible for getting
15 the contract out and for monitoring the contract felt that
16 the blasting that was being done, was not damaging the rock,
17 too much; loosening it a little bit; opening the cracks a
18 little bit; but this was an access over to the shaft. First
19 they are going to spiral down in their drifts; going to
20 spiral all the way down. So they said this is just an
21 access underneath the water level to get over there. But
22 another agency said, yes, but you shouldn't be damaging it
23 to the extent that you can't do some tests, so you ought to
24 do a better job of blasting.

25 After all, this is Sweden and this is where smooth

1 wall blasting and all of the stuff came from, because they
2 manufacture the dynamite. And they have practically no
3 tunnel boring machines operating in Sweden, although they do
4 at the moment have one going underneath the downtown area of
5 Stockholm.

6 Well, they decided they would stop and they would
7 make some studies on whether or not the blasting was good
8 enough or they were damaging the rock more than they
9 normally consider is a damaged zone. In Sweden, that is
10 about 30 centimeters. They say we feel this with a well
11 designed blasting round, you are not going to cause new
12 fractures and reduce the modulus and increase the
13 permeability more than about 30 centimeters.

14 What they decided to do was to make a little
15 niche, more off to the side and drill ahead of the tunnel, a
16 nice borehole and do all kinds of tests in that borehole;
17 permeability; electrical resistance; borehole photography,
18 sonoscope where they put a periscope down in and get a
19 picture of the number and openings they could see of joints
20 that were there naturally; maybe five or six different
21 things. Then they drove the round ahead just as the
22 contractor had been doing it before, and this was using for
23 the five foot diameter, a total of about 65 blast holes.
24 They loaded them the same way the contractor had been
25 loading them and they shot it.

1 Then, they went back in. That hole which was over
2 here, maybe they had a couple of parallel holes at 30
3 centimeters, 50 centimeters and a meter; and they went back
4 in. They counted. They had twice the number of visible
5 fractures after they had blasted. That doesn't mean they
6 created a new one, but they certainly opened up an incipient
7 one, and in some cases probably created some new ones. They
8 had changes.

9 The most pronounced thing they had was electrical
10 resistivity. Because, when they explained all of the five
11 or six, we asked a question; well, what really worked the
12 best? And the answer was the electrical resistivity worked
13 the best. And the second was the actual counting of the
14 number of fractures; we could see it.

15 Then we had him do another round, we did the
16 measurements again and then we said, okay, we are going to
17 design the round and it had about 85 or 89 boreholes. It
18 had closer spacing on the peripheral holes; it had smaller
19 loading in the peripheral holes, so they were really trying
20 to get the true smooth wall blasting. They went ahead two
21 or three rounds with that. What they found was there was a
22 considerable decrease in the number of joints, a decrease in
23 all of the things that had changed now were not changing at
24 much.

25 They concluded that the contractor's blasting

1 pattern was damaging the zone between one meter and one and
2 a half meters. This was very interesting. But you could
3 also go and look at the pattern that the contractor had been
4 using, and you could see that this was not the best kind of
5 blasting because blocks were out and you couldn't see the
6 borehole cast of the normal. And yet, when they did it real
7 careful, that looked very nice. When they went to the side
8 into their alcoves or niches for their testing, they were
9 very careful with their blasting. You could come and see
10 these little alcoves that were maybe ten feet wide and 20
11 feet long and you could see every borehole that they had
12 blasted to.

13 So, they had used the true Swedish smooth wall
14 blasting and it just worked beautifully. But, they were not
15 using it on the access tunnel. I guess the reason was they
16 didn't feel, since it was an access tunnel, that it was
17 quite as important to do that, because any testing they were
18 going to do from that, the were going to do by driving an
19 alcove, and that they would do very carefully. This was
20 sort of a question between the two government authorities
21 and they wanted to know what our comments were about this.
22 I thought that was an interesting experience for you here.

23 When we went a couple of days later over to the
24 Swiss Grimsel underground rock laboratory, we saw just a
25 beautiful excavated, tunnel boring machine tunnel put in ten

1 years ago with all kinds of experiments going on there now.
2 I walked down that tunnel; it wasn't quite as big as the
3 other, but I believe it was just about 12 feet in diameter.
4 They were doing their permeability testing, etc. They had
5 mapped the walls and the walls were beautiful to see. They
6 were permeability testing. The damage they said as near as
7 we can tell it is between zero and zero, with the rock
8 boring; they just couldn't pick up any damage whatsoever.
9 Of course, it was a strong rock, so you would not get any
10 plastic yielding or anything such as that. But boy, could
11 you see the weaknesses that were in the rock when they had
12 the inclusions of some of the schists and shear zones, and
13 they were doing an awful lot of testing there.

14 The interesting thing to me was that the first
15 part of the tunnel, you could see the grooving, very much.
16 There was a depth of about perhaps a half inch relief as
17 they were boring forward. So you could get a three
18 dimensional; any time fracture, you could actually see it
19 running through that little groove, so you could get a
20 strike and a dip very easily on it. But then they changed
21 about halfway through the tunnel. They changed to more of a
22 hard rock type. Instead of using a disk cutter that had
23 inserts of tungsten carbide balls like Ingersall-Rand uses
24 in their raised bores, they put on the regular disk cutters
25 without those balls. There the amount of grooving was very,

1 very minimal; it was very, very smooth. You truly lost the
2 three dimensional small effect, except where there was a
3 fracture coming across and then there would be a little
4 overbreak, then there you could see very nicely what the
5 strike and dip was of that overbreak of the joint.

6 We then stood back and we would see a joint here
7 and you could see it come up over here and back down over
8 here (indicating), so you did have by putting yourself in
9 line with it, for anything that had 12 foot extension, you
10 could see it just coming up beautifully so there was no
11 trouble whatsoever. Then you could examine the face like
12 you were looking at a rock that had been cut for you by a
13 rock saw and decide if there was or wasn't anything there.
14 They said most of the time there wasn't. They did lots of
15 permeability tests and it would take two, three, four months
16 to get a cc of water in.

17 It was very intriguing and no doubt that the depth
18 of damage is so much greater in the blasting. And the care
19 with the blasting. I think this is one of the reasons that
20 we have been thinking here of raised borings; maybe even
21 drilled shafts if you came to that at one time, and
22 certainly TBM drilled access drifts and exploratory drifts
23 and things such as this. It really pays off.

24 Bill or anymore comments on what we saw, Russ?

25 MR. MCFARLAND: You might mention the need for borehole

1 sealing and particularly the borehole at STRIPA that they
2 intersected.

3 DR. DEERE: This was really something.

4 You've heard the Board from time to time talk
5 about it's not the tiny, tiny little fractures that we think
6 that are going to give us trouble and the large flows; it's
7 the occasional one that has some continuity and goes through
8 most of the formations, etc.

9 In their pre-study of the area with air photos and
10 with a few drillholes, they found that they did have in the
11 water area, and the reason the water was there, it was a
12 small little strait, the reason the water was there was
13 because there was a structural feature. And so they knew
14 that this access was going to pass through the structural
15 feature. So they had lots of piezometers in the island in
16 a couple closer to the tunnel, and as they drilled into this
17 feature, they were going to see how much water they got out
18 of it and what happened to the other things to get a big
19 picture. As I mentioned yesterday, when you have a
20 saturated zone and you drain it, you can pick up a lot of
21 information as to what is really carrying the water and
22 where there are residual pressures.

23 They did something very nice. They drilled, I
24 believe it was from the sea, a vertical hole and then they
25 deflected it down to ten degrees slope. They carried that

1 down as a pilot hole about ten feet or 20 feet or whatever
2 above the drift. Just the week before we got there, they
3 suddenly encountered it. This hole went all the way down
4 and hit that deep feature about 500 feet farther down, and
5 maybe 500 or 800 feet away. When they hit it, that water
6 came out of that hole and just literally under 200 meters of
7 pressure through a hole about that large. When we came down
8 in our truck and I saw the face there and I saw this tunnel
9 going off to the side, I said, what has happened here? They
10 said, well we have abandoned that heading. We hit the old
11 borehole and we got flooded; not from the sea coming down,
12 we got flooded from the fault coming back up the borehole.
13 And it was just coming out as much as you could expect from
14 about a four or six inch hole.

15 They finally got a packer, not without difficulty,
16 they got a packer in and it is leaking a little around the
17 packer and through a few fractures. They are just bypassing
18 it now and going off to the side and steeping. They had a
19 small correction error apparently. The intent was not to
20 hit the borehole. The borehole was to give them some idea
21 of when they were going to hit the things.

22 We learned a lot on that trip. Somebody might
23 want to say, "well what are you doing looking at granite?
24 Our site is not in granite." You do find all the types of
25 problems and things that have worked and are working well.

1 Anything else Bill, that you had on that? We are
2 writing a couple of these experiences up for our report of
3 next May.

4 Comments, Clarence? You are Chairman of this
5 committee.

6 DR. ALLEN: No.

7 DR. DEERE: No comment. That's good.

8 Any other comments from speakers, Board members?
9 Tom?

10 DR. BLEJWAS: I just wanted to amplify on my answer to
11 Russ's question, because I think I gave it too short an
12 answer; it is really very complicated. It is a very
13 difficult question for us to handle, because there are
14 presumptions of using total system performance assessment to
15 answer a lot of design questions. That is among the most
16 difficult things to do with total system performance
17 assessment. It is a very intriguing idea and it is a very
18 good idea. I guess it is partly because of our own
19 shortcomings that we tend to be defensive about this.

20 I did want to point out to you that I have
21 answered the question partially, because, when I was talking
22 yesterday about how we include potentially seals in total
23 system performance assessment, I said we would include it in
24 developing scenarios for what may happen, but also we have
25 to modify the geometry and the conceptual models that we

1 would use throughout the mountain as we do our sampling for
2 performance.

3 It is because our models now have such large
4 assumptions in them for things like what are the releases
5 from the waste package? What is the lifetime of waste
6 packages and how much Carbon 14 will get out? These can
7 make differences of orders of magnitudes in terms of the
8 releases to the accessible environment. Now if you tell me
9 that you are going to change permeability by one percent
10 perhaps, or change it for one percent of the mountain,
11 unless you change it a real lot and create a very
12 substantial pathway to the environment, I can't see that
13 because these other uncertainties are so large, they swamp
14 out the answer for that question that you are trying to ask.

15 MR. MCFARLAND: But isn't that knowledge again valuable
16 in allocating resources and trying to establish priorities?
17 If you don't know the need for the seals, why are we
18 striving to such extremes to provide a seal that again
19 reflects the extreme to the state-of-the-art, not the need?
20 Shouldn't we first address those issues that drive our
21 performance?

22 For example, a month ago, a month and a half ago
23 we had the meeting on thermal. There were a great number of
24 questions left that in my thinking should perhaps be
25 addressed prior to putting monies into the design of a seal

1 when we really don't know what performance requirements are
2 going to put on that seal? The questions that Dr. Price
3 raised on the configuration of the repository. There is a
4 need for prioritization. We don't have the money we need,
5 is the money we have being used in those areas that are
6 going to give us this information as soon as possible?

7 DR. BLEJWAS: I think you have just raised a much
8 bigger question, and I don't feel qualified to answer that
9 question.

10 MR. MCFARLAND: You noticed I was looking at Max when I
11 said that.

12 DR. BLEJWAS: I think I'll look at Max, too.

13 MR. BLANCHARD: The only answer I have, Russ, is that
14 that is one of the reasons why we aren't involved in an
15 extensive laboratory and field test program in seals right
16 now.

17 MR. MCFARLAND: Thank you.

18 DR. BLEJWAS: Let me say one other thing in partial
19 answer to your question. One of the things I think I
20 learned from the ESF Alternatives Study, was that going
21 through a process that's prescriptive to try to provide
22 information for a decision, is a good idea, except that you
23 have to remember that when you get the answers that come out
24 from that process, they are dependent very highly on the
25 assumptions that you make up front. And we have already

1 seen that some of those assumptions have changed. Or we
2 would use different assumptions if we were doing that study
3 right now. Does that mean that every six months we go back
4 and repeat a study like that? I hope not. That would mean
5 that we would never make any progress.

6 I think what we have to do is make the best
7 assumptions we can, go forward, and then continually
8 question ourselves; that assumption has changed, do I have
9 to do anything significant now that that assumption has
10 changed? Or, can I proceed with getting a little bit more
11 information and then again looking. We have to constantly
12 be cycling through. And I think a lot of the plans that you
13 will see, for example, test and evaluation plan that the DOE
14 has indeed are designed to do that. They are designed as we
15 get information, let's look at our assumptions, let's look
16 at our knowledge. Do we need to do something different now?
17 You can't go back and keep redoing those studies or you
18 would never make any progress whatsoever.

19 MR. MCFARLAND: No, I don't mean to imply that.

20 DR. BLEJWAS: I didn't think you did, but that is only
21 a partial answer.

22 DR. CASE: I would like to just make one comment here.
23 I have had involvement also, in the Waste Isolation Pilot
24 Plant project. One of the things that occurred on that
25 project was, of course, at the time that we had put down

1 instrumentations holes for geomechanics at the repository
2 horizon, we started to obtain inflows of brine. There were
3 a series of experiments that were being done, brine
4 migration experiments that Sandia was involved with.

5 At a certain point, the amounts of brine were much
6 larger and were in fact pressure driven. This led to
7 several reports that we developed in identifying the brine
8 problem. In other words that there is a potential for brine
9 to come into the facility. More recent work I think has
10 isolate the sources of that brine. But, nevertheless, the
11 influx of brine in terms of salt consolidation is a very
12 significant factor, and one that was not anticipated say ten
13 years ago.

14 So, here is an instance where now that brine has
15 some very beneficial affect actually, in terms of the
16 centering of the crushed salt that would occur due to creep.
17 The point I am just simply trying to make here is, as we
18 obtain information about the site, as in this particular
19 case, we may need to modify the design of those seals for
20 such events as this, where the site characterization
21 information that evolves and develops results in some
22 fundamental changes in our thinking. I would just like to
23 throw that out as a comment.

24 DR. CANTLON: I would get back to this problem of an
25 overall system's assessment and the difficulty that the U.S.

1 program has because of the prescriptive nature of the
2 regulations to which we are forced to design a system long
3 before we know enough to design the system. The Europeans
4 aren't under the handicap the U.S. is. We tend to have a
5 prescriptive, regulatory driven system which requires a very
6 large amount of information on the fit to those regulations
7 at a time when the understanding and opportunities for a
8 repository design are emerging. Our counterparts overseas
9 don't have that impediment. We are driven to get minute
10 detailed information far before we know whether that minute
11 driven information has any relevance at all to the
12 fundamental design.

13 If we went to a very high thermal load system,
14 much of this system would go down the tubes. There would
15 have been no reason to approach sealing with that set of
16 starting points. So, we do have a very serious difficulty
17 in the U.S. approach to this challenge.

18 MR. BLANCHARD: John you might be right, but I don't
19 see those regulations changing which would cause us to do
20 something different. At least not right now. And in the
21 mean time, the posture the Department has taken to approach
22 site suitability, is to rely on the properties of the site,
23 not the seals. In otherwords, our approach in performance
24 assessment and assessing the suitability of the site from
25 magnitude and recurrence intervals have adverse impacts to

1 containment in waste isolation caused by natural processes
2 is to assume the seals don't work. And if we can't
3 demonstrate by a significant margin, that that will be
4 adequate, then seals won't be part of the demonstration of
5 we have to have them because it is necessary to meet the
6 release requirements. I think the site will not be, perhaps
7 I don't have the authority to make this statement, but in my
8 opinion, the site will not be found to be suitable within
9 the Department. So a license application would never be
10 prepared and sent to the NRC on that basis. I view the
11 seals program as a confidence builder. Something you have
12 to have; you do the very best you can with the equipment,
13 the technology, that is available at the time. Everybody
14 wants to expect to rely on it. They know that they will be
15 able to rely on seal concepts for thousands of years because
16 you can look around the world and see evidence that they
17 last that long and longer, but that with respect to
18 containment and isolation of the radionuclides and releases
19 out of the waste package and groundwater travel time and
20 things like that to a five kilometer boundary. That is not
21 what we are relying on in determining the suitability of the
22 site.

23 For instance, in the early site suitability
24 evaluation that is going on right now, significant
25 performance of any sort is not being relied on seals as a

1 part of the engineered barrier.

2 DR. DEERE: I wish to thank all of you for your
3 comments. The topic is certainly a broad topic. It was
4 informative for us to see how many different areas are being
5 investigated or have been investigated the last few years,
6 and several of the real ones that are ongoing investigations
7 that are planned for this year and next year.

8 I thought several times during the presentations
9 that it was a shame that our groundwater specialist on the
10 Board, Dr. Domenico wasn't here. And other times I thought
11 it was a shame that Dr. Langmuir on the geochemistry panel
12 wasn't here. This afternoon when we go see the tunnel
13 boring machines we are very sad that Dr. Verink who is a
14 metallurgy specialist is not going to be present, because
15 what we are going to see this afternoon is a real break
16 through in metallurgy.

17 The Robbins Company started, about 1985 with a
18 major new development of machines which have now been
19 produced and three of them are operating in Norway and going
20 through at a very great rate. I hope they are going to
21 make this presentation to us this afternoon of what went
22 into this new development because it is just like the one-
23 horse shay. When they got something better to make it
24 really work, they didn't have quite enough backup on
25 something else, so then the bearing had to be redesigned for

1 that. When they got that going, then they found out the
2 head wasn't quite rigid enough because you are now thrusting
3 with another 25 or 50 percent of thrust and that went out.
4 When you got the good metallurgy and your bit and you wanted
5 to penetrate, then the local bearings of each disk went out,
6 so it was a question of going all the way through. So, now
7 their big machines have a very strong head, a very rigid
8 head. Even the metallurgy of their cutters had to resist
9 these very high pressures, maintain their hardness and
10 sharpness without being brittle.

11 In trying to do it, they have found out. And now
12 I think they are at a point where they are certainly leading
13 in the world with what they can do with their cutters. We
14 hope this afternoon we will find out that these major new
15 impacts that we have in the tunnel TBM performance has been
16 developed the hard way. It has been a step at a time.
17 Dick Robbins himself is a mechanical engineer and this is
18 the kind of thing he revels in. Unfortunately he is in
19 Europe and will not be able to meet with us this afternoon,
20 but we think some of their engineers will probably cover
21 those topics.

22 We felt it was very appropriate that we would have
23 a chance to meet in Seattle and go out there and take a look
24 at that.

25 How many in the audience will be going this

1 afternoon with us? Do we have quite a number? Very good.

2 Very good. I am glad to see that.

3 DR. BARNARD: We have a bus that is going to take us
4 out to the factory. According to the present schedule that
5 bus will begin loading at 12:15 and leave at 12:30, so that
6 should give us plenty of time to eat.

7 DR. DEERE: Thank you all.

8 (Whereupon, the proceedings were adjourned.)

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24