

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

UNITED STATES
NUCLEAR WASTE TECHNICAL REVIEW BOARD

Meeting of the Panel on Transportation & Systems

Nuclear Waste Technical Review Board
1100 Wilson Boulevard
Suite 910
Arlington, Virginia 22209

September 25, 1991

ANN RILEY & ASSOCIATES
1612 K Street, N.W. (202) 293-3950 Washington, D.C.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

P A R T I C I P A N T S

Board Members Present:

Dennis L. Price, Member and chairman of the Panel
on Transportation & Systems

Ellis D. Verink, Member

Staff Member Present:

Sherwood C. Chu, Professional Staff Member

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

I N D E X

Meeting of the Panel on Transportation & Systems

		Page
Introductory Remarks	Dennis L. Price	4
Transportation Program	Ronald Milner	6
Overview and Priorities	James Carlson	14
Cask System Development Program Update	William Lake	31
Cask Seals Testing	Thomas Sanders	55
Human Factors and System Safety Activities Update	Christopher Kouts	76
Institutional Activities Update	Susan Smith	93
Overview	Christopher Kouts	120

1			
2	Standard Contract Waste	Alan Brownstein	124
3	Acceptance Process		
4			
5			
6	Status of Infrastructure	Michael Conroy	141
7	Studies and Results		
8			
9	Service Planning Documents	Ronald Pope	167
10			
11	Logistical Planning	Christopher Kouts	174
12		Michael Conroy	176
13			
14	Shipment Tracking	Christopher Kouts	187
15		Lydia Ellis	188
16			
17	Cask Maintenance Facility	Ronald Pope	202
18	Development		
19			
20			
21			
22			
23			
24			

1

2

3

P R O C E E D I N G S

(9:00 a.m.)

MR. PRICE: Good morning, and welcome to the meeting of the Panel of Transportation and Systems of the Nuclear Waste Technical Review Board.

I am Dennis Price, chairman of the panel. With me today are Dr. Ellis Verink, the other member of the panel, immediately on my left; and on my left and around the corner, Dr. Sherwood Chu of the Board senior professional staff.

This will be a two-day meeting. The focus for today will be on the Department Of Energy's, or DOE's, transportation program. We will get an overview of the program and its priorities, and we will get an update on a number of issues that we have raised in the past. These are enumerated in the printed agenda. Tomorrow we will shift and focus on systems engineering issues. This will be a follow-up of a briefing the Board received in July of this year on DOE's systems engineering approach, the Waste Management Program. We hope you can join us for both days.

We have a lengthy agenda today, so we need to get started. Leading off for DOE is Ron Milner. Mr. Milner is associate director for storage and transportation of the

1 Office of Civilian Radioactive Waste Management at the DOE.

2 MR. MILNER: Good morning. I wanted this morning
3 to talk about four management initiatives that we have
4 undertaken in connection with the transportation program:
5 they are the technical advisory team for transportation,
6 peer review of the cask design requirements that we have
7 undertaken, an independent review of the Initiative I cask
8 development program, and also a two-phase cask development
9 and acquisition program.

10 (New viewgraph)

11 Dr. Bartlett has been using a number of different
12 independent groups to review various elements of the OCRWM
13 program. He established the technical advisory team for
14 transportation about a year ago. The purpose of that was to
15 review the transportation plans and activities, (1) to
16 ensure their completeness, (2) to make sure that all the
17 alternatives are being considered for various aspects of the
18 program, and (3) most importantly, that it meets the needs
19 of the overall OCRWM program that is currently envisioned.

20 The group is comprised of myself and the firm E.J.
21 Bentz & Associates, and, of course, it draws heavily on the
22 existing transportation program staff of the headquarters
23 and in the field.

24 (New viewgraph)

1 We had initiated a little while ago a peer review
2 of the cask design requirements. As you know, the design
3
4 requirements were prepared in 1986, well in advance of the
5 establishment of the OCRWM QA program. The peer review was
6 undertaken to look at the process that was used in
7 developing those requirements to satisfy the QA program
8 requirements. The review is scheduled to be completed at
9 the end of this month. I have not seen a preliminary or
10 draft report on that yet, but I understand that the initial
11 indications are that, in fact, the process that was used
12 would satisfy the existing QA program.

13 (New viewgraph)

14 Another issue that we have undertaken is an
15 independent review of the Initiative I cask development
16 program. The purpose of that review, which was just
17 recently undertaken, is to evaluate the casks against the
18 current program requirements. The review is being conducted
19 by both the DOE and contractor staff as well as outside
20 input, such as the utility industry.

21 The review includes analysis of feasibility of
22 meeting schedules, program schedules; the impact of budget
23 constraints, both past and potential future ones; and most
24 importantly, the compatibility of the reactor site

1 infrastructure. It is also going to look at the operational
2 capabilities and efficiencies in the casks and the estimated
3 cost for developing those casks. We are expecting a report
4 in the latter part of November, early December on that
5 review.

6 (New viewgraph)

7 The last one I wanted to talk about is the
8 two-phase cask acquisition program. Dr. Bartlett announced
9 this at the July 16th TRB meeting. A revision of the
10 program in transportation casks to ensure transportation
11 capability in 1998 and provide time to complete a review of
12 the Initiative I cask program, Phase I of that program, or
13 the near term phase -- near term in the sense that it is
14 intended to cover operation of the MRS for its first several
15 years -- is to acquire current technology casks for that
16 start-up period. I say "current technology" in the sense
17 that might utilize either existing casks or enhancement of
18 existing casks or new casks using current technology, and it
19 could be any combination or any of the above, actually.

20 Under Phase II the current Initiative I casks as
21 well as others casks would be looked at as part of the
22 overall developmental program for second generation casks.
23 For Phase I we are hoping to have the RFP for the
24 acquisition out in the near future, and for that reason I

1 can't get into too much detail on that point. But I will be
2 happy to answer any questions you have on the rest of those.

3 (No response.)

4 DR. CHU: I'm Woody Chu, member of the staff. On
5 your terminology of near-term, long-term and Phase I, the
6 prototype casks, are they in Phase I? Let me be more
7 specific: the ones that are being developed by Babcock and
8 Wilcox and GA.

9 MR. MILNER: They are in Phase II.

10 DR. CHU: They are in Phase II?

11 MR. MILNER: Right.

12 DR. CHU: So when you say the existing casks on
13 that slide, you are talking whatever is out?

14 MR. MILNER: Whatever is existing now and
15 certified.

16 DR. CHU: And that is a very limited number.

17 MR. MILNER: Yes.

18 DR. CHU: Like, for example, the IF-300.

19 MR. MILNER: Yes.

20 DR. CHU: Is that what you are thinking of?

21 MR. MILNER: Right. Well, as I said, it is a
22 combination or all three of either those current existing
23 casks, those few casks, or enhancements that may be made to
24 those casks at an increased payload, or whatever, or it

1 could be wholly new casks that use current technology. As
2 you know, the Initiative I casks are using some basically
3 cutting-edge technology, the idea being that there might be
4 a vendor that would propose a new cask using current
5 technology.

6 DR. CHU: I guess I am still not totally clear
7 about the terminology. In other words, if the negotiator
8 was successful and an MRS was cited and operational by 1998
9 so that transport could begin or should begin in 1998, then
10 the fleet that you would use would be the ones that are
11 mentioned in Phase I?

12 MR. MILNER: Yes, for the first several years.

13 DR. CHU: For the first several years.

14 MR. MILNER: And the Phase II is intended to be
15 basically the long-term operational capability. The Phase I
16 would be in the first several years of operation, and, of
17 course, would continue to be used throughout the useful
18 life.

19 DR. CHU: So that the ones that are being
20 developed right now would not be used in the start-up of
21 Phase I?

22 MR. MILNER: Not necessarily. I think the idea is
23 that we want to ensure that we have a transportation
24 capability in 1998. If any casks, be it the ones that are

1 currently under development, are available in 1998, they
2 certainly would be utilized. But primarily we are looking
3 at existing casks to ensure that capability at this point.

4 DR. CHU: Okay. Thank you.

5 DR. PRICE: On Phase I could you describe how a
6 cask would actually be used? I recognize it is going to be
7 used in transport, but how is it actually going to be used?
8 Do you see it going to this MRS in 1998, the contents being
9 removed, going back to some other place? Or what is the
10 actual concept of how these casks are going to be used? Is
11 it going to go to the MRS and stack up there? What is going
12 to happen to it?

13 MR. MILNER: The intent of this certainly -- and
14 we don't have the final MRS storage technology determined,
15 but I think it is pretty safe to say that those casks would
16 go to the MRS, be unloaded into a storage mode, whatever
17 that may be, return to a different reactor. They would not
18 be stored at the MRS. That is not intended.

19 DR. PRICE: They would be "unloaded," was the key
20 operative word, and then return to receive another load?

21 MR. MILNER: Right.

22 DR. PRICE: And Phase II, do you have a concept
23 about how those casks will be used?

24 MR. MILNER: Basically the same as the Phase I

1 casks. If it ends up that the MRS utilized, for example,
2 transportable storage casks, then certainly they would be
3 stored there. But if that is not the concept, then it would
4 go out and load at the MRS and pick up a load.

5 DR. PRICE: Tomorrow we will be getting into the
6 system side of things, but it is going to be very difficult
7 to walk these lines and keep transportation and systems,
8 especially since we are one panel here, separate. But one
9 of the things that kind of makes me a little uneasy, whether
10 I should be or not, is it appears that some of the lack of
11 confidence and trust has started right from the very
12 beginning in the conceptual stage of things.

13 So this is like an illegitimate child poorly
14 conceived, or on the conceptual side of things not really
15 being fully exploited but rather someone has something, sort
16 of amorphous, and the starter gun went off and they said we
17 have to run with it, and they run as far as they could and
18 they handed that amorphous something to the next runner and
19 they ran. And if we continue going around the track like
20 this, we end up at the goal line with something that
21 amorphous and not totally viewed from a systems standpoint.

22 If we have got this partial view of cask
23 transportation at this point without getting the entire
24 systems view of things -- and again, we will be looking at

1 this harder, I think, tomorrow -- I am wondering, when we
2 get all done and we hold up our hands and we still have this
3 amorphous something in them, how much applause there will be
4 from the stands and those who watch?

5 MR. MILNER: I would suspect that if we had an
6 amorphous something at that time, we wouldn't get any
7 applause. Let me try to start out by talking about the MRS
8 and what we are looking at in terms of storage concepts
9 there.

10 An RFP has been issued by our M&O contractor to
11 get information on a variety of storage concepts that might
12 be used. One factor that we think could weigh heavily on
13 the decision in terms of what storage concept we use at MRS
14 is input from volunteer hosts. Until we get further along
15 that process in terms of locating volunteer hosts, we
16 obviously don't have that input.

17 We are not going to be making any hard and fast
18 decisions on the casks themselves until we are closer to the
19 MRS siting and we have some knowledge as to whether or not a
20 volunteer may or may not have input to that storage concept.

21 So at this point in time, I think we keep the options open
22 in term of what we use in the transportation area and mesh
23 that with the MRS storage technology that would be used.

24 So if it ends up being some sort of a

1 transportable storage cask arrangement, I think we have that
2 option in the transportation program to go that route. If
3 it is another dry storage concept, we would be off-loading
4 one or more types of transportation casks at the MRS.

5 DR. PRICE: So I guess the impression I gathered
6 from your first review of what was going to go on in Phase
7 II was perhaps not accurate in that at Phase II, you are
8 going to step back and take a good look at things?

9 MR. MILNER: Right. One, we are stepping back and
10 taking a look at the Initiative I casks under development,
11 and then we are going to look at whatever else we may need
12 for the long haul of the MRS.

13 DR. PRICE: Is there a definition of the
14 Initiative I? I think that is the first I have heard of
15 that actual term.

16 MR. MILNER: The current cask development program
17 that we have underway.

18 MR. PRICE: So you are going to step back and look
19 at what has been going on. How pivotal and how much of a
20 total view of the system are you really anticipating
21 exercising before you continue on?

22 MR. MILNER: I think pretty completely. We are
23 certainly working with Dwight Shelor's group, who will be
24 talking to you tomorrow.

1 Next, Jim Carlson is going to talk about some of
2 the nuclear program priorities in next year's budget.

3 MR. CARLSON: Dr. Price, Dr. Verink, Dr. Chu, let
4 me first say it is a pleasure to be back to talk to the
5 Board a little bit and provide you a little overview and
6 background and perspective on the program. The
7 presentations will be primarily made by the program staff
8 and a few of the contract and support groups that are
9 working with us. You know Chris Kouts. He will be, to a
10 large extent, orchestrating or coordinating presentations
11 today.

12 Certainly you know me. I am Jim Carlson. I am
13 the director of the Transportation and Logistics Division.
14 I am responsible now for the transportation program and the
15 waste acceptance activities. I interface with the utilities
16 in trying to make the administrative arrangements for the
17 transfer of spent fuel. I think Alan Brownstein, who is the
18 chief of the Logistics and Utility Interface Branch, will be
19 talking to you later about the contract and the
20 administrative relationship with the waste generators, which
21 I think is of interest to you and impacts the discussion you
22 had with Ron just a minute ago.

23 I am going to talk through an overview of the
24 transportation program; what the program structure is with

1 regard to participants; the plan; who the current
2 participants are; our planned transition to the M&O
3 contractor, who recently was brought on board -- I think Dr.
4 Bartlett briefed you on that at the full meeting -- and some
5 discussion of our priorities in '92 and the way that our
6 budget is being distributed, our plan, how we are doing it
7 at this point.

8 I think I will start off by indicating the
9 objective of the transportation program is to ensure that a
10 safe and efficient transportation capability is available
11 and an institutional environment is in place that will link
12 the operation of the federal high-level radioactive waste
13 management transportation system as needed. I think this
14 ties in with Ron's discussion of the director's new
15 initiatives: to make sure we have transportation capability
16 available when it would be needed, in this case in 1998 at
17 an MRS site.

18 The Initiative I cask development program, which
19 has been ongoing for years in Idaho, is looking at more
20 efficient transportation capability than the existing casks.

21 So the major difference is the current technology doesn't
22 have the carrying capacity of those casks that are under
23 development. Bill Lake is going to give you a briefing on
24 that cask development program, that CSCP program, as it is

1 referred to.

2 (New viewgraph)

3 This is how we historically have broken down the
4 program, or the work breakdown structure; it is how our
5 budget is tasked when it goes forward to Congress. It
6 includes four major program areas within transportation:
7 the cask system development program -- and I am going to
8 talk a little bit later in details about what the priorities
9 are in each category, so I am not going to do a lot of that
10 with this particular viewgraph. Again, as I said, the
11 specific updates in the individual areas will be presented
12 by people later today.

13 The cask system development is responsible for the
14 development of the Initiative I casks, or the next
15 generation of casks which are more efficient. There also is
16 a subset of that program that addresses applied technology
17 of generic issues associated with achieving these higher
18 efficiencies in transportation. One of them is that cask
19 seal performance, which you specifically asked that we
20 cover, and we have Tom Sanders from Sandia here to cover
21 that.

22 The support systems and operations planning has to
23 do with identifying the equipment requirements to support
24 the operations, the actual operation planning, which is the

1 focus of most of this afternoon's presentations. This is
2 looking at what utilities can handle, looking at the fleet
3 size, fleet requirements and specific equipment, logistics
4 planning, those items that you identified specifically in
5 the agenda.

6 Economic and systems studies look at the
7 infrastructure at the utilities to determine what the casks
8 -- or what is needed, or what can be used at each reactor.
9 The actual decision on transportation casks is a utility
10 call; what goes on inside the fence is their determination.

11 So we will supply them a carrier, they assume it at the
12 gate, they load it, they turn it over to us at the gate to
13 take out. They are the ones that are responsible for the
14 operations inside the fence.

15 Alan will talk a little later about the specific
16 arrangements with the utilities through the contracts that
17 we have with them, or the contracts they have with us, since
18 they are purchasing a service from us. In this area we also
19 have our NEPA support activities, looking at the development
20 of NEPA compliance plans, the development of models and
21 preparing to support an MRS environmental assessment, or
22 EIS, or eventually a repository.

23 The last area is the institutional program area,
24 which Susan Smith will talk to you later today about. There

1 we are looking at compliance with Section 180(C) of the
2 Nuclear Waste Policy Act, which requires the Department to
3 provide technical assistance and funds for training for
4 public officials in the states and tribes through which we
5 may be transporting spent nuclear fuel under this program.
6 Also our cooperative agreements are covered under that
7 activity with various regional groups and other support
8 groups.

9 (New viewgraph)

10 The transportation program, the current
11 organization or prior to the M&O transition integration,
12 which I think could be characterized as this week versus
13 next week -- the cask system development activities are
14 conducted, are technically managed through our Idaho field
15 office. Margaret Fisher is the project manager on cask
16 system development program.

17 The casks are being designed by a commercial cask
18 vendors of a commercial organization. GA is working on the
19 truck casks, a fully funded cask program. Babcock and
20 Wilcox is rail cask, NAC is a backup rail cask, and
21 Westinghouse is a backup trust cask, which are partially
22 funded activities.

23 The generic issue: We are looking at generic
24 technical issues, which are being done at Sandia. As I

1 said, Bill Lake will give you more details on the status.

2 The second major participant from a management
3 viewpoint is DOE Chicago office. They are responsible for
4 managing portions of the program that have to do with
5 institutional activities, economic and systems studies,
6 support systems, and operational planning. They had
7 multiple contractors supporting them, Battelle, Argonne
8 National Lab, Lawrence Livermore, Oak Ridge National
9 Laboratory, the operations planning entity. Ron Pope from
10 Oak Ridge will talk to you this afternoon about some of
11 those activities, and SAIC supports them also.

12 On this viewgraph we also show the Nevada Yucca
13 Mountain site characterization project office, which does
14 not report to Ron, although they are part of the overall
15 office of Civilian Radioactive Waste Management
16 Organization. They are responsible for
17 transportation-related studies and activities within the
18 state of Nevada related to the OCRWM program. I believe
19 Kathy Grassmeyer briefed you in Albuquerque on that a little
20 bit.

21 We do have Bill Young here with us today who can
22 answer any questions with regard to the Yucca Mountain
23 activity. He is a contractor who, I think, was responsible
24 for the conduct of most of those studies.

1 (New viewgraph).

2 This is sort of a depiction of how the
3 transportation program management structure will be changing
4 with the acquisition of the management operating
5 contractor's support and the office in the execution of the
6 program. The Department of Energy's Idaho field office will
7 continue to be responsible for the cask system development
8 of the Initiative I casks. Future initiatives in cask
9 development, cask procurement, as Ron indicated, are being
10 handled through our M&O contractor. The M&O is the TRW
11 Environmental Safety Systems. I believe we have
12 representatives from that group out here in the audience.
13 Phil is here, I can see even with my vision, sitting back
14 there. He is the head of the transportation group.

15 So Idaho retains responsibility for the Initiative
16 I work. The TESS organization would be responsible for the
17 management of the institutional activities, economic and
18 system studies, support systems and operational planning,
19 and future cask development and cask procurement
20 initiatives.

21 The Yucca Mountain work is as it was. I believe
22 the only change in the Yucca Mountain activities are with a
23 higher priority being applied to the access of the site and
24 the site work. There is probably not as much transportation

1 infrastructure related activities going on there as there
2 was in the past.

3 Any questions on that? I see you are pouring over
4 the chart a little bit and I am going pretty fast.

5 (No response)

6 (New view graph)

7 A little discussion of the priorities as we see
8 them in the near term in the various program areas. As Ron
9 mentioned before I got up, within the cask system
10 development area we have a high priority at current
11 technology cask, or near current. This is the director's
12 initiative to ensure we have a shipping capability in 1998
13 to satisfy our needs. We are moving ahead with the
14 development and licensing of the Initiative I casks. These
15 are the casks Bill Lake will talk to you about. They are
16 being conducted through Idaho, General Atomics and B&W
17 casks. We hope to have the safety analysis reports for
18 packaging to NRC for these casks in fiscal year '92.

19 The technical issue resolution activities, or the
20 burn-up credit -- and this is to take credit for the
21 depleted fissile content of the burnt fuel -- this is a
22 generic effort that Sandia has been working on and will be
23 used to support the licensing of the new efficient cask.

24 Source term evaluation, taking a hard look at the

1 actual radiation source term within the casks during
2 transport and examine how they would behave in normal
3 conditions.

4 The weeping or surface contamination issues are a
5 real operational problem that the casks face, where they
6 will be cleaned and suitable for transport when they leave a
7 facility and they will arrive at their destination and do
8 another survey and find there has been an increase due to
9 absorption and release of contaminants on the surface of the
10 casks. There has been a fairly extensive effort to
11 understand that and see what can be done to eliminate that
12 problem.

13 DR. PRICE: Is the present thinking on the weeping
14 thing similar to the last I heard from Phil Bennett? Isn't
15 that his lead?

16 MR. CARLSON: Yes. Dr. Bennett is the lead on
17 that, yes.

18 DR. PRICE: And it is based on an ion exchange
19 concept?

20 MR. CARLSON: That's correct.

21 The final area in this, which is in applied
22 technology or generic issues, is the closure seals
23 requirements. Tom can talk to you about that later this
24 afternoon.

1 (New viewgraph)

2 In the area of support systems and operational
3 planning, since we are responsible for providing the
4 transport of casks, multi-- casks or the casks requested to
5 our fleets to the utilities, we do need to understand the
6 impacts of the way the standard contractors work and the
7 utilities' responsibility in our planning. So part of this
8 activity is to understand and evaluate the impacts on the
9 transportation system of the way the contracting
10 arrangements are with utilities.

11 There is functional analysis of the operational
12 system and specific studies to look at optimization spinning
13 off from that. That is Dwight's area, and I don't know
14 whether he will get specific into what is going on in the
15 transportation area, but he will address it programwide. It
16 is ongoing and it is a pretty significant effort in light of
17 staff contribution.

18 We also look at the operation reviews of the
19 systems, the design, to evaluate the reactor handling and
20 loading, what we need for it, and how it impacts our
21 proposed operations and procedures.

22 The identification of needed system components:
23 Again, look at what the utilities do have and can handle,
24 what will be needed to address the loading requirements at

1 the specific sites, the definition of the cask maintenance
2 facility requirements, and what do we need specifically to
3 maintain a fleet of casks?

4 The observations of ongoing shipping and compiling
5 of lessons learned: I think as a systems safety advocate,
6 it is a point that is near and dear to your heart and it is
7 not one we are specifically looking into. Although we will
8 not be shipping for a number of years, there are shipments
9 going on with utilities, and the Department makes shipments.

10 Particularly the WIPP case is a good example to see what we
11 can learn to make our program better and avoid any problems.

12 (New viewgraph)

13 In the economic and systems study group or area,
14 as the way we breakdown the activities, we have the analysis
15 of the infrastructure studies that have gone on, the FICA
16 study; the facility interface capabilities assessment
17 activities; and the near-site transportation infrastructure
18 study, one inside the fence and the other between the fence
19 and either the nearest rail head or maybe a barge facility
20 or the Interstate Highway to look at what capabilities are
21 to move heavy casks in those areas. You will be getting a
22 briefing on that from Mike Conroy, I believe, this
23 afternoon.

24 In the area of model development and

1 documentation, there are systems models, there are risk
2 models, there are a variety of models that we need to
3 analyze and determine what is the optimal way to deal with
4 this. I think it touches a little bit on your discussion
5 with Ron as to, we do need the analytical capability to
6 determine how specific changes and system configuration or
7 choices in technology do affect costs, radiation, our
8 ability of having the system ready in the operation.

9 We do have planning to support an MRS
10 environmental report if one is needed in the near future.
11 Then, in all of the environmental assessments done to date,
12 there has been specific transportation impact assessments
13 that were part of those activities. I anticipate we
14 probably will be proceeding on those lines in the future.

15 (New viewgraph)

16 The last area is institutional planning. Susan
17 Smith will be briefing you later on the status, giving you
18 more detail of the activities. A large part of our effort
19 is in the Section 180(C) strategy, in the development of a
20 plan in how we would implement the requirement in the
21 Nuclear Waste Policy Act Amendment that called for the
22 Department to provide technical assistance and funding to
23 states and tribes to which we will transport waste; both
24 include normal operations and emergency preparedness. So we

1 are trying to work with regional groups. We hope very
2 shortly to be issuing a draft strategy which describes the
3 process we hope to use to incorporate the views of the
4 various people who actually developed a specific
5 implementation plan, and then implement 180(C) requirements.

6 The cooperative agreements: I won't try to run
7 through the whole list. I will let Susan do that during her
8 presentation. But we do work with regional groups at this
9 stage in the program to try to receive input from the
10 regions to understand their views with regard to the
11 transport of nuclear waste and to help factor that into our
12 planning.

13 The CVSA inspection procedures: This is an effort
14 to develop a uniform inspection procedure for our nuclear
15 waste shipments. We hope to get into an actual
16 demonstration or test of these procedures with the WIPP
17 shipments to allow us to get the kind of feedback to see if
18 they look good, whether the state inspectors' feel this is a
19 good procedure, how it could be improved. I think we have
20 heard a little bit about that at the briefing with the WIPP
21 people that we had in Albuquerque.

22 The last activity is an ongoing activity to
23 resolve institutional issues, or issues that have been
24 raised over the period of time that we have been interacting

1 with these external groups in the transportation program.

2 (New viewgraph)

3 This is an initial or preliminary look at how we
4 see the distribution of the programming funds in '92. I
5 won't characterize these as final because we have not got
6 guidance; we are still interacting with various program
7 groups. Ron hasn't sent anything out yet, but this is sort
8 of our initial feeling. The overall program has taken a
9 small cut this year; that is, with the access to Yucca
10 Mountain and the potential of getting on with some site
11 characterization activities. The major emphasis has been a
12 focus on pushing forward in the site characterization area.

13 And the rest of the program has not had the growth that I
14 think we had hoped for in the early time, although we still
15 have a very firm commitment to be able to meet 1998, which
16 is where Ron was talking about the new initiative.

17 The cask system development: There is a fairly
18 significant portion of that set aside for the new
19 procurement initiative. So we do see sort of funding going
20 down a little bit on Initiative I, but some money set aside
21 for the procurement initiative.

22 Support systems and operational planning: That
23 one was actually staged fairly level. We see the 1991
24 carryover funds in there to support the continued working

1 forward on the operation planning to develop the site
2 specific plans for the interaction with the utilities.

3 Economic system studies --

4 DR. CHU: Excuse me, Jim. Are you saying that
5 this FY '91 carries over on top of FY '92?

6 MR. CARLSON: Yes. The actual level of activity
7 is pretty close to the same. There are carryover funds that
8 we apply in that area.

9 DR. PRICE: So you had about a 1.5 on '91 and it
10 would be about a 1.5 on '92, or something like that?

11 MR. CARLSON: I don't follow what you mean.

12 DR. PRICE: It is the average of the two?

13 MR. CARLSON: No. Actually, it is closer to 2
14 million. It is like a million carried over to apply to that
15 area. I don't have the specific numbers here, and as I
16 said, we haven't cut the actual guidance letters or moved
17 forward on it yet. But the level of activity is pretty much
18 the same in that area.

19 DR. VERINK: The final bottom line, then, will be
20 about the same?

21 MR. CARLSON: With available funds for spending,
22 yes, that is correct.

23 The economic and systems studies: There is a
24 small reduction in the effort in that area. I think with

1 FICA and NSTI activities wrapping up, it is sort of a
2 natural progression to feel a little bit of reduced activity
3 there.

4 Institutional area is roughly the same. We have
5 cut a chunk of money out of the program management area.
6 With the M&O coming on board, I think we see more
7 efficiencies in the integration of the activities.

8 That is pretty much what I had to present. I will
9 be happy to entertain any questions.

10 DR. PRICE: You presented quite a bit of material
11 to be forthcoming today, and it sounds like we have a lot to
12 listen to.

13 DR. CHU: I just have one question related to the
14 one that I asked earlier; that is, again, one of clarifying
15 the Phase I, Phase II. If I can go back to the slide on
16 cask system development, where the first bullet under that
17 was current technology casks.

18 MR. CARLSON: Okay.

19 MR. CHU: That is, in Phase I you were going to
20 make use of existing technology --

21 MR. CARLSON: That is correct.

22 DR. CHU: -- for the purpose of transporting the
23 spent fuels to the MRS by 1998?

24 MR. CARLSON: That's correct.

1 DR. CHU: Now, when you say that, do you mean that
2 you are restricting yourself to the existing fleet or the
3 existing technology? Again, I go back to the fleet is very
4 small. There aren't very many IF-300 that you can lay your
5 hands on.

6 MR. CARLSON: I think we all recognize that. When
7 Ron talks about the current initiative, he is talking about
8 inviting -- and I don't know how far it is still in
9 preparation -- but looking to purchase existing or things
10 that could be developed with a great deal of confidence so
11 we would be able to have a fleet available in 1998.

12 DR. CHU: So "existing" refers to the technology
13 and not just the total fleet?

14 MR. CARLSON: Correct. I believe, as Ron said,
15 the Initiative I casks are looking at very highly
16 efficiencies, recognizing the age and burn-up of the spent
17 fuels that is going to be handled. The current casks do not
18 have anywhere near the capacities. So we are still looking
19 to develop these highly efficient methods. And certainly if
20 continuing investigations prove out that there are very good
21 efficiencies with these casks, we will pursue that and that
22 will be the backbone of the fleet.

23 But also the director has put a very heavy
24 emphasis on: Make sure you have the capability available

1 when needed. The need date has been identified as 1998. So
2 we are looking at what gives us that schedule confidence,
3 but at the same time we are looking to develop this more
4 efficient fleet to be the backbone of the long-term
5 operations.

6 DR. CHU: Thank you.

7 DR. PRICE: In this full plate you have set before
8 us for the rest of this day, to what extent are you -- we
9 hear quite a bit of concern, particularly from the
10 railroads, about emergency response. To what extent are we
11 going to get into emergency response sites and things today?

12 The reason I hesitated before is that we didn't really, I
13 think, make this a point of something we were looking for in
14 the agenda, but I am just wondering to what extent.

15 MR. CARLSON: Probably not to the extent that you
16 would like from the way you have addressed the question. I
17 will be happy to set something up in the future to provide
18 more details in that area. Susan will discuss a little bit
19 on the 180(C) related activities, but as far as the
20 specifics of how we would respond to various things, I don't
21 think we will get into that kind of detail today.

22 DR. PRICE: Okay.

23 MR. CARLSON: Thank you.

24 I will be happy to introduce the next speaker, who

1 is Bill Lake. He works in the transportation branch. He is
2 here to talk to us about the cask system development program
3 activities.

4 MR. LAKE: As Jim has said, I am going to speak
5 about the cask system development program. I would like to
6 start by just giving you a little bit of the philosophy of
7 this development activity. First of all, all of our casks
8 will be NRC certified, and along with that comes the fact
9 that they will be designed to the current NRC standards and
10 practices. We have extensive use of engineering tests in
11 developing data on materials' properties, particular
12 components; for example, the impact limiters will undergo
13 extensive testing. These are things that generally are
14 needed for design practice.

15 Finally, with the designs themselves, safety will
16 be demonstrated primarily through analysis. But in the very
17 end, we will be doing verification tests and each of the
18 casks will undergo scale model testing for structural
19 concerns. The GA cask, which was the truck cask, will be
20 using a half-scale model; the larger rail/barge casks will
21 actually be using a quarter-scale model.

22 Finally, what we have recognized is that there are
23 a number of broad technical issues that affect more than one
24 cask, and in general might affect any cask that we might

1 develop under the program. Those recall our technical
2 issues. We have a program on this technology development
3 performed mainly out of Sandia National Labs. I will be
4 talking about a few of the activities certainly there.

5 (New viewgraph)

6 I would like to give an update on the cask program
7 right now. We have got four cask contractors in place. Two
8 of them are being fully funded. One is the General Atomics
9 legal-weight truck casks, and the second was the Babcock &
10 Wilcox, which is actually rail/barge; it is not a
11 trail/barge. We are not planning any off-road activities.

12 (Laughter)

13 We also have two partially funded contracts. One
14 is a legal-weight truck, and that is being developed by
15 Westinghouse. The other is a rail/barge being developed by
16 Nuclear Insurance Corporation. These two casks were
17 actually looking at particular technical issues that we
18 identified following preliminary design that we felt needed
19 a little bit of additional work before we proceeded with the
20 casks. I will explain those a little bit later.

21 Jim mentioned that these new casks have much
22 higher capacities. As a matter of fact, the current casks
23 that are proved have capacities -- for instance, the truck
24 casks, over-weight trucks can carry one PWR or two BWR

1 assemblies. The GA-4 is our PWR truck cask, and that
2 carries four. So it is only a factor of four and costed
3 (sic) nine carriers, so nine fuel assemblies. We have got
4 similar capacity improvements on the BR-100, which is being
5 developed by Babcock & Wilcox. Why do we get these improved
6 capacities? Well, first and foremost is the cooling time.

7 (New viewgraph)

8 Current generation casks were developed for a
9 reprocessing scenario. And there the plan was that fuel
10 would be shipped after something like 150 days cooling.
11 Now, 150-day cooled fuel -- for example, PWR assembly --
12 puts out about 11 kilowatts per assembly. The 10-year road,
13 which is our fuel optimization plan, is about 600 watts. So
14 not only do you have this drastic reduction in heat, but
15 also the gamma radiation, which requires very heavy
16 shielding. So that is a primary factor that comes into the
17 improved capacities. Of course, both casks benefit from
18 that.

19 The second activity that we are pursuing is the
20 burn-up credit activity. Both GA and B&W are using burn-up
21 credit. They are not using full burn-up credit -- and I
22 will describe that a little bit later -- but they are using
23 some burn-up credit that is available to them. They are
24 only using it for PWR assemblies and only kind of at the

1 high end of enrichments. Basically what it does is allow
2 you to move the fuel closer together, which keeps the outer
3 cask body smaller, and therefore, the weight goes down.

4 The square cross section is something being used
5 by GA. Since the fuel assembly is a square, by following
6 very closely to the configuration, you save another little
7 bit of weight. The depleted uranium gamma shielding for GA
8 -- the two most popular gamma shielding materials are lead
9 and depleted uranium. Basically the higher density the
10 material, the more efficient it is as gamma shielding. In
11 the truck cask you get a very significant benefit from going
12 to the more expensive but more efficient depleted uranium.

13 Another item that GA is using is the separate cask
14 bodies for PWR and BWR assemblies. Basically the PWR needs
15 slightly thicker gamma shielding, but they are generally
16 shorter fuel assemblies. The BWR is longer, but needs less
17 shielding. If you have one cask, then probably both of them
18 would be shipped PWR. If you have a longer cask than you
19 need, if you ship BWR, you have more shielding than you
20 need. So they get quite a bit of efficiency out of that.

21 Then finally, GA has developed aluminum honeycomb
22 impact limiters, which is a very efficient system, high
23 performance, low weight.

24 (New viewgraph)

1 I have probably covered some of these things
2 already, but I will go over it again for the GA legal-weight
3 truck cask. The GA-4 has a maximum capacity of four PWR
4 assemblies. The separate GA cask, the GA-9, has a maximum
5 capacity of nine BWRs. Both of these casks, again, have a
6 square cross-section and they both use XM-19, which is a
7 high strength stainless steel, for the structure material.
8 Both use depleted uranium gamma shield. Both of them also
9 -- and actually all of our casks use solid neutron shields.
10 This one uses a solid borated polymer, and the boron, of
11 course, absorbs a little bit more neutrons.

12 The aluminum honeycomb impact limiter.

13 The fuel support structure -- and I will show you
14 a cross section later -- is basically for the PWRs, a
15 cruciform. For the BWR it is a crate arrangement and that
16 holds the fuel in place during transport. Those are
17 constructed of stainless steel and they include boron
18 carbide, which is a neutron absorber for criticality
19 control.

20 The GA-4, of course, is a PWR cask and that uses
21 burn-up credit.

22 (New viewgraph)

23 Here is a picture of the GA-4. You can probably
24 see as well, maybe better than I can, but pick out where the

1 neutron shield is. That is the outboard section. Inside of
2 that is a stainless steel body and that is the main
3 containment system. Going further inboard, depleted
4 uranium. Then you have your four assemblies, which are in a
5 square configuration.

6 I know you are interested in seals. I will just
7 tell you that the seal for this is an EPDM, which is an
8 ethylene polypropylene polymer seal material. Actually, we
9 selected, based on some of the preliminary Sandia tests, the
10 cask contractor which we got through the cask, to
11 demonstrate the adequacy of that seal under the NRC review
12 process.

13 (New viewgraph)

14 Of course the only difference between the GA, or
15 the obvious difference you can see here, is that you have
16 got nine assemblies instead of four.

17 (New viewgraph)

18 I think this is probably easier to see the cross
19 sections. On the left, of course, is the PWR casks. one of
20 the things, incidently -- just briefly look at this.
21 Another help on the weight on these two casks -- generally
22 the containment vessel is the most inboard piece of steel.
23 Because of square corners on this, it was decided to move it
24 from the outside to eliminate the stress concentrations.

1 Steel gives some gamma shielding, but it is not as efficient
2 as depleted uranium. So actually, the added benefit of
3 moving that containment vessel outboard is you move the
4 depleted uranium further in and you really increase the
5 efficiency, probably marginally, but it does increase the
6 efficiency. You can't see the boron carbide rods, but
7 actually they come in axially through a series of drilled
8 holes.

9 (New viewgraph)

10 The milestones: I have got milestones actually
11 for both casks. General Atomics, the preliminary design was
12 completed in January of '90 and a report issued in April
13 1990. Actually, a number of people have already submitted
14 comments on that, which we have responded to most of them.
15 The final design report is scheduled to be released in the
16 first of '92. The scale model, which is a half-scale for
17 GA, is under fabrication. That will be completed in August
18 of '92, and the tests will be completed in October '92.

19 Now, I just thought I might add here, one scale
20 model is going to be tested, and that is the PWR, which is
21 the more constraining of the two from a structural
22 standpoint. The designer will then show that the
23 performance of the PWR bounds the performance of the BWR.
24 The SAR, or SARP, or Safety Analysis Report, and the

1 application to the NRC is scheduled for May of '92 for this
2 cask. We are expecting about a two-year review cycle.

3 (New viewgraph)

4 For Babcock & Wilcox, again that doesn't have the
5 capacity in its title so I will have to tell you what it is
6 here. It is 21 PWRs or 52 BWR assemblies. It is a circular
7 cross section. It uses lead for gamma shielding, which
8 actually is easier to work with. It is less expensive than
9 depleted uranium. Actually, when you get to the very large
10 cask, the rail cask, there is a lot of self-shielding. So
11 the benefit of DU isn't as much as it is on truck casks.

12 This uses a borated concrete neutron shield which
13 also acts as a thermal switch. We will going into that in a
14 little more detail later. The cask body is, again, XM-19
15 stainless steel. The fuel basket is a combination of
16 stainless steel, copper and boral. The stainless steel, of
17 course, is for the strength, the structure of the material.

18 Copper is used to enhance the heat dissipation, to pull the
19 heat out of the central portion. Boral is a boron aluminum
20 composite. That is in their preliminary for the boron which
21 would be neutron causing. The BR-100 uses a balsa wood
22 impact limiter which is covered with a thin stainless steel
23 shell. That uses burn-up credit for the PWR.

24 (New viewgraph)

1 Again, this is an artist's picture of the cask.
2 It is a little hard to see this, but I will just let you
3 look at it for a few minutes and just point out again that
4 the sealing in this particular cask is going to be a silicon
5 material, and that also has been tested under our Sandia
6 program. The results of the Sandia program has been the
7 basis for selection of that material. Again, the contractor
8 will have to do some further tests that would be
9 particularly geared to his cask.

10 (New viewgraph)

11 This just shows a picture of the basket
12 configurations. Again, this is one single cask body with
13 removable, interchangeable baskets. You see the PWR on the
14 left is the 21 assemblies, and 52 BWRs on the right.

15 (New viewgraph)

16 This is a little cut or section of the cask wall,
17 the innermost, the inner container. Again, this is
18 conventional; it is the inboard steel structure. There is a
19 one-inch XM-19 steel that is surrounded by two
20 seven-eighth-inch thick lead gamma shieldings. That is
21 followed by the concrete neutron and thermal shield. That
22 is followed by this one-and-three-quarters thick stainless
23 steel outerlay.

24 Now, the ribs, or the copper fins, are added in

1 the concrete section for heat transfer. Basically they are
2 fins. If you look at the fins that are attached to the
3 lead, their function is to draw the heat out of the lead
4 system, the heat from the spent fuel. If you look at the
5 path, then, across to the adjacent freestanding copper bar,
6 that is a rather short heat transfer path. That also acts
7 as a fin in carrying it up and out of the system.

8 In a fire accident the fusible plug would melt out
9 and the heat from the fire as it transferred into the system
10 would actually cause removal of water vapor from the
11 concrete. That would draw some of that heat out and allow
12 it to escape through the fusible plug. In addition, when
13 you dry out the concrete, it has a fairly low thermal
14 diffusivity, that is the combination of the conductivity,
15 specific heat and the density. Actually, it responds very
16 slowly to a change in temperature. That protects the inner
17 lead shield from a fire accident.

18 (New viewgraph)

19 The milestones for the B&W cask: The preliminary
20 design report was issued in February 1990. The final report
21 is scheduled for February of '92. The scale model will be
22 completed in December '91 for that cask, and the
23 verification tests in March of '92. B&W plans to submit
24 their application to the NRC in August of '92. They are

1 anticipating a more accelerated review in the NRC.

2 DR. VERINK: Before they submit it --

3 MR. LAKE: Excuse me, '94.

4 DR. VERINK: That would be very fast.

5 MR. LAKE: Very accelerated, but they also have
6 the trail system.

7 (Laughter)

8 (New viewgraph)

9 MR. LAKE: I am going to speak very briefly about
10 the two partially funded contractors. Again, what we found
11 with the two, both Westinghouse and NAC, each of them had a
12 particular feature that was somewhat innovative, and at
13 least unfamiliar, not only to the industry but to the NRC.
14 We felt that these particular design features needed a
15 little more work before we proceeded ahead with the cask
16 designs.

17 In the case of Westinghouse, they have decided to
18 use a titanium, grade 9 titanium, for the structural
19 material. It has a good strength to weight ratio, much
20 better than steel, and it allowed them to increase from a
21 two-five capacity to a three-seven. So they decided to go
22 along with that. Unfortunately, the NRC is used to
23 primarily austenitic stainless steels for cask systems,
24 although they have approved ferritic steels. This

1 particular material, of course, had to be demonstrated to
2 the NRC's satisfaction in terms of its fracture mechanics.
3 With no prior history, what the contractor decided to do was
4 to go through ASME code process. They now have a code case
5 -- I believe it is N-492 -- which accepts this particular
6 material for the nuclear components, not only casks but any
7 nuclear component.

8 The next process, of course, is to go through NRC
9 approval. They are now in the process of presenting the
10 code case along with the materials data that they have
11 developed for that code case to the NRC.

12 NAC has proposed an innovative wedge-loc closure
13 design. Rather than the conventional bolted flange closure
14 system they have developed a wedge-loc closure, which is a
15 quick actuating -- it is actually hydraulic actuated closure
16 system which cuts down on work of exposure. Instead of
17 taking an hour or two to close up a large cask lid, the
18 contractor indicates that they estimate about 15 minutes for
19 that same operation. But again, this is something that the
20 NRC is unfamiliar with. One of the things that we had NAC
21 do is build a plastic model of the lid just to show how it
22 operates because that is the first step. The next step, of
23 course, would be to show that under both normal and accident
24 transport conditions, this type of lid behaves well enough

1 to be approved.

2 (New viewgraph)

3 I would like to talk a little bit about the
4 technical issue resolution. Two of these topics Dr. Sanders
5 will talk about in much more detail. I will be talking very
6 briefly about burn-up credit, source term evaluation,
7 closure seal performance tests, and weeping and surface
8 contamination. And, actually, Dr. Sanders will be talking
9 about the closure seals but also about the source term,
10 which is an integral part of containment.

11 (New viewgraph)

12 I think Jim already mentioned that basically
13 burn-up credit is accounted for reduced reactivity of spent
14 fuel. Two things happen to this spent fuel. One, net
15 fissile content goes down so it makes it less reactive; in
16 addition, fission products build up which tend to absorb
17 neutrons. So these act as poisons. You might call them
18 internal poisons as opposed to the external poisons which we
19 introduce in the basket to withdraw neutrons.

20 First of all, it reduces the complexity of
21 baskets. Many of the current large capacity casks, the rail
22 casks, will have something called flux traps, which are
23 basically spaces, air spaces, which in water flooded
24 conditions would become water spaces. We don't need those

1 with burn-up credit. If we would take full burn-up credit,
2 we could probably eliminate a lot of the external causes as
3 well.

4 What does it do? As we have said before, it
5 increases capacity. It does bring us a few headaches, of
6 course. The NRC and the industry is geared towards a fresh
7 fuel assumption of spent fuel. That is about as reactive as
8 it can get. When you introduce the use of the burn-up
9 credit, you then have to demonstrate that you can calculate
10 and accurately predict the performance of this fuel in these
11 conditions. We have also had to gather, actually assay in
12 spent fuel to develop what the inventories of fission
13 products and things of that sort, fissile material from
14 spent fuel verses new fuel, which we know how it comes out
15 of the manufacturer.

16 We are not taking credit for all of the fission
17 products; they add up to about 240. We have identified the
18 top eight, or top ten, if you will, and we are concentrating
19 on those, which is an effective way to go. In addition,
20 right now when you load up a cask for criticality control,
21 you have to know the initial enrichment. We are now
22 introducing a new parameter that you need to know that it is
23 burned up -- that you need to know what the burn-up is. We
24 are going to verify that initially with some sort of direct

1 measurement.

2 (New viewgraph)

3 The source term evaluation basically is trying to
4 develop a consistent and technically defensible approach to
5 demonstrate containment adequacy. The source term approach
6 has been used by the NRC, and in most of the casks that are
7 currently approved, they have used the source term approach.

8 However, it has been done on a case-by-case basis rather
9 than the more consistent basis that we are trying to
10 develop. Tom will go into some more detail.

11 First of all, we have identified the contributors
12 to source term, which I will let Tom tell you in the
13 interest of time. We characterize those contributors the
14 "source term contributors."

15 Developing release models.

16 Finally we will have to do some verification tests
17 to show that these models do adequately predict
18 containments.

19 (New viewgraph)

20 The closure seal performance: First of all, we
21 are trying to determine the seal behavior and the failure
22 mechanisms. Once you know that, you can choose a seal that
23 will behave well with your cask. Each cask has its own
24 performance characteristics basically at the high end on,

1 say, impact limiters, how far the steel is buried in the
2 system, and so on. The objective of the Sandia work is to
3 identify a group of seal materials that can be used. The
4 design will then be selected from those. The additional
5 things that the program is trying to do is establish some
6 criteria and seal design practices. Finally, it will
7 develop some equipment that we can use to verify the
8 performance of seal materials.

9 (New viewgraph)

10 The weeping and surface contamination, Jim had
11 alluded to a little bit before. Basically, the problem is a
12 surface phenomenon and it is observed when a cask leaves a
13 utility, within regulatory limits, only to arrive at its
14 destination having some removable surface contamination.
15 This surface contamination, of course, is picked up in
16 pools, which are usually pretty clean. But even the minute
17 particles can tend to be absorbed into the cask surface.

18 The intent of the program at Sandia is first of
19 all to investigate the root cause of weeping, what the
20 fissile phenomenon are in the absorption process. Based on
21 that, we feel that we can develop some sort of design
22 approaches to avoid the problem. And in addition to that,
23 if the problem does occur, we want to be able to develop
24 some ways to correct it, some cleaning fluids. And as Dr.

1 Price mentioned earlier, ion exchange seems to be the
2 phenomenon that Sandia has identified. That means we just
3 need to find something that can reverse the process.

4 That is all I have. Are there any other
5 questions?

6 DR. VERINK: I was interested in your mention of
7 the solid borated polymer in the case of GA design and the
8 mention of the borated cement in the B&W design. Can you
9 give any kind of a comparison between the structural
10 properties of those and their longevity in terms of
11 stability, time and temperature?

12 MR. LAKE: I will try to give a thumbnail sketch.

13 It is a good question. Actually the cask contractors are
14 looking into it. The polymer, of course, has some very
15 narrow range of temperatures that it will perform in. At
16 the high temperature, of course, you have to be very
17 selective. The neutron shielding does not need to survive
18 an accident condition. That is the primary contributor to
19 the dose rate as gamma radiation. So the casks are designed
20 so that the neutron shield can be lost.

21 What we really need performance on is at the
22 normal condition A, and the polymer actually behaved rather
23 well. Again, if the structure breaks under accident
24 conditions, you can get some streaming through that, but

1 again, you don't need it.

2 DR. VERINK: Is the polymer more malleable than
3 you think of concrete being?

4 MR. LAKE: It is a fairly rigid polymer, but it is
5 designed to withstand normal conditions of transport.

6 DR. VERINK: And to absorb some load mechanically
7 by deflection?

8 MR. LAKE: Yes. Well, it is more or less
9 freestanding. In the analysis, the safety analysis, it is
10 actually not able to take any load other than its own body
11 weight.

12 DR. VERINK: I guess what I am exploring is what
13 does solid mean? Does it mean that you can make a dent in
14 it?

15 MR. LAKE: Oh, no. It is kind of like a thick --
16 it is as hard as this table top.

17 DR. VERINK: But not as hard as concrete?

18 MR. LAKE: No, definitely not as hard as concrete.

19 MR. KOUTS: Dr. Verink, we made that distinction
20 because casks in the past have had liquid neutron shields,
21 basically water. What we are saying is it is solid as
22 opposed to the liquid neutron shields. That is what we are
23 referring to there.

24 DR. VERINK: Okay. Is there a particular polymer

1 that is currently the leader of the pack?

2 MR. LAKE: Actually, they are looking in to two,
3 and polypropylene and polyurethane. They come in all
4 different kinds of combinations. Does that answer the
5 question on the concrete as well?

6 DR. VERINK: The concrete has just got some
7 additional boron species mixed in it? Is it just a typical
8 concrete material?

9 MR. LAKE: No. I think it is an aluminum based
10 concrete. Actually, it is very free flowing. It is much
11 different than the parking (sic) concrete. This particular
12 design concept has been used by Row Battelle (sic) in
13 France.

14 DR. VERINK: Is this a poured in solid, or is it
15 granular solid, or is it a liquid?

16 MR. LAKE: It is poured in as a mixed liquid and
17 then it sets.

18 We are not to be taking questions from the
19 audience at this point.

20 DR. PRICE: We will have an opportunity later,
21 perhaps.

22 MR. LAKE: Thank you.

23 DR. PRICE: Let me ask a couple of questions.

24 MR. LAKE: Sorry.

1 DR. PRICE: In your philosophy of your approach,
2 you indicated reliance upon analysis and scale testing, and
3 I am sure you are aware that there is a lot of skepticism
4 out there about that reliance on analysis in scale testing.

5 At some point, I guess it would be good for us to hear --
6 it may not be appropriate at this time -- a carefully
7 thought out defense of the scale testing approach and
8 analysis approach. So kind of just maybe put a flag up
9 where we need to look at this, and perhaps at some point we
10 can get a very carefully delivered examination of that.

11 MR. LAKE: Yes, I think that would be very
12 worthwhile.

13 DR. PRICE: The casks, particularly the rail casks
14 -- do all the casks basically depend upon a breakaway
15 concept in their mounting to the vehicle that is carrying
16 them, so that given an accident condition, they break away
17 from the vehicle rather than stay with the vehicle?

18 MR. LAKE: Yes. Traditionally they are designed
19 that way. For one thing, the NRC rules kind of stop at the
20 tie-down and then DOT rules pick up. As a result, the basic
21 thing with tie-downs on the NRC requirements is that the
22 tie-down should be the weak link in a cask, such that if an
23 accident occurs, the tie-down should fail rather than
24 somehow damage the nuclear safety components.

1 For instance, it probably really isn't a problem
2 with the spent fuel casks, but if you had tie-downs
3 attached, let's say, to a small container and you tear the
4 entire shielding off as a result of an accident, that is
5 what you want to guard against. That is the way those
6 regulations are set up. The 10-5-2, or the tie-down
7 requirements, are the minimum design requirements.

8 DR. PRICE: Is one of the reasons behind this
9 really to minimize the g-loading overall by just turning
10 this thing loose?

11 MR. LAKE: Oh, no. If the tie-downs were stronger
12 and the g-loads were higher, you would, of course, have a
13 design such that the tie-down did not fail the system under
14 those g's.

15 DR. PRICE: What you meant by minimizing the
16 g-loading, the g-loading in the cask itself overall by
17 allowing it to break away and absorb the energy rather than
18 have some large peak duration because it is still attached
19 to the vehicle?

20 MR. LAKE: No, I don't think so. It is more
21 administrative, as I said, because of the jurisdictions.

22 DR. PRICE: Are you familiar with the shipment of
23 the submarine parts in which the tie-down was actually
24 integral to the vehicle that was being carried, and I guess

1 NRC approved it? Do you know what the reasoning behind that
2 was versus what you just portrayed?

3 MR. LAKE: That was probably the designer's
4 choice. These are the naval reactor shipments that I assume
5 you are talking about. Yes. Again, the naval reactor
6 shipments, I believe, were on specialized conveyance,
7 specialized trailers and rail cars. They have chosen to
8 include the rail cars as part of the safety system. That is
9 my guess.

10 DR. PRICE: The reason I am bringing this up is we
11 heard testimony from The Association of American Railroads
12 in which I thought they were implying they preferred that
13 kind of a tie-down concept, going back to the old issue of
14 grappling, which I know you have grappled with over quite
15 some time. I was just trying to get a better handle on the
16 two different designs and perhaps why they exist. In one
17 case the railroads seemed to like the idea they could
18 grapple with a car and cask, they think it was easier than
19 just grappling with the cask.

20 MR. LAKE: The difficulty of including the rail
21 system, the rail car or the trailer, as part of the safety
22 system is then you have to demonstrate that it is, in fact,
23 with the system. That is why it is traditionally not done
24 by the cask designers.

1 MR. KOUTS: Dr. Price, you put us in a position
2 where we are actually speaking for the NRC, but I think what
3 Bill is quoting, I certainly feel comfortable with. He has
4 been with a program about four years and he has 15 years of
5 experience at the NRC in cask certification, cask design
6 certification. So although Bill doesn't speak for the NRC,
7 he has a pretty good idea of how they view things.

8 DR. PRICE: Another issue that the Association of
9 American Railroads brought up to us in testimony, just as a
10 point of information to see if there is any comment -- we
11 have asked for comment on this from DOT -- and that had to
12 do with the cask design coupled with the rail car in which
13 there was a concern about the overall length of the car and
14 its driving tendency for the car to hunt and become less
15 stable than, I guess, they think they would like it to be,
16 and indicated that almost any length of car, either shorter
17 or longer, would be better than the length of car that seems
18 to be in use. Any reaction to that?

19 MR. LAKE: Yes. I think it is a good point. We
20 are following it; we are aware of the comment. Basically
21 the cask contractor has chosen a subcontractor to design the
22 rail car. The rail car is being designed by what, I
23 presume, is a competent rail designer. And finally, the
24 rail design will go into the American Association of

1 Railroads for approval before it can be used on the rail
2 systems. We are monitoring that design. Although it is a
3 concern and we are watching it, we kind of have to follow
4 the designer's opinion, at this point, and his expertise.

5 DR. PRICE: On your closure seal performance, you
6 mentioned -- I know we are going to hear more about this --
7 verified performance in closure design for the OCRWM casks.

8 And in your comment you talked about verified performance
9 of materials. Is this the materials in the design that you
10 are really trying to establish a means to verify the
11 materials in the design? Because, you know, I see a
12 difference between closure design and verifying materials.
13 So I was a little unclear about what you were representing
14 there.

15 MR. LAKE: Now, the seal program is looking at the
16 seal materials. Then finally, when the designer chooses a
17 seal material based primarily on its thermal performance,
18 that would then be incorporated into the cask design. Then
19 there would be some prototypes, further testing.
20 Ultimately, there is a test on the finished product and
21 every cask that is put into service, you actually have to
22 demonstrate that it meets its containment requirement, which
23 is basically a new cask (sic) of some sort.

24 DR. PRICE: That is all I have.

1 MR. LAKE: Are there other questions?

2 (No response)

3 MR. LAKE: Thank you.

4 DR. PRICE: I believe we are scheduled for a break
5 at this time. We are running about 15 minutes behind. So
6 at this point, let's plan on being back, if it is all right,
7 about 10:45.

8 (Brief recess)

9 DR. PRICE: Let's gather around. Our next speaker
10 is Tom Sanders. The topic is cask seals testing.

11 DR. SANDERS: Thank you, Dr. Price, members of the
12 Board. My name is Tom Sanders. I am with Sandia National
13 Laboratories. We are supporting the OCRWM's program area in
14 technology development, as you heard both Bill Lake and Jim
15 Carlson talk about this morning.

16 One of the areas that you requested in a previous
17 meeting to hear additional information on had to do with
18 cask seals testing. In the interest of kind of tying things
19 together, I would like to approach that issue as a
20 containment issue in general and talk to you a little bit
21 about how both the seal and the fuel form contributed to the
22 cask containment functions.

23 (New viewgraph)

24 Stepping back a little bit, it is important to

1 remember that the transportation regulations address three
2 basic safety functions that a spent fuel cask has to
3 perform. Spent fuel transport casks must provide adequate
4 containment for the radioactive material, and that adequacy
5 is defined by regulations. Spent fuel transport casks must
6 provide assurance of nuclear subcriticality; also that is
7 primarily to ensure that containment function is performed.

8 And the spent fuel transport cask must provide adequate
9 shielding against any radiation being emitted by the content
10 fuel, or the radioactive material shielding cask.

11 (New viewgraph)

12 There are several barriers to the release of
13 radioactive materials from spent fuel cask. You can look at
14 these barriers as a number of resistances in a series,
15 particularly for gaseous radionuclide migration from a
16 source point into a leak site in a cask body or cask seal
17 area.

18 The fuel pellet and fuel rod cladding: Both the
19 pellet, in terms of certain characteristics it has, and the
20 cladding, in terms of certain material properties it has and
21 maintains even after discharge from a reactor, which serve
22 significantly to prevent the potential release of
23 radionuclide materials.

24 Physical and chemical characteristics of the

1 material are working in our favor from the source term
2 perspective. These characteristics include mostly solid
3 forms; mostly fission products are trapped in solid
4 particles. Most of the radioactive gases released, such as
5 krypton, have minimal health/physics affects, and so on.

6 There are also certain characteristics that are
7 apparent. In order for a radionuclide to migrate from a
8 source point from a fuel release, the potential leak site,
9 it must be convected in some fashion and driven by some sort
10 of a force, such as a pressure differential, and be
11 convected by thermal or convectional gas occurrence. During
12 that convectional process you have gravitational settling of
13 larger particles and you have diffusive deposition of
14 smaller particles.

15 The major containment function of the cask itself,
16 being of such a robust body, has to do with the actual
17 seals. There are a number of penetrations of the cask that
18 perform numerous functions: loading the cask, testing the
19 cask, leak testing, draining, and so on, are all
20 accomplished through penetrations that are sealed against
21 the external environment.

22 Then the actual size and nature of any leak paths
23 that haven't formed in a potential pathway has a significant
24 impact on how the radionuclide might leak from an actual

1 cask. That leak path may be very tortuous, it may be a
2 straight shot, it may be a circular dimension, it may be a
3 squared dimension or a hairline sized, or so on.

4 (New viewgraph)

5 For the bulk of my talk I would like to address
6 two elements of containment. I am going to talk a little
7 bit first about the radioactive source term itself, and then
8 the cask containment seals programs that we have going on to
9 establish off-the-self type of seal material.

10 (New viewgraph)

11 Radionuclides in a spent fuel cask originate from
12 three distinct media. First you have activated corrosion
13 and free fission products that adhere to the surface of
14 spent fuel rods. This type of product in the past has taken
15 on the acronym known as CRUD. To be honest, I don't
16 remember what that acronym means. It has been around about
17 30 years. I think it has something to do with corrosive
18 reactor deposits.

19 DR. PRICE: Seems appropriate.

20 DR. SANDERS: As the gas is used and between
21 maintenance services, you have a certain amount of this CRUD
22 that will become free from spent fuel rod surfaces and build
23 up in a cask over time. This is called residual
24 contamination, and it provides a potential source term both

1 for spent fuel shipment as well as an AP cask shipment on
2 the return trip.

3 Finally, the major potential source of
4 radionuclides in a cask is spent fuel itself.

5 (New viewgraph)

6 The ANSI N14.5 standard provides standardized
7 methods for demonstrating that spent fuel packages -- in
8 fact, all radioactive material packages -- comply with
9 regulatory containment requirements of 10 CFR 71. This is
10 basically a simple algebraic relationship between a maximum
11 permissible leak rate, which must be designed and
12 demonstrated in a cask, as the function of the released
13 limits to both normal and accident conditions released in
14 the transport. These released limits are based on no
15 particular fuel material. The quantity A-2 is the function
16 of all materials that are in the mixture in the fuel.

17 This maximum permissible leak rate for normal
18 conditions, for example, is -- this is the release limit
19 which happens to be A-2 times ten to the minus six per hour
20 over a concentration that is available for release.

21 From a source term approach, what you are looking
22 for: What is that concentration that is available for
23 release? Accident conditions, regulatory requirement is A-2
24 per week release limits. Then again, concentrations of the

1 activities per unit volume of the cask medium that could
2 escape, if you have nothing there that is available to
3 escape, or very limited quantities that are available to
4 escape, then the containment requirements are very
5 different.

6 (New viewgraph)

7 Our source term program is basically trying to
8 lump these into a functional relationship and to determine
9
10 this concentration associated with potential CRUD, residual
11 contamination of fuel components, and spent fuel. These are
12 lumped together. And while the relationship looks fairly
13 simple in this simple algebraic format, it is actually a
14 very complex function of particle transport physics, leak
15 geometry, failure modes, potential for plugging, and so on.

16 (New viewgraph)

17 This chart is a little bit of a description of how
18 the program is going to go. I am not going to talk about it
19 too much because Bill covered it earlier. Basically, we
20 have three phases of the program. The end goal is to have a
21 methodology, evaluated methodology, in terms of an
22 acceptable calculational tool that has been benchmarked and
23 validated appropriately to be able to take the conditions of
24 transport experienced by casks in terms of either impact or

1 thermal events, translate those conditions into initial
2 conditions on the actual spent fuel content, evaluate the
3 response of those spent fuel contents to, for example, side
4 drop or end drop: How does the fuel behave? How do
5 individual rods behave? Do they collapse upon themselves?
6 Where are the likely failure points? And how does it fail?
7 Is it pressure driven release, and so on? And given a
8 point of failure, based on experimental data, how much
9 actual data would that particular matter release from that
10 fuel? This then becomes a source term that can be migrated,
11 or transported, from that fuel breakage site to a
12 hypothetical lead site in the cask.

13 When all that is laid out on this particular
14 diagram, we have basically completed Phase I. We do have
15 extensive analytical techniques for CRUD, residual
16 contamination, and spent fuel. We are now in the process of
17 validating those techniques. You have two part, basically:
18 an analytical part and a constitutive relationship.
19 Constitutive relationships are being expanded using the
20 material properties of the fuel that can be convected out of
21 the transport. And then you have got the analytical
22 component which describes the physical behavior and how it,
23 the fuel, responds to those kinds of events.

24 We are basically at the beginning of Phase II. We

1 have the detailed code developed. We are now in the
2 validation phase.

3 (New viewgraph)

4 All the work to date has been reported in very
5 extensive volumes. We have an "Estimate of CRUD
6 Contribution", which was the first feasibility analysis. In
7 this kind of approach we have documented, validated and so
8 on, what has evolved. That was published in January of this
9 year. I think you guys should have a copy of that.

10 We have two more: "The Spent Fuel Contribution",
11 which is a multi-volume set, as well as "A Methodology for
12 Estimating the Residual Contamination Contribution to the
13 Source-Term in a Spent Fuel Transport Cask," which has
14 completed the review phase and are now in publication phase
15 and should be available shortly. We are basically cutting a
16 lot of the material out of those and coming up with an
17 executive summary report. Hopefully in a few pages you
18 could march through the basic process. That should be done
19 by the end of the calendar year.

20 (New viewgraph)

21 Basically there were several conclusions that
22 could be made from this preliminary model development. What
23 we did was exercise these models using data that was
24 available in the open literature at this point in time

1 regarding -- thermal burst experiments, for example, gave us
2 an indication of how much activity is released if a fuel rod
3 actually bursts. We have some structural data, and we have
4 lots of fuel characteristic data that we can bring in to
5 some preliminary analysis.

6 Also we did an extensive analysis of how much CRUD
7 -- I mean, CRUD is a problem -- or is a potential source of
8 reducing significantly in the future. A lot of utilities
9 have gone to certain practices with respect to chemistry,
10 and so on, that limit the amount of CRUD built up on spent
11 fuel. CRUD builds up on spent fuel and affects end-reactor
12 operations. Anything that affects end-reactor operations is
13 a high priority item from the utility perspective because
14 they want to be able to extend the life of that fuel.

15 At any rate, the CRUD contribution for normal
16 conditions is the dominant component of the source term.
17 Spent fuel is really quite tough. It does not break in
18 normal conditions of transport and dynamic thermal load
19 encounters. However, CRUD spallation does occur,
20 particularly off the BWR fuel rods. CRUD then become
21 available as a particulate matter that could hypothetically
22 find its way to a release point.

23 Residual contamination contribution is developed
24 as several magnitudes lower than what one would expect from

1 a worst case CRUD component. That was based on data from
2 numerous shipping containments where actual measurements of
3 the activity, again, picked up by GM detectors along the
4 plane of the cask that viewed the --

5 In terms of the fuel rod, fuel is quite tough. We
6 calculate failure frequencies that are less than one rod per
7 rail cask accident event. For example, cases were evaluated
8 and that has led us to the conclusion that the typical
9 assumption of massive fuel rod failure, under the regulatory
10 conditions, are unrealistically very conservative. That
11 doesn't mean we will change that, per se, down to one rod
12 particularly, but certainly 100 percent of the rods soon to
13 be built on transport activities will be very specific.

14 Fuel fines, rather than gaseous or volatile
15 species, dominate the potentially releasable source term.
16 They dominate the activity that could be available and the
17 potential health aspects of that. At any rate, though,
18 experiments will be required to obtain this data, verify
19 these methods, preliminary conclusions and end results.

20 (New viewgraph)

21 That pretty much gives you a capsulation of one
22 barrier of spent fuel releases, that characteristics of the
23 fuel itself, and the sources that are available on that
24 fuel.

1 Next I would like to talk about the actual cask
2 components that governs, and is typically believed to be not
3 maybe the weak link in the containment system, if you will,
4 and that is the seals.

5 (New viewgraph)

6 This viewgraph shows a few photographs I put
7 together of the seal technology program. On the upper left
8 is basically a seals laboratory we have in operation. Major
9 components are extensive computational capability,
10 measurement capabilities using helium mass spectrometers,
11 and a computation routine that takes that data and allows us
12 to do long time types of analysis.

13 The center picture shows a typical model of a
14 face-type seal. That is one you would find in most closure
15 designs. Seal behavior as a whole is not a scaleable
16 quantity, as you talk about. However, the material
17 properties are how a seal responds to environmental
18 conditions in terms of thermal and pressure-type conditions
19 and are more typically driven by material properties, and
20 that is what we are after here.

21 On the right you see an environmental chamber. In
22 these environmental chambers we are able to take these seals
23 which are set up in these configurations. The little area
24 between the two seals is evacuated to a level of ten to the

1 minus seven -- or the leak rate of ten to the minus eleven
2 CCs per second. Then they are placed in these environmental
3 chambers and you go through either heating or cooling and
4 evaluate any change that you see in that seal behavior
5 during that period of time. Then they are taken apart, seal
6 material properties are evaluated, and so on.

7 (New viewgraph)

8 The primary objectives are to characterize
9 currently in-use seal materials, examine new materials and
10 types of seals, investigate alternate tracer gases and leak
11 detection methods. One of the problems of measuring very
12 small leak rates is typically it requires a helium mass spec
13 type of measurement. A lot of your elastomeric seals absorb
14 heat. You end up with convection plus an infusion as a
15 potential leak drive. That infusion process causes
16 permeation of these seals which gives you an erroneous
17 indication that a leak is there, when it is actually the
18 fusion process is going on.

19 We also want to provide guidance to cask
20 contractors on the best choices for some of their seal
21 material by issuing regular milestone reports, and we hold
22 regular workshops, participant regular workshops.

23 (New viewgraph)

24 Regulation specifies the environments that seals

1 have to survive in. One of those is radiation, normally
2 incident radiation in transport, which is significantly
3 lower than other applications, such as long-term storage
4 where the radiation incident level on a seal material in a
5 sealed area could be significantly different.

6 We also have the vibration associated with normal
7 transport, shock associated with the accident occurrence,
8 internal and external pressures.

9 Under temperatures: minimums down to -40 degrees
10 Fahrenheit and maximums up to whatever the hypothetical
11 accident is; that is, a 1475 degree fire yields in a
12 particular gas design. Those temperatures can range from 3
13 to 600 degrees Fahrenheit. Also maximum normal operation.

14 (New viewgraph)

15 Gasket materials used are typically either
16 elastomer and metallic, depending upon the particular
17 application. Metallics are generally used more in a storage
18 type application, where elastomers are used more in
19 transport type applications. Elastomers used include butyl,
20 ethylene propylene -- which was talked about earlier --
21 fluorosilicone, silicone, fluorocarbons, and so on. The
22 metals include inconel, stainless steel and coppers.

23 DR. VERINK: Why don't they make use of soft
24 aluminum?

1 MR. SANDERS: Possibly because of questionable
2 thermal performance. I don't know for certain that is the
3 reason we don't use it, but that is certainly one I would
4 consider.

5 (New viewgraph)

6 Typically seals on the interface between the cask
7 body and closure lid -- an O-ring groove is the type
8 typically used in the closure design. This figure just
9 shows two different ways of creating that group. It is much
10 easier to machine than a rectangular shape, so that is what
11 is used. But there are some dovetail configurations out
12 there.

13 (New viewgraph)

14 The ability of a seal to perform its intended
15 function really depends on the surface of the sealing, or
16 its primarily driven by the surface of the sealing. That
17 surface is affected by roughness, which occurs as a result
18 of machining; roughness spacing; the cycle in roughness,
19 which is called waviness on the surface; and the lay, which
20 is a direction of dominant pattern. If your machining
21 something in a circular fashion, you will have a seal that
22 is parallel to that machining stroke, if you will, and it
23 will be parallel to roughness elements.

24 (New viewgraph)

1 Radiation and elevated temperatures produced by
2 the spent fuel cask contents can result in compression set
3 and elastomer degradation. Compression set is a measure of
4 the ability of the elastomer to recover. If you take a
5 spent fuel cask and then took the lid off and measured the
6 seal, does it have the same circular pattern it had before,
7 or has it been scratched down, or so on. That also affects
8 how the seal will respond as exposure movements occur in
9 transport conditions. These are some of the characteristics
10 of measurement in this program.

11 (New viewgraph)

12 An experimental approach has been basically based
13 on all those kinds of measurements, both environmental -- we
14 are mainly concentrating on the temperature extremes going
15 from -40 to the temperatures in the range of the
16 hypothetical accident conditions, looking at permeation
17 rates, leak tightness capabilities. We are also
18 experimenting with different tracer gases and leak
19 detectors.

20 We get to ten to the minus six, ten to the minus
21 seven CCs per second leak rate measurement range using
22 nitrogen or argon or other traces of gases and alleviate
23 some of these problems that we have. We are also performing
24 materials/chemical evaluations on all these materials.

1 (New viewgraph)

2 This is just a plot of preliminary results of one
3 particular seal material. It shows as the temperature came
4 down, we achieved a several order magnitude -- two orders of
5 magnitude -- increase in the loss of vacuum, basically. Two
6 thing to point out: Number one, we started at a ten to the
7 minus six level and went down to almost -90 degrees
8 Fahrenheit before this particular material lost a little bit
9 of its capability. Even in losing that, it still was
10 maintaining a ten to the minus 4 CCs per second leak rate.

11 (New viewgraph)

12 This is just a small plot that shows the problem
13 we had with helium permeation. It gives erroneous leak
14 indications. This is a long-term experiment where we left
15 helium between two seals and plotted the time and the
16 asymptotic behavior as it defuses through the seal material.

17 That is really all I wanted to show you on this plot. That
18 is one of the primary motivations behind looking at
19 alternate leak issues with seals from tracer gases.

20 (New viewgraph)

21 Some of those tracer gases we are looking at
22 include neon, krypton, argon. Halogens are a possibility,
23 such as fluorine and chlorine. Alternate methods include
24 mass spec detectors tuned to other gases besides helium.

1 One very promising approach is called residual gas
2 analyzing, which actually can be used, or has been used, to
3 look at oxygen diffusion through seal materials. Halogen
4 leak detectors and pressure rise tests using very sensitive
5 pressure gauges are another approach.

6 (New viewgraph)

7 To summarize, tying it together a little bit, the
8 seal technology program is currently working toward
9 mechanical or cask design objective, where source term is
10 more a generic kind of activity that is working toward
11 better understanding of behavior, radionuclides and
12 transport and how they are released, and so on. In the seal
13 technology program we have done substantial experiments on
14 the permeation rate, leak tightness, to characterize
15 currently-used seal materials. It appears that some of the
16 better choices in the future may be some sort of a
17 composite, for example, that would incorporate a metallic as
18 well as an elastomer approach.

19 We have also examined some new seal materials and
20 seal types, and we are investigating alternate tracer gases.

21 The residual gas analyzer approach seems to be the best, at
22 least for a laboratory environment. That is another point
23 that needs to be made here: this is a very elaborate
24 laboratory environment and one would hardly want to do these

1 kinds of tests in an operating mode prior to shipment kinds
2 of activities.

3 Any questions?

4 DR. PRICE: Let me ask you a couple.

5 MR. SANDERS: No problem.

6 DR. PRICE: The thermal burst analysis that you
7 referred to, that was an analytic effort, non-experimental
8 data?

9 MR. SANDERS: No. That was experimental.

10 DR. PRICE: Experimental?

11 MR. SANDERS: It is an effort that Sandia and
12 Battelle performed about six years ago.

13 DR. PRICE: Could you roughly described that?

14 MR. SANDERS: Basically we took radiated fuel rod
15 sections and heated them up in an enclosed oven, if you
16 will, until burst point. I think the burst temperature was
17 quite high, very high. There is a report of that. I can
18 get you a report.

19 DR. PRICE: As you described your seal technology
20 effort at Sandia, you covered the environment, describing
21 the heat and cool, and I think you had an "et cetera" in one
22 of your slides. How completely do you feel your tests at
23 this time are tapping those things which may be
24 environmentally important, including the accident scenario?

1 MR. SANDERS: Well, the first thing we want to do
2 is characterize those things which are stable; in other
3 words, temperature is a simple kind of thing to look at
4 first. And if you had issues associated with temperature,
5 then you would want to get those weeded out first.

6 Right now we are doing that in an environment
7 chamber. One of the "et ceteras" is the radiation
8 environment. We are not looking at that because the
9 calculations are such that the integrated dose of these
10 elastomeric materials we see during transport operation is
11 too low to cause any significant effect. The storage
12 application, that issue would have to be looked at in more
13 depth.

14 In the actual accident environment, then, we are
15 talking about a little bit different kind of experiment
16 because what is going to happen relative to the seal
17 capability to withstand those environments is not scaled; it
18 is not something that is material specific. It is very
19 design specific, if you will. And at the present time
20 itself, from a generic viewpoint related to the source term
21 program, what we look at is the possibility of particular
22 release, plugging and those kinds of things. We don't
23 intend to do anything in the actual --

24 DR. PRICE: Well, the closest that it seems to me

1 that you came to anything with regard to vibration and
2 impact capabilities of material was a set measurement,
3 which, because of the confound recovery from set, doesn't
4 really tap into the effects of a seal given an impact or
5 given a vibration environment. It would seem to me -- also,
6 am I not correct that some of the drop tests have resulted
7 in seal popping?

8 MR. SANDERS: What they call puff release? There
9 have been estimates of puff release occurring, but nobody,
10 to my knowledge, has ever actually been able to measure
11 closure movement during that particular event. Bob Luna has
12 a longer history than I do in that area and may be able to
13 add something to that later.

14 What you have to do is measure puff release,
15 measure actual closure response to the end or the side drop
16 impact, if the response is perpendicular to the bolts or, as
17 a result of the contents, pushing up.

18 DR. PRICE: But don't you feel that the seal
19 material characteristics with regard to vibration and
20 impact, particularly in terms of recovery, is as relevant as
21 temperature and pressure and so forth?

22 DR. SANDERS: Certainly.

23 DR. PRICE: But you are not doing anything in that
24 area; is that correct? Anything in the area of vibration

1 and impact characteristics of the materials.

2 DR. SANDERS: At the present time, we have those
3 included in our plans in the source term. Again, the
4 primary motivation is to look at radionuclide transport to
5 an event, but we are not looking at it through a material
6 perspective. In other words, we are not trying to identify
7 seal width.

8 DR. PRICE: That would be more --

9 DR. SANDERS: It would be more elastic.

10 DR. PRICE: Because in the comparisons of
11 materials -- and I have read some of your articles in the
12 ranking of materials and have been given some designs -- it
13 would seem to me that it is a major component that is not
14 present in looking at seal materials. If you say, for
15 example, it is a composite with metal, maybe if you cranked
16 in that additional factor, you may get a different view.

17 DR. SANDERS: Right. But, again, when you are
18 looking at that kind of behavior there -- the bigger picture
19 is you are trying to maintain containment of particular
20 material. Our goal is to look at puff release in the
21 laboratory, ultimately, of powder type material, and there
22 we will start cranking some of those things in. Our goal
23 for this materials evaluation program is really to look
24 first at those factors which may have a major impact on the

1 seal capabilities, and that is primarily temperature.

2 These seals have to be able to withstand a range
3 from -40 to 400-500 degrees Fahrenheit. That is asking
4 quite a bit. It is something that is relatively new in
5 terms of regulatory involvement. Those are the easier
6 questions to answer. We will get to some of the more
7 difficult ones later.

8 DR. PRICE: And these aren't necessarily mutually
9 exclusive?

10 DR. SANDERS: No.

11 DR. PRICE: That is, vibrations or impact and
12 temperature?

13 DR. SANDERS: Definitely the closure is a part of
14 the system. When you look at the containment system, you
15 have to look at all those things and how they all respond
16 together.

17 DR. VERINK: Seals are never reused, are they?

18 DR. SANDERS: The current practice is to reuse
19 seals.

20 DR. VERINK: What about the deflections that may
21 have been --

22 MR. SANDERS: Well, a seal can be reused as long
23 as it meets the regulatory requirements of prior-to-shipment
24 leak test, which is demonstrating ten to the minus 3 CCs per

1 second leak rate. There is no requirement to replace the
2 seal after one use. In fact, some people may replace them
3 once a year during manual maintenance check.

4 MR. KOUTS: They are inspected as part of the
5 loading procedure, and then the final test in the operator's
6 mind is putting the pressure test on it. If the seal holds
7 the pressure test, then the assumption is that the seal is
8 intact. After visual inspection also, that is confirmatory.

9 But seals are reused. There are maintenance programs where
10 they are replaced, but typically they are not replaced for
11 each shipment.

12 DR. PRICE: In your look at set, did you do
13 anything with regard to recovery?

14 DR. SANDERS: We are looking at set shrinkage and
15 the interdiameter -- by recovery you mean elasticity?

16 DR. PRICE: Yes, how long it takes for it to lose
17 its set.

18 DR. SANDERS: No, only as that is indicated by
19 reduction. And then it would be very difficult, you know.
20 These are environmental chambers at this point in time. It
21 would be very difficult to somehow correlate that loss to an
22 actual slow decrease in set.

23 DR. PRICE: Thank you very much.

24 MR. KOUTS: Thank you. My staff has told me in

1 the past that I have a tendency to look at viewgraphs and
2 speak to them. My feeling is if I stand up at that podium
3 and try to look at the viewgraphs, my cervical structure
4 won't survive the attempt. So if it is acceptable with the
5 Panel that I sit here and go through it to keep my neck
6 intact, I would appreciate it.

7 DR. PRICE: We wouldn't want to put your neck in a
8 sling at all.

9 MR. KOUTS: Thank you. I feel somewhat of a --
10 and I hate to use the word inadequate, but I am going to be
11 talking about two subjects that I am not fully trained in.
12 However, I will be providing some insight. I have lots of
13 backup around me who I hope will not be shy in participating
14 if there are some questions.

15 The request that we had from the Panel was to
16 provide an update on where we are in our human factors
17 activities and also our systems safety activities. In the
18 next half hour I will attempt to do that.

19 (New viewgraph)

20 We all read with interest the first report to
21 Congress of the Nuclear Waste Technical Review Board that
22 was issued in March of 1990. There were a variety of
23 recommendations that were contained in that report. The two
24 that we will be addressing this morning is that the NWTRB

1 identified the need for the human factors engineering
2 program to be established within DOE and recommended such in
3 that first report.

4 Back last October when we met with the Panel, we
5 indicated that we were going to be taking two actions, and
6 those two actions were essentially that we were going to be
7 adding specific human factors engineering capabilities,
8 specific specialists to our fully funded designs efforts,
9 the General Atomics and B&W designs; we also indicated at
10 the time that we would be developing a human factors
11 implementation plan for the transportation program. What I
12 would like to do now is update you on where we are in those
13 two activities.

14 (New viewgraph)

15 In relation to the cask development effort, we
16 essentially asked the specialists that we added to the
17 design teams to review the designs with an eye toward the
18 following subjects. The first is certainly minimization of
19 time that workers would have to spend around the cask. This
20 translates into the turnaround time to the cask inspection
21 time that would be necessary, also in service and
22 maintenance times. Those, in turn, address worker radiation
23 exposure. We are also very interested in any way to
24 eliminate human errors in relation to the handling of the

1 casks, and also human errors in relation to handling the
2 equipment that would be necessary to service the cask.

3 (New viewgraph)

4 I would like to now address some changes that were
5 identified specific to each of the designs for both the GA
6 and the B&W cask. Basically we directed our Idaho office to
7 go to cask contractors and ask them specifically what have
8 these specialists done over the past year in terms of what
9 they provided to the effort -- and, Dr. Price, I will look
10 for your input on this. Basically what we tried to do was
11 enhance the definitions of how robotic, remote, and hands-on
12 activities would be applied to the cask and hopefully
13 segment out very specific procedures as to how each of those
14 basic handling techniques would be applied.

15 We also, as the slide indicates, added match marks
16 basically to the impact limiter so the operator of the cask
17 could simplistically and with visual feedback indicate
18 whether or not the impact limiter was being put on in the
19 right configuration.

20 We also added markings to the cask to indicate its
21 correct orientation to the trailer.

22 (New viewgraph)

23 We also added a variety of detailed labelings to
24 clarify the gas sampling port/leakage check ports so there

1 wouldn't be any confusion on that.

2 I think one of the most significant aspects of
3 what came out of this and what I was very pleased to see is
4 that we had a recommendation to add a positive indication to
5 show whether or not the lifting yoke is fully seated in
6 trunnions. I don't know if you remember previous
7 presentations on the GA cask, but we basically have an ice
8 tong approach in terms of a lift. What we are showing now
9 is that we will have a positive indication, remote positive
10 indication, to the operator to let him know that indeed that
11 yoke is seated properly in the trunnions for lifting and for
12 orientation.

13 We have also moved the bottom drain to the side to
14 eliminate the need for the operator to reach under the cask,
15 making that operation a little bit easier.

16 (New viewgraph)

17 Moving on to the B&W rail cask, I am glad to see
18 that we have moved it off the trail. We have done a lot of
19 work in relation to the filling of drain lines and also the
20 location -- as you see in the next -- of the bottom drain.
21 Again, these were to make an easier operable cask and to, in
22 turn, reduce radiation exposure.

23 Another issue related to the B&W cask had to do
24 with how we are going to align the basket in the cask

1 cavity. We had two alignment dials that we were using for
2 that, and instead we decided, based on recommendations from
3 the human factors specialist, to go with keys and keyways.
4 This essentially avoided a blind fit-up in relation to the
5 alignment of the basket, which we felt was certainly more
6 acceptable.

7 We have also redesigned the basket retaining ring.

8 Basically the retaining ring keeps the basket in place
9 prior to the time you put your closure on. That also is
10 going to reduce radiation exposure, hopefully, to the
11 workers around the cask.

12 (New viewgraph)

13 I have talked a little bit about the last one.
14 Perhaps you might want to provide us some insight on this.
15 We had, up until this point, assumed that we were going to
16 go with left-handed threads. But basically on the advice of
17 our specialist, we have gone back to right-handed threads to
18 avoid the possibility of a mistake. So we do now have
19 conventional right-handed threads so there is no question
20 that he knows how to operate the tool. Also, you would have
21 had to have had a special tool in order to turn the
22 left-handed threads. We have also eliminated that.

23 So what I wanted to do was provide you some
24 feedback, again, as to what these specialists have been

1 doing for the last year.

2 (New viewgraph)

3 In addition to that effort, we have had developed
4 a human factors implementation plan. I have to be very
5 frank with you about this. As Jim indicated with the
6 turnover of our contractor structure to TRW Environmental
7 Systems -- basically turnover occurs at the end of fiscal
8 year, which is basically next week. What we are going to do
9 is take this implementation plan, which I will be getting
10 into in a minute, and turning that over to our TRW
11 contingent, with their capabilities, to give us some insight
12 as to how they view how this plan fits into the overall
13 transportation program.

14 TRW does have human factors expertise in-house.
15 We will be looking for their input to enhance and modify,
16 where appropriate, where we are headed with this program. I
17 think we can generally agree that the purpose of the plan
18 was to establish that human factors engineering would be
19 considered as an integral part of the transportation system,
20 and in it, development and operation. It hopefully provides
21 a structured approach to the use of the human factor
22 engineering concepts, and it is tailored so that hopefully
23 it will meet our performance objectives.

24 It covers all aspects of the life cycle. Cradle

1 to grave is a term that we have become very familiar with.

2 Also, although we are employing it from a top-down
3 approach, we are building into it that there will be a
4 bottoms-up approach in terms of the identification of the
5 need for identifying specific issues that may arise in the
6 human factors area.

7 (New viewgraph)

8

9 We will be using computer models as necessary, or
10 physical mock-ups, to examine the role of humans within the
11 systems design. The plan also identifies each of the
12 activities that will be accomplished, or each of the
13 activities that the human factors specialists will be
14 involved in, in each phase of the systems development.

15 I think an item that I remember from our
16 Albuquerque meeting earlier this year -- I know you have a
17 concern, Dr. Price, about proper data management
18 requirements. We are providing in our plan also for that.

19 (New viewgraph)

20 Where we are headed in the future, I think, is the
21 next question, and certainly in the cask development effort
22 we have underway and any new ones that we may have, we will
23 -- let me talk, first of all, about the ones that we have
24 under development.

1 We were planning on having the human factors
2 engineering capability to be applied throughout the cask
3 design, licensing, and prototype acceptance process. I
4 think it is very important to have those specialists
5 available when we are going through give-and-take with the
6 NRC. We are trying to design changes that might be made due
7 to the certification process, and we certainly need human
8 factors input on that. When we build our prototypes, we
9 will also make sure that those specialists are available and
10 will be involved with the acceptance process for those
11 prototypes.

12 (New viewgraph)

13 In terms of the implementation plan, our near term
14 activities are, as Jim mentioned earlier, to design the
15 transportation system. There is a large effort within the
16 program, not only within the transportation but other areas,
17 as you will hear tomorrow, in terms of identifying functions
18 and allocating those functions. We will make sure that
19 human factors engineering are certainly addressed in those
20 activities, also our operations test planning. As I
21 mentioned earlier, we will be continuing to have human
22 factors input into our ongoing and new cask designs. Also
23 we will be getting an operations assessment and human
24 factors input into any new internodal considerations that we

1 might want to pursue in the future.

2 That is a tour de force, if you will, of our
3 activities in the last year. Again, the next step, I think,
4 is to maintain the specialists with our design efforts
5 through the prototype acceptance, and then basically get the
6 input from TRW on the other areas of the program that we are
7 going to have.

8 DR. PRICE: These recommendations, design
9 recommendations that you ran through a list of -- quite a
10 number of -- it is good to see this practical application of
11 it. Was this a result of a formal task analysis? Or was it
12 a result of a survey by people looking at the designs,
13 potential designs? Or did they do a formal task analysis
14 and include as part of that a document which would identify
15 these things and then the end result was some design
16 changes?

17 MR. KOUTS: My assumption would be that they did a
18 formal task analysis, but I can check on that for you and
19 verify that. The direction that we gave the Idaho office
20 was to add these individuals to the design teams, with the
21 expectation that they would be intimately involved and work
22 with the design process. How the contractors chose to
23 implement that and how the individual on the team decided to
24 exercise his responsibilities, I can't really address, but I

1 can find that out for you.

2 DR. CHU: Chris, related to that question, to what
3 extent does QA play a role? QA also has the objective of
4 reducing the opportunities for error and accidents and so
5 on.

6 MR. KOUTS: That's correct. Prior to the time
7 that our cask contractors initiated the work, they had NRC
8 approve QA plans. And any activities that are undertaken on
9 that design fall under that improved QA process. My
10 perspective, more of QA in this regard, is that QA provides
11 the initial oversight in terms of the computational
12 considerations for the analysis. Also it provides a series
13 of checks all the way along the line that any design change
14 is appropriate. It provides the backup and formal
15 documentation for that.

16 I think QA provides additional oversight, kind of
17 as an overview. This individual, or the individuals that
18 were identified and put on the design teams, focused on
19 their areas. And, of course, any work that they did had to
20 be under the approved QA plan.

21 DR. PRICE: The instance you referred to on
22 right-handed versus left-handed threads calls up the issue
23 of criteria. The criteria, I take it, that was used
24 basically relied upon the expertise of the human factors

1 people involved, but you have not yet developed a criteria
2 document for design related to human factors?

3 MR. SANDERS: That's correct, we haven't. That is
4 one activity that we are addressing in the implementation
5 plan. Had we, I think, had a meeting with the panel, or the
6 report had come out not in March of 1990 but March of 1987,
7 I think we would have had that plan in place prior to the
8 time the design effort was initiated. But what we are
9 trying to do is to make sure that we are covering ourselves
10 with these designs, getting as much input as we can, and
11 then the implementation plan is to provide a structure so
12 those types of considerations are built into the structure
13 in the future.

14 DR. PRICE: You are going on to talk about systems
15 safety?

16 MR. KOUTS: If you would like me to, I would be
17 happy to.

18 I would like to welcome to the table, if we could
19 pull his chair up, the consultant that we utilized. This is
20 Ludwig Benner, who has a long list of credentials in the
21 systems safety area. What I am going to be doing is
22 basically updating the Panel on the activities that we
23 undertook in the systems safety area, and if you would like
24 to ask Mr. Benner some questions about his activities and

1 what he found in relation to the transportation program and,
2 indeed, systems safety issues programwide, I think he would
3 be pleased to respond.

4 (New viewgraph)

5 Again, back in the March 1990 report from the
6 Board we had a recommendation that a systems safety program
7 be established within DOE. Again, in the October meeting
8 last year we indicated that we were going to be obtaining
9 the services of a professional systems safety engineer to
10 review the transportation program and to give us basically
11 some insight as to where we might head in this area.

12 Mr. Benner was tasked with designing a
13 transportation systems safety program and an implementation
14 plan for the transportation program. I should mention that
15 we have had several briefings with Mr. Benner. We are all
16 becoming more educated, if you will, in the discipline of
17 systems safety engineering. We are finding it a very
18 interesting area, and we are certainly learning a lot.

19 I also should mention at this point that the
20 contractual relationship we have with Mr. Benner was
21 initiated through our headquarters and the support
22 contractor, Weston, and basically Mr. Benner is a
23 subcontractor to Weston in this area.

24 (New viewgraph)

1 Mr. Benner provided after his review -- and again,
2 his original task was to write a safety plan for the
3 transportation program. But I think, as he certainly
4 preached to us, that we can't do this in a vacuum. Instead
5 of giving us a transportation plan in itself, in a vacuum,
6 what he gave us was essentially three documents. The first
7 was a document that identified and established a systems
8 safety and management engineering task for the overall OCRWM
9 program. Then from that, with that program in place, the
10 transportation system safety plan was actually a patron or
11 customer of the overall program.

12 He did provide us a document which provided us
13 guidance on how to identify hazards and associated risks
14 during the development, operation, and disposal of the
15 transportation system. He also provided us a supplemental
16 technical guidance document that gave us some guidance on
17 how we might implement this in the overall program
18 management in the transportation area.

19 (New viewgraph)

20 The major conclusions of Mr. Benner's report were
21 that systems safety, as I mentioned earlier, certainly is
22 broader than the system transportation program. I think
23 this was recognized in the initial recommendation that the
24 Board gave, and it essentially applies to all program

1 elements.

2 He also believes that it is important to establish
3 a systems safety component office within the overall
4 program. And it will be absolutely necessary to have our
5 contractors, especially our M&O contractor, now that we are
6 transitioning into him, to be heavily involved in the
7 systems safety process.

8 (New viewgraph)

9 The proposed actions in Mr. Benner's report were
10 to establish a systems safety organization within the
11 program and to implement systems safety concepts and
12 practices within the transportation program.

13 I would like to now give you the status of where
14 we are in that regard. Mr. Benner provided a draft report
15 to us, actually to Weston, in June, and then a revised
16 report in, I believe, mid-July. The Department hasn't yet
17 formally received a report from Weston. Weston is
18 essentially reviewing the report and giving us some insight
19 on how we might tailor this entire concept into the
20 hierarchy of systems documents that are now under
21 development with the program.

22 Certainly we need to sit down with Dwight Shelor
23 and work with him very closely on this to make sure that the
24 overall structure is in place and we can begin by

1 implementing where we want to head in the transportation
2 program. Dwight has certainly been aware of this effort. I
3 think he looks forward to the receipt of that report and
4 factoring that into his overall work in the systems area.

5 What I would like to do now is basically we have
6 Mr. Benner here. If you would like to ask him any questions
7 or me any questions in relationship to the contents of the
8 report, he can speak far more authoritatively about it than
9 I. But we would be happy to entertain the questions.

10 DR. PRICE: First of all, you mentioned draft
11 systems safety documents. I wonder if it would be possible
12 for us to have copies of those draft documents?

13 MR. KOUTS: The draft reports?

14 DR. PRICE: Yes. It would be good for us to look
15 over. We would be able to get a firmer handle on what has
16 come forward.

17 This is kind of a funny question because we have
18 treated the human factors and then the systems safety. If
19 you talk to a systems safety person, sometimes human factors
20 is a subset of safety; and if you talk to a human factors
21 person, safety is a subset of human factors.

22 MR. KOUTS: I asked that very question.

23 DR. PRICE: Did you?

24 MR. KOUTS: The systems safety specialists felt

1 human factors was a subset.

2 DR. PRICE: Predictably.

3 I was going to ask if your concept was also, then,
4 that human factor is generalizable to the entire program as
5 well, not just limited to transportation?

6 MR. KOUTS: I certainly think it can be. We have
7 two other facilities and we hope to build MRS repositories.

8 Certainly in the operation of those facilities, I would
9 think that human factors would have to be very carefully
10 addressed and integrated into it. I am sure the other
11 managers of those areas would attest to that. Since we have
12 had the honor to present to this Panel on numerous
13 occasions, and since the focus has been mainly in the
14 transportation area, I think we are a little more ahead of
15 the rest of the program.

16 DR. PRICE: I might ask, Mr. Benner, one of the
17 primary problems I think faced is to be able to encompass
18 the potential accident potentials before they occur, to
19 cover the waterfront as much as is foreseeable, what can be
20 foreseen. Sometimes techniques are applied, such as defense
21 analysis or something. In the documents that you have
22 provided, do you agree how to go about identifying to the
23 extent that it is a reasonably foreseeable accident
24 potential?

1 MR. BENNER: Yes, that was a major task
2 consideration in the design of both the program and the
3 program plan. As a matter of fact, in the draft report that
4 you will be seeing there is a system definition task that
5 addresses that point specifically.

6 DR. PRICE: Do you get into both inductive and
7 deductive approaches, and do you expect those to be laid
8 out?

9 I think one of the overall concerns is that there
10 come in both these areas an adequate background of
11 documentation, documents similar to those Mil Standard 882,
12 or similar to Mil Standard 1372. Not to put these up as the
13 ideals to be followed, but rather that there is a
14 documentation process that needs to be into a system to
15 really get both human factors and systems safety involved.

16 Do you foresee that you're working toward
17 establishing a thorough documentation? By that I mean a
18 thorough set of documents.

19 MR. BENNER: Clearly yes. Those kinds of
20 documents are written into the specific details in all three
21 documents that Chris described to you: the management, the
22 engineering, the planning documents. There is also a
23 provision, for example, for tracking hazards that are
24 identified, to make sure they are resolved. And over the

1 life of the system, the life cycle is an added ingredient to
2 what is presently being done.

3 DR. PRICE: What I hear is tantalizing, and so I
4 have to wait until we see something specifically to look
5 through, because it sounds like the directions we have
6 really been interested in seeing accomplished here.

7 Our next speaker is Susan Smith on institutional
8 activities.

9 I take it, Susan, you do not have the same
10 anatomical problems that Mr. Kouts indicated?

11 MS. SMITH: No. I am far more flexible than Chris
12 is.

13 DR. PRICE: You are not nearly as stiff necked.

14 MR. KOUTS: I will be happy to leave the room.

15 MS. SMITH: First, I would like to introduce
16 myself. I am a recent employee of the Department of Energy.
17 I have been a consultant for several years. I am glad to
18 be here today. One of the key things that Dr. Bartlett has
19 said is that the institutional component of these programs
20 should be more integrated with the technical components. So
21 to be able to give you a summary of the institutional
22 program at the Technical Review Board, I think is qualifying
23 in that area.

24 I would like to go over just briefly some of the

1 components of the institutional program today. We don't
2 have enough time to go through everything that we are
3 working on.

4 (New viewgraph)

5 First of all, as you know, planning for the
6 development of the transportation system requires OCRWM's
7 interaction with many different and diverse organizations.
8 The purpose of the institutional program is to have
9 mechanisms for which we can communicate and share ideas.

10 One of the main goals of the institutional program
11 is to hear from external parties, including technical review
12 boards, peer review boards, things like that. We want to
13 hear their concerns with both the institutional and
14 technical components of the transportation system, and we
15 would like them to provide a mechanism for our staff to hear
16 what the concerns are, and then also to provide mechanisms
17 for us to share our information and where the program is in
18 laymen's terms to the public.

19 (New viewgraph)

20 I particularly like this viewgraph because it
21 shows who I talk to every day.

22 DR. CHU: So that is what the universe is all
23 about.

24 MS. SMITH: Yes.

1 This just gives you a brief idea of who our groups
2 are. I would just like to go over, real quickly, starting
3 with the review bodies. We have the peer review groups,
4 which are more involved with the technical end of the
5 program. Then the Nuclear Waste Technical Review Board. We
6 also have other DOE transportation offices in which we have
7 to coordinate our transportation policies with their
8 transportation policies so that we are uniform in our
9 decisions. We have the other federal agencies. We have the
10 utilities that we need to hear their input on how we are
11 developing our system. And we have the transportation
12 industry; at the transportation coordination group meetings
13 they are usually there to hear where we are going with the
14 program, to keep abreast if there is an interest in either
15 being a carrier or developing materials that we could use.
16 Then the transportation program, of course, has to integrate
17 with the rest of the OCRWM program.

18 The last area is the national and regional
19 governmental groups, which we talk about a lot and is only
20 one component of it. However, we do have cooperative
21 agreements with these groups.

22 (New viewgraph)

23 When the institutional program was developed in
24 '86 it was concluded that the United States is a big country

1 and we have limited resources and that the best way to be
2 able to tell about our program and to hear the concerns of
3 the United States about our program was to work through
4 regional and national groups until we have a site to go to
5 and then be able to develop quarter jurisdictions. So we
6 have developed these cooperative agreements with national
7 and tribal groups, state tribal groups. The names are the
8 National Conference of State Legislatures, the National
9 Congress of American Indians. The regional groups are the
10 Western Interstate Energy Board, Southern States' Energy
11 Board, and Midwestern Office of the Council of State
12 Governments.

13 (New viewgraph)

14 This next viewgraph just shows a little bit of an
15 idea of who the regional groups cover. The blue area is the
16 only area that we currently do not have a relationship with
17 in a regional capacity; we do have it from a national
18 perspective. We are budgeted to have a northeast group come
19 on Board in FY '92. The reason that Idaho and Oregon are
20 blue is that the Western Interstate Energy Board currently
21 does not include those two states, but we have a lot of
22 interactions with the Western Governors' Association and
23 activities with the National Conference of State
24 Legislatures.

1 (New viewgraph)

2 We also have cooperative agreements with two state
3 technical groups -- which I will discuss in more detail
4 later -- at working with developing uniform safety
5 inspection procedures with us. The two group are Commercial
6 Vehicle Safety Alliance, which are the state inspectors
7 within the country; and the Conference of Radiation Control
8 Program Directors, which are the health physicists and
9 safety officers within the state.

10 (New viewgraph)

11 Some of the mechanisms through which we coordinate
12 are through national, regional, formal, and informal
13 meetings. I believe Dr. Price has been to the
14 transportation coordination group meeting and some other
15 meetings that we have had. The agreement process, which I
16 have already discussed briefly, in the scope of works of
17 these agreements their activities include developing
18 research documents and specific topical papers for the
19 regional groups that are regional specific and for the
20 national groups that are national specific, and tribal for
21 the tribal groups.

22 As you all know, the external parties comment on
23 our materials. This is a very public program. One of the
24 processes in the institutional program is receiving the

1 comments and then providing our responses to those comments,
2 both on policy, technical, and institutional documents.

3 Through our contractor support we also do legal,
4 regulatory, and news analysis as another cost effective way
5 to get a sweeping idea of what is happening in the United
6 States through trends within the industry and affecting our
7 program.

8 Our public information program is, as I said,
9 pretty self-explanatory. We provide exhibits to the
10 national program, and we develop videos, fact sheets and
11 basic layman information to the public so that they can
12 understand our program.

13 (New viewgraph)

14 As I briefly mentioned, in 1985 we had the first
15 transportation coordination group meeting, which was a
16 meeting set up that interested parties could come and hear
17 about our program. During that time there was a list by
18 these external parties of the main issues that they saw the
19 transportation program needed to look at. These issues are
20 operational, in the cask area, and also just pure
21 institutional.

22 Of these issues, some of the external parties
23 wanted us either to clarify OCRWM's policy on these issues
24 or to actually initiate activities that would help resolve

1 those things within the industry as perceived concerns. I
2 won't go down the list. I think everybody is pretty
3 familiar with them.

4 Today I would like to talk about a few of them.
5 The last one states the implementation of Section 180(C)
6 regulations. Previously the list had emergency response and
7 inspection enforcement, and the implementation of 180(C)
8 pretty much wraps those up.

9 (New viewgraph)

10 As I said I, would like to cover just three of the
11 main areas today, in the interest of time: the Section
12 180(C) planning, the development of uniform state inspection
13 procedures, and some recent developments with
14 prenotification and physical protection requirements.

15 Dr. Price, you had asked about our emergency
16 response. There are numerous documents and a lot of
17 planning that is going on, both at DOT, FEMA, and us on the
18 issue of nuclear emergency response. I could spend a
19 lengthy time on what the responsibility of the Department
20 is, both from multi-agency relationship and specific to
21 OCRWM. There are several documents that I believe we sent
22 the Board in '88 on the Federal Emergency Response Plans,
23 the FERP document, several documents that DOE has produced
24 on just generic emergency response procedures. A lot of

1 times the issue of emergency response and 180(C) become very
2 synonymous. I love doing diagrams.

3 (New viewgraph)

4 Basically, 180(C) states that the Department of
5 Energy should provide technical assistance and funds to
6 states, to local governments, and Indian tribes. The
7 training should cover procedures both for emergency response
8 and safe routine transport. Emergency response is only half
9 of the requirement of Section 180(C). Then if you split out
10 emergency response, there is the issue of emergency
11 response, DOE's role as far as an actual incident, which I
12 am not going to cover today and which I said we could
13 explain in detail later, and then the role of what we are to
14 do to meet our requirement under 180(C), which is merely to
15 provide funds and technical assistance for the training of
16 state officials, Indian tribes, and local governments.

17 (New viewgraph)

18 I would like to quickly go over what we have
19 proposed in our strategy that we discussed at the December
20 TCG meeting. We issued a preliminary draft stating a
21 schedule and a five-step process. The schedule basically
22 says that we are going to issue the draft strategy, which we
23 are in the process of doing now. Strategy merely outlines
24 in longhand this road map as far as how to get to the

1 process of implementation.

2 The next step along the way will be developing an
3 options paper, which is to basically look at the various
4 funding mechanisms within the United States to get the
5 funding and technical assistance to the states, Indian
6 tribes, and local governments. When we issue the options
7 paper, it will show various options. The public parties,
8 external parties, will be able to comment. We have been
9 receiving input on what they feel are various appropriate
10 mechanisms for funding and technical assistance.

11 Finally, we will then develop a policy statement
12 which will narrow down which option the Department has
13 decided to use. One we have developed the policy statement,
14 we will develop an implementation plan which will spell out
15 the nuts and bolts of actually how we will get the
16 assistance to the states.

17 Then the training: We have stated in our mission
18 plan in 1988 that we will begin to provide assistance three
19 to five years before we ship. Presuming that we are
20 shipping in 1998 to the MRS, the assistance is expected to
21 begin in '95 as far as actual funds and support.

22 Comments from the groups have always said that we
23 need to ensure that there is monitoring of how we initiate
24 this program because it may not be right when we first start

1 it. So we will look at it again and see if we can fine-tune
2 it before the shipments begin in '98. And because of the
3 rapid turnover rate, we will need to provide the states and
4 the local governments and Indian tribes the mechanism for
5 retraining before the 1998 date.

6 (New viewgraph)

7 I would like to quickly go over status of where we
8 are. As I said, we held a December meeting that issued the
9 preliminary draft of the strategy. We are hopeful to issue
10 the draft strategy shortly. The only difference between the
11 preliminary draft and the draft, as far as the review
12 process, is the preliminary draft will receive comments from
13 the TCG, groups, and interested parties that have been
14 following our program closely. The draft strategy will be
15 issued in the Federal Register and we will provide the
16 formal mechanism of a response document on the comments we
17 receive through the register.

18 There are several key comments that were given to
19 us during the TCG meeting and various places along the way.

20 One of them has been that we need to integrate the DOE
21 programs for emergency response funding to the states.
22 Currently the WIPP program -- as you heard in Albuquerque --
23 provides assistance for the corridor states for the WIPP
24 shipments. The EM group also provides a generic training

1 for state officials and firefighters and people throughout
2 the country, through a contract support structure. And then
3 we will be implementing our 180(C) program. One of their
4 concerns is that we need to pull those programs together and
5 figure out a way that the people receiving the training
6 don't need to go to three separate training programs.

7 We have also been integrating with the Federal
8 Radiological Preparedness Coordinating Committee, the FRPCC,
9 who are a body of federal agencies, and their specific
10 expertise is in the training for radiological emergencies.
11 My role currently in sitting in the group is to receive
12 information on what exists now within the structure, federal
13 structure, and to keep them abreast on how we are planning
14 our 180(C) program.

15 With the implementation or the passing of the
16 Hazardous Materials Uniform Safety Act, with the specific
17 language in there that is very close to the Section 180(C)
18 requirements, we have needed to integrate closely with how
19 they are going to implement their program. I will go into
20 that in a minute. Then we have started to draft the options
21 paper.

22 (New viewgraph)

23 I am going to skip over what is probably in your
24 book, some of the comments that we received on preliminary

1 draft. They are in there for your information. Basically
2 they are comments that we received from state, local, and
3 tribal representatives who have an interest in emergency
4 preparedness and wanted us to be sure to incorporate their
5 comments in our next draft.

6 To integrate with the other DOE programs, EM has
7 taken a lead on this activity. They have developed the
8 transportation emergency preparedness program. As I said,
9 this program is to try to integrate all the emergency
10 response activities for transportation and shipment within
11 our agency. Their activities include both preparing for an
12 incident and for emergency preparedness for all of the
13 shipments going along the United States today that are a DOE
14 shipment. They also are trying to integrate the state,
15 local, and tribal support meetings, which is where the
16 Section 180(C) would fall. We have representatives that
17 serve on these groups and the idea of doing this is to
18 minimize duplication within the agency.

19 (New viewgraph)

20 As I said, TRW is also working DOT in the
21 implementation of Section 117 of the Hazardous Materials
22 Uniform Safety Act of 1990. Dick Hannon is in the audience
23 today, if you want to know latest and greatest on what is
24 happening. On the other areas of the act, he can probably

1 help you a lot more than I could. As I said, I am just
2 focusing on Section 17.

3 The law for DOT requires that DOT will provide
4 states \$5 million for each year '93 to '98, for emergency
5 response planning. They will also provide states and Indian
6 tribes \$7.8 million per year for emergency response
7 training. They also are to provide technical assistance for
8 carrying out emergency response training and planning.

9 As you can see, there is a slight difference in
10 some of the language. The planning, the first bullet, DOT
11 is to only provide to the states the \$5 million for the
12 planning. In the language for the training, it is to go to
13 the states and Indian tribes. Section 180(C) closely
14 resembles the second bullet, and 180(C) is also to provide
15 technical assistance, so we are also coordinating our
16 technical assistance plan with DOT.

17 (New viewgraph)

18 The status right now with the implementation of
19 Section 17 is that they are drafting a notice of proposed
20 rulemaking that they will be issuing on how they plan to
21 implement their program. They developed an interagency
22 group to try to have the input of all the five federal
23 agencies that are vested in how DOT implements this program.
24 We have been meeting on a practically weekly basis to try

1 to provide our input on how they best could handle or
2 develop their program.

3 What we plan to do for an implementation of
4 Section 180(C) is to see how DOE implements their program,
5 and that will affect one of the options, or a couple of the
6 options that we are looking at in how to develop Section
7 180(C) in our program.

8 Now I would like to move onto the issue of
9 developing uniform state inspections procedures. We have an
10 agreement with the Commercial Vehicle Safety Alliance, which
11 may have been discussed at previous meetings. In 1985, as I
12 said, state inspections and enforcements of the NWPA
13 shipments has been identified as an institutional issue.
14 The group recommended that we should evaluate current state
15 inspection standards and sponsor the development of a
16 uniform procedure.

17 (New viewgraph)

18 So we entered into an agreement with CVSA to
19 develop that uniform vehicle inspections. The idea of
20 developing the uniform inspection procedures would be that
21 the state officials that were developing these procedures
22 would then ultimately adopt them within their state, so that
23 we are working with a uniform system within the whole United
24 States as we cross across the state borders.

1 The criteria that will be developed in the
2 inspections is that they will be inspecting the driver, the
3 shipping papers, the vehicle, and the package. As I said,
4 the goal is to eliminate the need for multiple inspections.

5 One of the assets of the CVSA inspection program that is
6 currently in existence is there is a reciprocity capability
7 within their decal system. And if these procedures are
8 adopted, then we could use a reciprocity system.

9 As Jim mentioned, these inspection procedures are
10 going to first be tested on a WIPP shipment and potentially
11 the cesium shipments that are underway, and that one day may
12 be out of the way. The purpose of testing these procedures
13 is merely to -- the procedures are a detailed interpretation
14 of the regulations. And it helps the state inspector
15 inspect the shipment. The test is being developed, and as
16 this viewgraph shows, there are seven states, WIPP states,
17 that have signed agreements that they will inspect shipments
18 coming down from INEL to Carlsbad using these draft
19 procedures.

20 We are going to train the state inspectors along
21 this corridor so that they are familiar with the procedures
22 and can inspect the shipments along these lines. The
23 procedures, as I mentioned, slightly enhance the DOT
24 regulations, mostly in terms of being more specific and

1 detailed.

2 (New viewgraph)

3 The next viewgraph is just a picture, and I won't
4 go into it, of basically what the proposed course agenda
5 would look like for their training. Seven states and the
6 DOE traffic managers will be trained before the WIPP
7 shipments are inspected along with these procedures, and
8 this is just what the course agenda is proposed to look
9 like.

10 (New viewgraph)

11 The last viewgraph I have is just to discuss
12 briefly an issue regarding prenotification and physical
13 security. DOE as a department is considering amending its
14 prenotification policy to include a notification to Indian
15 tribes, instead of merely to state governors' offices, state
16 designees. If it is not an NRC shipment that is under the
17 NRC physical protection requirements, that is not a problem.

18 However, due to the NWPA requirements that the OCRWM
19 shipments will follow NRC physical protection requirements,
20 we are in a little bit of a quandary as to how we will work
21 out being both in compliance with DOE policy and with NRC
22 requirements.

23 To notify a tribe, we will be in a breach of NRC
24 physical protection requirements. A lot of discussion --

1 and Lydia Ellis is going to discuss the TRANSCOM program
2 later today. There has been a lot of interesting satellite
3 tracking, and that also is in conflict with physical
4 protection requirements currently in place with the NRC.

5 We are right now working with offices within DOE
6 and talking to the right parties to figure out a way that we
7 can be both in compliance with the DOE, if this policy goes
8 through, and NRC requirements.

9 Basically I have covered only three of the
10 thirteen issues, and I have done them pretty quickly.
11 However, if there are any questions on any of the other
12 issues that we have, or on these, please feel free to ask.

13 (No response)

14 DR. PRICE: All right. Thank you.

15 I think what we will do at this time, because of
16 the shortness of time and we are running just a little bit
17 late, is give an opportunity from the floor to anybody who
18 might want to ask questions of either you or any of the
19 other speakers this morning. We will open it up that way
20 for people to participate from the floor.

21 So if you would please, if you had something that
22 you would like to address either to this speaker or to any
23 other speaker, we would like to make that available at this
24 time. We would like you to state your name and anything

1 else you care to say.

2 MR. HALSTEAD: Good morning, or almost good
3 afternoon, Dr. Price and Dr. Verink and Dr. Chu and other
4 members here. I do have a question for Susan.

5 I want to start with a couple of other general
6 observations and give you an overview of how the state of
7 Nevada sees some of the issues that have been raised here.

8 I will identify myself for the record. My name is
9 Bob Halstead. I am transportation advisor for the Nevada
10 Agency for Nuclear Projects.

11 I would like to start, Dr. Price, rather than
12 getting into the questions, with an observation and
13 invitation. One of the things that has not been discussed
14 in any great detail this morning, and as I understand the
15 agenda will not be discussed in the rest of the meeting, is
16 the specific issue of transportation access to Yucca
17 Mountain. We believe in Nevada that this is a critical
18 issue, along with another issue that has received scant
19 attention so far and is, again, not listed on the agenda,
20 and that is risk assessment methodologies and data
21 requirements.

22 We would like to invite the Panel to hold a
23 meeting in Nevada sometime in the January to February time
24 frame. I say that because our current group of reports in

1 those areas are scheduled to be completed in November, which
2 I think means that by January we will have those reports
3 ready to send to you. And at that time, at the invitation
4 of Bob Loux, the executive director of my agency, we would
5 attempt, in cooperation with the Department of Energy's
6 Yucca Mountain project office, to put a three-day field trip
7 together for you, which we think would be useful in
8 addressing some of the transportation access issues.

9 Coincidentally, January and February is not only
10 the time frame that we think we can have our reports done,
11 but that would be the time frame when we would expect the
12 worst weather conditions on some of the highway routes that
13 are involved. And we think that is an appropriate time to
14 look at some of those highway structures. But also, it is a
15 very good time to look at some of the stretches of desert
16 terrain that are involved with some of the rail corridors.
17 So I throw that out for your consideration.

18 I have a list of about eleven areas that I was
19 looking for, based both on the comments that the Technical
20 Review Board has made in its past meetings and reports, and
21 the reviews that we have done at the state level. I would
22 like to very briefly run over some of those issues and the
23 way they have been addressed.

24 The first several points involve the cask

1 development program. Point number one: The state of Nevada
2 has still not received a formal response to our detailed
3 written comments on the preliminary design reports, which
4 address many technical design issues and many human factors
5 issues as well. I realize that we were late in getting our
6 comments in on those reports, but it still has been over six
7 months since we put the comments in. Many of the detailed
8 issues I would like to raise with you in response to our
9 discussion this morning, I can't yet because I haven't seen
10 how the Department is going to respond to those. Those
11 include questions, for example, about the fabrication of the
12 depleted uranium gamma shield or the GA truck cask, or
13 questions about the fabrication and performance of the
14 cement neutron shield on the BRW-100 cask. So we are
15 waiting for those comments.

16 Point number two: We had hoped that we would see
17 some indication of a retreat from the overly optimistic
18 payload objectives that are being sought from the reactor
19 cask program. From what I heard today, I don't see that
20 there has been any change there. There is still an attempt
21 to maximize payload in the cask without full consideration
22 of some of the other objectives which are being triggered
23 off; areas, for example, like a reduction in surface dose
24 rates, and indeed, other issues which have to do with

1 reducing some of the complexities of licensing over what the
2 NRC will or will not accept in the way of administrative
3 controls that may be necessary because of the extended
4 burn-up issue.

5 Point three: We continue to be concerned about
6 the early development of a new rail cask, particularly which
7 might be used for 1998 shipments. Again, this is addressed
8 in some detail in the written comments we submitted to DOE
9 and which we also submitted to you. I would like to have
10 asked Ron some questions about how his RFP, as I understand
11 it, for the new Initiative I cask program would address
12 this, but presumably we will see an RFP shortly.

13 I think the bottom line right now is that the
14 highest efficiency cask we have in this country is IF-300
15 cask which is capable of handling seven PWR elements per
16 shipment. And so far we are not sure when Ron says that he
17 is going to use existing technology to build up a fleet of
18 casks that would be available before the new cask, whether,
19 for example, we are talking about purchasing more IF-300s or
20 whether we are going to try to modify this existing design.

21 So I think we need more information there on this new
22 element of the cask procurement system.

23 The fourth issue: Full-scale testing of cask
24 prototypes prior to their certification and possible

1 additional full-scale testing to show compliance once
2 commercial production begins are issues that we have laid
3 out in the past. I was a little disappointed that even in
4 response to Dr. Price's question, there was certainly not
5 any new information shared with us today.

6 Fifth: I had hoped today that we would hear a
7 strong commitment on the part of the Department to early
8 development of deployment of dual purpose casks. Possibly
9 an RFP would be in the works, possibly in relation to the
10 Rancho SECO SMUD proposal. I didn't hear much discussion of
11 the dual casks this morning.

12 Six: We had hoped to hear a clear statement of
13 the Department's plans regarding risk assessment generally,
14 and including but not limited to the long-awaited peer
15 review and validation of RADTRAN. I didn't hear any
16 discussion of risk assessment this morning. Perhaps there
17 will be some this afternoon.

18 Seventh and eighth: I have the systemwide safety
19 study and human factors listed as separate issues, without
20 any priority attached to either of them. I am happy that
21 there were some points today where I felt the Department is
22 beginning to show some progress, although I think it is too
23 early to judge where we are going. I think in particular we
24 will be very interested in following the system study that

1 Mr. Benner is associated with. And we will be very
2 interested in seeing how our own recommendations for
3 addressing human factors and cask design are treated once we
4 get some written responses.

5 I have no problem with the specific instances that
6 Chris mentioned about human factors, but again, the key
7 point here is that the human factors analysis has come into
8 this discussion very late rather than, as we believe, coming
9 in at the very beginning of the development of the entire
10 system. So it is clear that we are not only talking about
11 human factors that can be incorporated into the design, as
12 they would say, and affect operations, but that we look at
13 some of the issues that Dr. Chu addressed; that is, the need
14 for human factors and QA issues to be addressed in the
15 entire process, from the design through the fabrication
16 through operation and maintenance of the system.

17 Point nine: I am hoping we are going to hear
18 about the successful completion of the facility interface
19 capability assessment of a near site transportation
20 infrastructure studies, which I think are generally agreed
21 to be two of the better transportation system data base
22 efforts that the Department is involved in. Presumably
23 those will be discussed this afternoon.

24 Point ten: I had hoped to hear a little more in

1 Susan's presentation about the early designation of the
2 likely transportation routes to Yucca Mountain and/or an MRS
3 site, which, of course, we await the efforts of the
4 negotiator on, and the process that the Department will use
5 for implementing Section 180(C) financial assistance.

6 I did see something that I thought was hopeful in
7 Susan's presentation, which was a 1995 program date for
8 implementation of 180(C). That certainly would be
9 appropriate if we are talking about shipments to an MRS in
10 1998. Still, however, we have not had clarification on how
11 the Department is going to deal with the identification of
12 states along the transportation corridors to Yucca Mountain,
13 nor have we heard much in detail about the manner in which
14 technical and financial assistance will be provided.

15 I am somewhat disturbed about a new emphasis in
16 Susan's presentation on following any precedents that are
17 established by the Department of Transportation's
18 implementation of the HMT USA. We see a need, certainly,
19 to coordinate all of the training and planning programs, but
20 we believe that congressional intent in a Nuclear Waste
21 Policy Amendment Act, in Section 180(C), was clear to
22 provide special technical and financial assistance for the
23 shipments that will be made under the Civilian Nuclear Waste
24 Program. And that should not necessarily be dictated by the

1 way the Department of Transportation implements HMT USA.
2 Indeed, the problems in handling nonradiological hazardous
3 materials are so great that I think that a good argument can
4 be made for keeping those efforts separate.

5 And finally, the eleventh point regards the
6 general issue of route specific access to Yucca Mountain.
7 It has not been mentioned this morning that the Department
8 has released a massive report on the Caliente rail option to
9 Yucca Mountain. In July, as I have discussed this at the
10 Panel's meeting in Denver, the state of Nevada is still in
11 the process of digesting this large report. And as of last
12 week, we have surveyed about 85 percent of the route on the
13 ground, and we are in the process of developing some
14 preliminary comments.

15 I think some discussion on the part of the
16 Department's representatives this afternoon or tomorrow
17 would be appropriate to see how they see this report fitting
18 into their larger transportation program. Remember, the
19 concerns we raised earlier was on this particular report.
20 We felt it was a very good, high quality preliminary report
21 on what appears to us to be a singularly bad choice of
22 routes. And it is very important for us to understand how
23 and when the Department is going to proceed to look at
24 alternative rail routes. The Jean and Carlin options had

1 been identified, of course, in previous reports, but also
2 whether the Department plans to consider other options such
3 as an all-truck/no-rail option, whether they have considered
4 a internodal heavy haul option. And, indeed, the way in
5 which the activities which are being conducted out of
6 headquarters and through the TRW management team are going
7 to be coordinated with those site specific studies, which
8 used to be conducted through the Yucca Mountain project
9 office but which are, I now understand, somewhat up in the
10 air pending the way that TRW comes in.

11 I appreciate your indulging me this time to
12 comment both on some of the earlier issues and to perhaps
13 identify some of the issues which I hope will get further
14 resolution on this afternoon.

15 Thank you very much.

16 DR. PRICE: Thank you very much, Mr. Halstead. We
17 will take under consideration your kind invitation for
18 January and February.

19 In regard to some of the comments and questions
20 made, I would like to ask Ron, is it really anticipated that
21 you are going to be purchasing additional IF-300 casks? Is
22 that generally the course of events that you think is going
23 to take place?

24 MR. MILNER: Again, without getting into too much

1 detail prior to the RFP, the intent would be that we would
2 either purchase some, whether IF-300 or other existing
3 casks, and, in addition, enhance the existing casks. If a
4 vendor were to offer an existing cask that he made
5 modifications to, or possibly a whole new cask technology --
6 it is not a plan solely to procure existing casks that are
7 on the market now, but that is one possibility out of three.
8 We would more likely go with a combination.

9 DR. PRICE: Thank you.

10 I would like to ask Susan if she has, in
11 interaction with the negotiator's office, any issues with
12 regard to routing or anything like that? Is that going on
13 in an active sort of way? Or anyone else who cares to
14 respond.

15 MR. KOUTS: If I could respond for Susan, we have
16 historically taken the position that we would identify
17 routes three to five years prior to shipment and identify
18 series of routes over which the initial shipments would
19 occur. The Department has taken that position for several
20 years. Since we don't have an MRS site and we have a site
21 that we are presently characterizing for a repository, we
22 don't feel at this time that we can identify any routes.

23 However, I think if a new MRS site is identified,
24 certainly in the near term we would be focusing on a series

1 of routes for emergency response training and funding over
2 those routes.

3 DR. PRICE: The nature of my question was to
4 really determine if there is an actual dynamic relationship
5 going on with the negotiator. Or has it reached that kind
6 of stage yet?

7 MR. MILNER: I don't believe it has really reached
8 that kind of stage yet.

9 DR. PRICE: Anyone else from the audience like to
10 ask a question of any of the speakers?

11 (No response)

12 DR. PRICE: If not, it is 12:30. We are a half
13 hour behind. My watch is probably a little faster than
14 your's because it actually says 12:27. Let's take a lunch
15 break and be back here at 1:30.

16 (Whereupon, at 12:30 p.m. the conference was
17 adjourned for lunch, to reconvene at 1:30.)

18

19

20

21

AFTERNOON SESSION

22

(1:30 p.m.)

23

DR. PRICE: Take your seats, please.

24

This afternoon we begin with some operational

1 planning activities. I did have a question that I was asked
2 to ask Mr. Kouts regarding that CVSA study, whether or not
3 the CVSA study is for highway vehicles only, or is there any
4 part of it that includes the rails?

5 MR. KOUTS: Susan, you can correct me if I'm
6 wrong. Right now we are focusing on trucking. There are
7 certain inspection procedures affecting the rail that
8 certain states use. But I don't believe that we are
9 addressing that at this time with the CVSA work. That would
10 be something to be addressed in a separate effort.

11 DR. PRICE: Just continue, if you would.

12 MR. KOUTS: Okay. Thank you.

13 My presentation to kick off the afternoon session
14 will be fairly brief. What I do want to do is give the
15 Panel an overview of our activities and the operational
16 planning area that we have under way, and then more or less
17 introduce the logic of the presentations we will be having
18 through the rest of the afternoon.

19 (New viewgraph)

20 One of our major efforts in the past has been to
21 evaluate the implication of the standard contract in
22 relation to the implementation of the transportation
23 program. Wherever we have identified issues, we utilized
24 the ACR resolution process, and you will be hearing more

1 about that a little bit later this afternoon from the first
2 speaker. Our goal here is to make sure that we are
3 integrating the waste acceptance process in our
4 transportation planning efforts.

5 You have heard a little bit about the work we have
6 been doing in our infrastructure area. We will be hearing a
7 lot more about that this afternoon.

8 (New viewgraph)

9 We also have begun taking the information from the
10 infrastructure studies and putting it to work, if you will,
11 in building up specific plans for various sites that we
12 expect to see early on in the system. We have begun our
13 long-term logistical planning, which you will be hearing a
14 little bit about later. We are also essentially in the
15 process, as we said earlier, of identifying all the
16 components and functions of the system as part of our
17 systems work. And we are in the process also of
18 establishing requirements for a cask maintenance facility
19 once our system is operational.

20 (New viewgraph)

21 One other activity we have underway is to assess
22 the various management options that we might have for
23 operating the system, identify them. We will also try to do
24 a pros and cons analysis of that. That work is underway

1 right now.

2 (New viewgraph)

3 Just to give you an idea of the logic of this
4 afternoon's presentation, I think it is extremely important
5 for the Panel to understand the contractual waste acceptance
6 process that the Department is bound by in our standard
7 contracts with utilities. The branch chief within the
8 Transportation and Logistics Division, Alan Brownstein, will
9 be discussing that in some detail. I think it should
10 provide you some insight as to what the Department can do
11 and can't do in a lot of areas, specifically modal mix,
12 which has become a subject of discussion in the past.

13 In addition, we will be giving you a very updated
14 picture of the infrastructure study, the facility increase
15 capability assessment, the near site transportation
16 infrastructure study, and also we have done some work
17 putting that data together to give you some insight as to
18 how the facilities look across the board.

19 I mentioned earlier that we are beginning to take
20 the infrastructure information and putting it to good use.
21 I should mention the infrastructure presentation will be
22 given by Mike Conroy. He is a member of my staff and
23 branch, transportation branch. As far as service planning
24 documents, I mentioned a few minutes ago that we are taking

1 information out of the infrastructure studies and putting it
2 into specific documents to address each of the reactor
3 sites, especially those that we will see early on the in the
4 waste acceptance process.

5 (New viewgraph)

6 This all culminates in logistical plan rationale,
7 and Mike Conroy will be going over that for you. The Board
8 also expressed, or the Panel, expressed interest in hearing
9 an update on shipment tracking. As you are aware and as we
10 briefed the Panel in the past, we haven't selected the
11 technology; however, we felt that an updated view of
12 TRANSCOM and its evolution, if you will, some of the
13 operational considerations of it, would be useful.

14 I know, Dr. Price, that you and Dr. Chu were over
15 in Europe and saw the Sellafield facility. In seeing their
16 cask maintenance facility we also want to give you some
17 perspective as to the work we have done in preparation for
18 development of a cask maintenance facility for our system
19 when it is operational. That is the logic of the
20 presentations. If you don't have any questions, we can
21 start off.

22 I would like to introduce Alan Brownstein, who, as
23 I mentioned, is chief of our Logistics and Utility Interface
24 Branch. He will be giving you a presentation on the

1 standard contract and the waste acceptance process as the
2 Department and the utilities are implementing it.

3 MR. BROWNSTEIN: Thank you for inviting me to
4 speak this morning. I appreciate your interest in this.

5 (New viewgraph)

6 As a way of background: Before we can transport
7 and store and dispose of waste, the first thing that we need
8 to do is accept the waste. We are really the first out of
9 the box in waste management systems. We are establishing
10 through the contractor, which I will discuss today, the
11 protocols and how the Department is going to interface with
12 the waste owners.

13 The waste acceptance process was in broad terms
14 identified in the Nuclear Waste Policy Act, which required
15 essentially separate bounds. DOE is responsible for
16 accepting title of the fuel transport and disposing of it;
17 and the utilities are responsible for storage prior to the
18 Department accepting entitlement of the fuel, including the
19 selection of their on-site storage technologies if
20 necessary. The NWPA spelled this out and required that the
21 Department enter into a contractual relationship with the
22 owners and generators of spent nuclear fuel.

23 (New viewgraph)

24 That was done within six months after the act was

1 passed. The Department developed the Standard Disposal
2 Contract. It was proposed in February of 1983, and all
3 owners and generators were required to sign that contract by
4 June 30th of '83. That contract established essentially all
5 the legal requirements and operational responsibilities for
6 the interface between us and the owners. In broad terms,
7 the contract covers major administrative matters; the fees
8 in terms of payment; and the waste acceptance criteria,
9 processes, and procedures, which we are going to focus on
10 today.

11 (New viewgraph)

12 Again, just to give you an idea of who we have a
13 relationship with, we have signed 80 contracts with 66
14 different owners. One of the things I would like to point
15 out is that not all of the waste owners are utilities. The
16 bulk are, but there are ten non-utilities that have signed
17 contracts. These 80 contracts cover 151 facilities; 122 are
18 commercial now and others are either planned nuclear
19 facilities or other storage sites.

20 It is also important, I think, to point out that
21 the group that we are dealing with, the utilities, is not a
22 monolithic group. Each is a separate, individual, corporate
23 entity with its own separate management, its own individual
24 regulatory climate, its own financial conditions, its own

1 operating environment, and its own storage considerations.

2 And we do have the individual contracts.

3 When we talk about waste owner, we talk about utilities. It
4 is not one owner, it is not one group; it really is 66.

5 (New viewgraph)

6 What I would like to try to do is run through some
7 of the major components of the waste acceptance process that
8 are detailed in the contract. The first thing that the
9 contract requires, and the utilities -- I will refer to
10 utilities and waste owners interchangeably at this point.
11 The first thing they are required to do, starting in '83,
12 was to provide us data. I discussed with the Panel back in
13 August the RWA 59 form, which is utilities' data submittals
14 under the contract to us. This is where they tell us
15 everything about their fuel characteristics, reactor
16 characteristics, site characteristics, and so forth. That
17 has been ongoing since '83. The form has gone through a
18 number of revisions. We expect to be putting out a new
19 version of the form shortly, which will allow us to get even
20 more specific data on more items than in the past. In
21 particular, we are going to be collecting more information
22 about utilities' canister fuel in the report.

23 So the waste owner had provided and continues
24 to provide information on the fuel. One of the things that

1 the contract recognized early on was that whenever waste
2 acceptance began, the Department would not be able to on a
3 single day accept everybody's fuel all at once. So the
4 contractor established a method for determining what order
5 the Department would allocate the acceptance capacity.

6 The contract, using the data submitted in the RWA
7 59 data, established a priority base on oldest fuel first,
8 which is determined on an industrywide basis. Essentially
9 what that does is that establishes the waste owner's place
10 in the queue. I need to point out that the place in the
11 queue, based on this interpretation in the contract, does
12 not necessarily mean that that is the fuel it will get for
13 delivery. That is only the placement in the queue. In
14 other words, what I am saying is that the specific assembly
15 generating the right in the queue is not being submitted as
16 they have to deliver. Now, we communicate that information
17 to the waste owners, to the Acceptance Priority Ranking.

18 (New viewgraph)

19 What I have done here is just taken a piece out of
20 one page of the Acceptance Priority Ranking just to give you
21 an idea of how we communicate this information. We list the
22 contract calls, waste owners, purchasers; we list who the
23 purchaser is, what plant the fuel came from. And in some
24 cases, where the fuel is now is not the plant that generated

1 it, so we ask the storage location, the type of fuel, the
2 discharge date, and we have here listed a month and year.
3 The fact is that if we establish this ranking, we go down to
4 the day. We indicate the number of assemblies, MTU and
5 value. On the right we have a cumulative total of the
6 discharged fuel. So that is really the first key milestone,
7 if you will, in the waste acceptance process, is you
8 establish the acceptance priority.

9 (New viewgraph)

10 The queue doesn't take on meaning until we place
11 on that a waste acceptance rate. We take the information
12 that is based in the APR, we apply to that a system
13 acceptance rate, which we are required to do through
14 something called the Annual Capacity Report. We project the
15 expected acceptance capacity for ten years.

16 (New viewgraph)

17 When we put that information together, what I have
18 put up here is -- there is a full page in the handout; I
19 have just taken a little picture here. This is a summary of
20 how we combine the waste acceptance rate with the acceptance
21 priority rate for a given acceptance rate. In this case we
22 have taken a look at 300, 400, 500 and 50 MTU rate of
23 acceptance. You can see here that, based on that acceptance
24 rate, using the oldest fuel first concept that is listed in

1 the priority ranking, you can get a quick picture of who has
2 the allocation rights for what year and how much. That
3 really is the guts of the waste acceptance process.

4 (New viewgraph)

5 We have done both of these now. We are now at the
6 beginning stages of the next major phase in the waste
7 acceptance process. Starting in January of '92, a few
8 months away, for the first time the waste owners will submit
9 to us something called delivery commitment schedules. This
10 will be the waste owners' first opportunity to really inform
11 DOE what their intent is for distributing their allocation
12 that we have set out.

13 They will have an opportunity to indicate, for
14 example, the range of spent nuclear fuel that they intend to
15 deliver to us; they will tell us the specific site from
16 which they will deliver that fuel -- certainly that becomes
17 important when we are dealing with the utility with multiple
18 sites -- and they will provide us information that will
19 contribute to our understanding about the size of casks that
20 we will need to develop to satisfy that particular need.
21 Again, that starts in January.

22 Now, there are two things that the waste owners
23 can do with a delivery commitment schedule. The first thing
24 is that they have a contractual right to exchange; after we

1 have approved the delivery schedule, they can exchange that
2 with other waste owners. That exchange process is subject
3 to our approval, but it is a right of the contractholders.

4 The second thing, if they choose not to, is that
5 the DCSs will form the basis of the final delivery
6 schedules, which have to be submitted 12 months before the
7 expected delivery date. As we go down on this list, the FDS
8 gives them an opportunity to provide a little bit more
9 specific information as we get into the interface, the
10 logistical planning of when they need to be on their site.

11 (New viewgraph)

12 The way the contract stands now, the waste owner
13 then tells us 60 days prior to acceptance the specific fuel
14 they intend to deliver. That is a little misconceiving in
15 the sense that because of the data they have submitted all
16 the way through, at the beginning of the program we know an
17 awful lot about each assembler through the 859. And as they
18 provide information to us on the DCS and FDS, we have a
19 pretty good idea of what fuel we are talking about.

20 Once we go through that, then DOE is required to
21 provide the cask, equipment, training and procedures. The
22 waste owner loads the cask, and it is only at that time,
23 once the cask is loaded at the gate, that we take title to
24 the fuel; then it becomes ours. Up until this time, it is

1 theirs, and again, as Chris just indicated, we are really
2 guests of theirs up to this time on the site. This whole
3 process, the contractual process that I am talking about,
4 and what you are going to hear from Ron Pope, will indicate
5 how within the gate as guests we intend to coordinate our
6 specific activities.

7 (New viewgraph)

8 I put this up just to give you an idea of how the
9 contract lays out all the operational responsibilities.
10 This is for cask purposes. We are required under the
11 contract to provide a cask suitable for use, all the
12 equipment, procedures, documentation, and training to the
13 waste owner. The waste owner is responsible for
14 preparation, packaging, inspections, and loading activities,
15 although we have an opportunity under the contract to
16 observe that, something we will do. They have to describe
17 the fuel, and they are responsible for the maintenance of
18 the casks, which we will give them in advance.

19 (New viewgraph)

20 That is a quick summary. I will be happy to
21 answer questions on the waste acceptance process, but I
22 think what I would like to do now is turn to build on
23 something that I said earlier. We developed this contract
24 in a very, very short period of time in a very early stage

1 of the program. We recognized a number of years ago that
2 the contract provided insufficient detail to implement all
3 of the steps from both sides that we needed to. And it is
4 understandable because it was developed early on in a short
5 period of time for a very long-life program.

6 The way I view it is that as the system matures,
7 certainly as the system matures the contract needs to mature
8 to catch up. The interface between the waste owners and us
9 is trying to complete that interface, if you will, as more
10 and more details of the program develop. So we developed an
11 issue resolution process so that we can find a torum, a way
12 to talk through some of the concerns, some of the issues in
13 the contract. We have been doing this since 1987.

14 I think it is important to point out that the real
15 challenge in this process -- because we have rights and
16 responsibilities as well as the waste owners, we are trying
17 to always get a balance between producing the most
18 efficient, safe, and effective system that we can while
19 maintaining the waste owners' flexibility and equity
20 considerations. That is always an underlying balance
21 between all these issues, and that becomes very important as
22 utilities touch their fuel prior to us accepting entitlement
23 of that fuel.

24 (New viewgraph)

1 We think this is, and it is proven that this is a
2 good way to do things. We needed to find a way other than
3 the courts to sit down and talk about our concerns and their
4 concerns. Since '87 it has been a good forum on which the
5 utilities and the other waste owners can try to educate us
6 on some of their concerns, their side of the story, and that
7 we can do the same with them. It has been amazing that
8 there are a number of concerns that we take for granted now
9 in our program that the utilities, having a totally
10 different mindset, just may not have been aware of. The
11 process has worked pretty well.

12 (New viewgraph)

13 To give you an idea of some of the issues that we
14 have been covering, the contract provides the utilities to
15 sort of go around the priority ranking that I talked about
16 for shutdown reactors and for emergencies. What the
17 contract says is that the Department may grant priority,
18 other than the process that I have described to you, for
19 shutdown reactors and emergencies. So one of the issues
20 that we have been discussing is how will DOE implement its
21 authority to grant priorities? That has been an act of
22 discussion between us.

23 Also the contract gives the utilities the
24 unilateral right to adjust their allocations plus or minus

1 20 percent and by plus or minus two months. This and the
2 next issue, what we are looking at -- just to give you an
3 idea of how some of these conversations have gone -- is that
4 one of the considerations that is being evaluated is to look
5 at possibly eliminating this unilateral right that utilities
6 have and the DCS adjustment, and when we know what the
7 final cask designs look like, we consider increasing the
8 allocations and the final delivery schedule to get the full
9 cask load, and then just decrement their allocations in the
10 next line. Again, for efficiency reasons, we have taken a
11 look at that.

12 We want to add some more specificity in the
13 contract in terms of what we mean by failed fuel. Again,
14 giving you a perspective on that, there are about 55,000
15 spent nuclear fuel centers out there today. According to
16 the data that we have got from you from the utilities, there
17 are about 3,500 that are failed assemblies. But when you
18 really look at what the meaning of failed is, the
19 overwhelming majority of those are operational failures, or
20 pinhole failures, that don't affect handling and
21 transportation. That is really what we are concerned about
22 here, is the handling and transportation problem assemblies.
23 From the 55,000, when you really get down to it, there are
24 about 50 now. And because the utilities need to take

1 certain other steps if the fuel has failed in the
2 contractual waste acceptance process, we think it would be
3 better to get some more clarity and specificity in terms of
4 what we really do mean there. So those are the types of
5 issues that we have been discussing.

6 (New viewgraph)

7 Recently the waste owners have taken a number of
8 positions. They have communicated to us formally their
9 consensus positions on these. I would like to emphasize the
10 word "consensus" here. I indicated before that the waste
11 owners were not a monolithic group; they are not, and these
12 are not unanimous positions. They are, in fact, consensus
13 positions. We are looking at those, evaluating those, and
14 we expect, after we go through our own evaluations within
15 our division and move to the other parts of OCRWM, we hope
16 to be in a position sometime early next year in some form to
17 start providing our views on the issues.

18 (New viewgraph)

19 So in a way of summary, the utilities pay us to
20 take the fuel. They are paying us to develop a waste
21 management system to service their needs. The contract
22 details the responsibilities, and because of that, it is not
23 a question that DOE can go in and arbitrarily impose
24 changes. Until we own the fuel, again, we are guests on

1 their side of the fence.

2 The process that I showed you really started in
3 '83. It has been underway. The process is geared towards
4 many years into the future, so it is a long-lived process
5 and it is rather complex. Those areas where there are some
6 disconnects and there are some uncertainties, the waste
7 owners and the Department, I think, have been pretty
8 successful in getting together and trying to work things
9 out.

10 So that is sort of a brief overview of the
11 contractual waste process. I would be happy to answer your
12 questions.

13 DR. CHU: I have a question about January 31st,
14 1998. The law provides that the Department, in exchange for
15 the fees, shall begin disposal by January 31st, 1998. How
16 is that incorporated? How is that being handled in the
17 contracts?

18 MR. BROWNSTEIN: The contract mimics rather
19 closely the Section 302 language of the NWPA. I point out
20 that under Section 302.5 you have taken 302.5(b) and
21 indicated the January 31st date; 5(a) indicates that that
22 waste acceptance is to be initiated upon facility
23 operations.

24 DR. CHU: Right. The law says facility

1 operations.

2 MR. BROWNSTEIN: The law says repository
3 operations. The contractor has put in documents and has
4 broadened that facilities' operation to account for an MRS.

5 So the Department has interpreted that waste acceptance
6 needs to have the facility operating before it begins.

7 DR. CHU: The contract does not say the Department
8 will accept by January 31, 1998 regardless of what happens?

9 MR. BROWNSTEIN: No. The language is joined.
10 Under 302.5(a) and (b) the language is joined in the
11 contract. I don't have the exact words, but it says
12 something like, "upon commencement of facility operations,
13 not later than January 31 1998." It is a joining phrase. I
14 think we need to be careful about separating out those two
15 phrases in isolation.

16 DR. CHU: I am not interested in separating. I
17 just want to understand what it says. So it is coupled with
18 the commencement of operations, not regardless?

19 MR. BROWNSTEIN: Right, in both places.

20 DR. PRICE: Oldest Fuel First establishes priority
21 through the acceptance priority ranking. So you have a
22 whole number of sites with different priorities and the plan
23 is that DOE visits each one in order of priority, I
24 understand it; is that correct?

1 MR. BROWNSTEIN: John, if we can flip back to the
2 summary of that allocation slide.

3 The number of sites the Department will have to
4 visit in a particular year is dependent upon the waste
5 acceptance rates. For instance, if we had a waste
6 acceptance rate of 300 -- understand this is just a synopsis
7 -- in this case we would have to visit three sites. There
8 is more than that in the full slide. Now, these waste
9 owners each have an opportunity to exchange that with other
10 owners, and that could increase the number of sites.

11 DR. PRICE: And if a site is visited in one year,
12 then they are at the bottom of the queue; is that right, for
13 the next cycle?

14 MR. BROWNSTEIN: No. The queuing is based on a
15 strict Oldest Fuel First on an industrywide basis, so
16 wherever their discharges are relative to their brothers, if
17 you will. In some cases they will have allocations in each
18 year. I think we have examples of that up here on the
19 Commonwealth, primarily because Commonwealth owns a number
20 of facilities -- a number of reactors, but all the fuel
21 belongs to Commonwealth. So there they have an allocation
22 in each year.

23 DR. PRICE: So this priority is established and
24 then it is going to stand for a long time? That priority

1 really stands?

2 MR. SANDERS: Yes.

3 DR. PRICE: Is it a fact that they don't deliver
4 their oldest fuel first? In actuality, it really has no
5 real bearing on any changes in priorities or anything like
6 that?

7 MR. BROWNSTEIN: That is exactly right. The queue
8 that we have established in the ADR will be changed in the
9 future only to add additional discharges, but it will remain
10 stable up through -- what we put out this year will not
11 change unless somebody else reinserts -- if we are going to
12 permanently discharge. There are two like that. Again,
13 what they deliver -- the process that I have described to
14 you, it is sort of a negotiating process, if you will, until
15 we get down to when their allocation comes up, placement in
16 the queue comes up: What specific fuel do they want to give
17 us and what will we take? That is a process of
18 communication in the contract, details.

19 DR. CHU: But they can change their places in the
20 queue?

21 MR. BROWNSTEIN: Subject to our approval, yes.

22 DR. CHU: Commonwealth could trade with
23 Connecticut Yankee?

24 MR. BROWNSTEIN: Yes.

1 MR. KOUTS: What I would like to emphasize for the
2 Panel, also, is something that Alan didn't emphasize, which
3 is that essentially if the facility or the reactor operator
4 selects the cask type and in reality he selects the shipping
5 mode, we cannot unilaterally tell him -- or tell that site,
6 if you will -- how it should load it. If they are rail
7 capable and want to ship by truck, then that is their
8 preference and we have to abide by that preference and
9 provide them casks that they select.

10 What you are going to be hearing next is the
11 assessment of the infrastructure we have done inside and
12 outside the fence. The Department has control of
13 transportation outside of the fence. We have options
14 outside. But it is basically the call of the utility within
15 the fences as to how they want their site to deal with the
16 shipping operations. So please keep that in mind.

17 When basically discussions of modal mix comes up,
18 there is the feeling the Department has the power, if you
19 will, to select what modal mixes from the system should be.

20 We do have the ability to affect how we can operate the
21 system outside the fence, but not inside the fence. That is
22 a very important point to consider when we begin these
23 discussions about what the capabilities of these sites are.

24 DR. CHU: So if the study can show that Utility X

1 can handle a rail shipment both because of the existence of
2 the spur and the crane and everything -- in fact, maybe even
3 a rail shipment makes sense, but the Utility X may prefer,
4 for reasons of its own, to chose truck, and the contract
5 will, as I understand, prevent you from doing anything?

6 MR. KOUTS: Right. What we could do, if we chose
7 to do so, would be to take that truck shipment and take it
8 to the nearest rail head and put it on a rail car, if we
9 chose that method of conveyance for movement.

10 DR. CHU: But the utilities' obligation only would
11 be that it will put a truck cask on top of that truck body
12 and give it to you; is that right?

13 MR. KOUTS: That is correct. I think that is an
14 important point that I don't think has been emphasized in
15 other discussions. I don't think that point is widely
16 understood by people who believe that the Department has,
17 again, greater control of the modal mix than we have.

18 I will emphasize on this that we plan to work with
19 utilities, we plan to identify for them and with them,
20 hopefully in a partnership role, how most efficiently to
21 ship off of each site. Mike will talk about our initial
22 infrastructure study. Ron Pope will be talking about taking
23 that information and looking at the site as a package, if
24 you will, inside and outside, so we understand how that site

1 could shift if it wanted to and what the capabilities of the
2 site are. But, again, the ultimate choice inside the fence,
3 the site, is with the utility, the utilities' choice.

4 I would like now to introduce Michael Conroy, also
5 of the Transportation Branch of the headquarters.

6 MR. CONROY: Thank you, Chris. I am going to talk
7 about impacts of the infrastructure studies that you have
8 heard reference to earlier, and some preliminary results.
9 Chris has already told you one of the bottom lines I wanted
10 to get to. He has told you what I am going to tell you. In
11 my next slide, I will tell you what I am going to tell you.

12 (New viewgraph)

13 I want to go over three main areas: the facility
14 interface capability assessment, which is often referred to
15 as FICA; the NSTI study, which stands for near site
16 transportation infrastructure study; and also some
17 preliminary results -- I would like to emphasize the word
18 "preliminary" there -- for analysis of the FICA and NSTI
19 data.

20 (New viewgraph)

21 First off, the FICA study, facility interface
22 capability assessment.

23 (New viewgraph)

24 The FICA project had the objective to gather data

1 needed to assess the cask handling and shipping capability
2 at the commercial facilities where DOE will be accepting
3 spent nuclear fuel. Alan alluded to a 122 commercial
4 facilities that are covered by contracts, and those are the
5 facilities they were looking at. The goal of the project,
6 then, is to enhance the compatibility of that interface with
7 those facilities with the DOE waste management system.

8 (New viewgraph)

9 The approach taken in the FICA study was to first
10 review the existing data bases of information to determine
11 what data was available and what data needed to be
12 collected. They then undertook to visit all 122 facilities
13 at 76 different sites around the country at which DOE will
14 be accepting spent fuel.

15 (New viewgraph)

16 For the purposes of the FICA study, four
17 conceptual FICA casks were defined: legal-weight truck, an
18 overweight truck, 100 ton rail/barge, and 125 ton rail/barge
19 cask. Those casks I would have to characterize as being
20 broadly representative of the other casks that were being
21 considered at the time. For the legal-weight truck and 100
22 ton rail/barge cask, they took the bounding dimensions from
23 the preliminary design reports that we had underway under
24 Initiative I cask designs efforts. In the overweight truck

1 and 125 ton rail/barge, they used some parameters that had
2 been available in early considerations of those. The
3 parameters of interest were basically cask length, weight
4 and diameter. Again, they show conservative composites of
5 the casking considered and used maximum bounding dimensions
6 from those preliminary parameters.

7 DR. PRICE: So the legal-weight truck was what,
8 2,800?

9 MR. CONROY: Thereabouts. I don't have exact
10 numbers. It turns out that you end up then with the -- the
11 legal-weight truck cask terms that were used were actually a
12 little bit larger than we have in the current VA design, so
13 it is conservative.

14 (New viewgraph)

15 Assessments were then done using those cask
16 parameters and laying those cask parameters against the
17 facility data that was collected and done for three
18 different cases: (1) for the current capability or planning
19 base, (2) another if administrative or licensing changes
20 were to be implemented, such as a change in water depth
21 requirements or new cask drop analysis, things of that
22 nature, and (3) a third set of assessments if physical
23 modifications or administrative changes were implemented for
24 the plan, physical modifications including such things as

1 installation of an engineer plate to spread the cask weight
2 over a larger floor area to meet the floor load limits,
3 modifications to the anti-tipover devices. That does not
4 consider things as major such as crane replacement or
5 removal of building thresholds and structural supports. The
6 feasibility of such modifications and changes were based on
7 the judgment of the project staff and were not meant to
8 reflect that they were approved by the utilities.

9 (New viewgraph)

10 The FICA summary report is being finalized and
11 should be out shortly. What I have here is the bottom line
12 numbers, if you will, from the summary report for the three
13 cases that I just outlined, the planning base, if
14 administrative changes were implemented, and if
15 administrative and physical modifications were implemented.

16 This is based on the number of facilities. I
17 will emphasize that so you don't get confused on numbers
18 that I will show you later on, NSTI; that is based on number
19 of sites. So this is numbers out of 122 commercial
20 facilities. As you can see, the numbers go up as you
21 consider the impact of changes being made, either
22 administratively or to physical, and the numbers, as you
23 would expect, rise for the legal-weight truck and go down as
24 the casks gets larger.

1 DR. CHU: Excuse me, Mike. Does that imply that
2 there are some facilities where you can't move anything out?

3 MR. CONROY: Looking at these numbers, if you
4 were to look at the third column --

5 DR. CHU: A de facto repository, so to speak.

6 MR. CONROY: No. What it implies, if you look at
7 the right-most column, out of 122 facilities there are 121.
8 In the assessment, in the FICA report, there was one site
9 that -- four of the FICA cask parameters you would have
10 difficulties up to the level of modifications considered in
11 this study, which I outlined earlier, which did not get into
12 larger structural changes, but there would be one site where
13 you would have some difficulty.

14 DR. CHU: So if you made no changes, then there
15 would be 50 facilities where you would --

16 MR. CONROY: That is the number that you have in
17 the planning base; that is correct. The reason for that is
18 largely due to the need for making administrative changes.
19 You see the number go up substantially in the middle column.

20 DR. CHU: But there is still 18.

21 MR. CONROY: There is still 18 in that case, and
22 there is still one in the third case. Again, I want to
23 emphasize that is based on the conservative analysis used in
24 the FICA parameters, which are different from Initiative I

1 parameters, or different than what we may get out of the
2 Phase I typecast that Mr. Milner talked about this morning.

3 But you are correct in your addition there in terms of what
4 that shows. As I mentioned, some of those administrative
5 changes would be needed in some of those items.

6 (New viewgraph)

7 Moving on, that hopefully will be explained more
8 fully when we get the FICA report out. The FICA data is to
9 be used in the waste acceptance process that Alan has just
10 outlined for you in terms of delivery commitment schedules,
11 review and approval, review and approval of final delivery
12 schedules, and exchange requests. We are using the FICA
13 data and a large amount of data collecting on the
14 facilities, which Chris characterized as "inside the fence"
15 data, from the FICA study. We are using that in developing
16 site specific service planning documents for each of the
17 facilities. Ron Pope will be going into that in much more
18 detail shortly, so I won't go into that.

19 Information is also being used in the cask design
20 program in terms of developing interface requirements and in
21 developing cask gamma procedures for military equipment
22 needs. Cask modal mix is one area that people have been
23 interested in, and I will get to that a little later, and
24 also in terms of identifying any future cask needs.

1 (New viewgraph)

2 Done in parallel somewhat with the FICA study is
3 the NSTI study, near site transportation infrastructure
4 study. They were both done by the same contractor, NAC, and
5 its final summary report is also in final preparation as we
6 speak, and it should be available shortly.

7 The purpose of the NSTI study was basically to
8 compliment the FICA study, which looks inside a fence, to
9 look outside the fence and to evaluate potential railroad
10 and barge access for the 75 reactor sites and one storage
11 site, that being Morris, for all of the 122 facilities at
12 those 76 sites. Again, as in the case of the FICA study,
13 each of the sites was visited to do this evaluation. The
14 purpose was to collect data that was pertinent to spent fuel
15 transportation in terms of infrastructure limitations and
16 any local travel restrictions. It tends to provide
17 assessment of the current capabilities of each mode
18 throughout, and potential for upgrade to the transportation
19 infrastructure in this case. I would like to emphasize that
20 the study itself does not emphasize which mode or route
21 should be used, doesn't make judgments as to whether
22 particular upgrades should be updated.

23 (New viewgraph)

24 Sources of information for the NSTI study: U.S.

1 Corps of Engineers, particularly with regard to the barge
2 access; the RW-859 forms, the fuel data survey forms that
3 Alan spoke of earlier; AASHTO, American Association of State
4 Highway and Transportation Officials, data sources; detailed
5 state and county maps. USGS 7 1/2 minute quadrangle maps
6 were used. Information was obtained from the state and the
7 county engineers on how things such as traffic densities,
8 accident frequencies, any seasonal restrictions and any
9 future plan changes they could identify through the routes.
10 Discussions were held with utility traffic managers, and in
11 many instances they have had a lot of shipment to and from
12 their sites and were able to provide a lot of information;
13 and as I said, actual site surveys were conducted.

14 (New viewgraph)

15 The routes for and particular facilities that were
16 assessed in the NSTI study in terms of road, the primary
17 route that would be suitable for legal-weight truck cask
18 going from the gate of the facility to the nearest
19 interstate interchanges were studied. The focus here was on
20 minimum distance route. They also looked at an alternate
21 route that might be suitable for a legal-weight truck cask
22 transport from the gate to the nearest interstate. Neither
23 one of these routes should be construed as being an official
24 designated route by the Department, but they were those that

1 seemed logical to the project team in terms of collecting
2 data.

3 They also looked at potential for heavy-haul
4 transport from 125 to 225 ton gross vehicle weight and tried
5 to identify routes from the gate to the nearest rail spur,
6 nearest line-haul rail head -- that is in instances where
7 there is not direct rail service -- and also looked at
8 heavy-haul through the gate where there is potential barge
9 access to points.

10 Rail was looked at in terms of direct rail access.

11 And also, where it is not direct, where there are nearby
12 spurs they also looked at those routes.

13 Then there is existing and potential for
14 development of internodal transfer points. If we want to
15 look at -- heavy-haul to rail and barge were looked at and
16 identified in our data collection effort.

17 (New viewgraph)

18 The items that were imported on the data survey of
19 the roads are shown here. Each of the road routes were
20 driven by the project team and they recorded mileage, lane
21 width, number of lanes, lanes separation, shoulder width,
22 road conditions, surface composition, subsurface
23 composition, noted bridges, narrow size and weight limits,
24 posted weight limits on the roads, and vertical clearance

1 problems.

2 (New viewgraph)

3 On rail spurs -- the survey works from the site
4 where they were transversed by public access roads and
5 collected data on the ownership of the rail spur, its usage,
6 and operational status, the general maintenance condition of
7 it in terms of the condition of the ties and ballasts and
8 the number of traps. Weight restrictions and clearance
9 restrictions were also noted for the rail.

10 (New viewgraph)

11 As I mentioned, they also looked at internodal
12 transfer points for road/rail, for clearance limitations,
13 general site conditions, and existing crane capabilities and
14 potentials for upgrades.

15 (New viewgraph)

16 Barge sites were also looked at, both on site and
17 near to the sites. Clearance limitations, water depth,
18 dimensions were recorded, dock conditions, operations,
19 operational status of the installed equipment, and, again,
20 potential for upgrades and whether they felt there was a
21 potential for roll-on/roll-off access to barge.

22 (New viewgraph)

23 That describes to you some of the data that was
24 collected. In terms of results, what I will present now is

1 preliminary findings from the summary report, which, as I
2 mentioned, is still in draft form. Most of the individual
3 site assessments have been completed. They have all been
4 completed in initial draft form. Most of those have been
5 integrated with the individual utilities for their comments,
6 although there are a couple of those that are still
7 outstanding. So there is some potential for some of these
8 numbers to shift a little bit as those numbers are
9 finalized.

10 These findings that I am going to present here are
11 the infrastructure outside-the-fence findings. So we need
12 to keep that in mind in terms of looking at the FICA numbers
13 and NSTI numbers. With regard to the findings on
14 legal-weight truck shipment, the finding is that there is a
15 primary route A which could accommodate legal-weight
16 shipments in all 76 of the sites with an average length of
17 about 25 miles. The route Bs that they looked at for
18 alternatives could accommodate legal-weight shipments at 70
19 of the sites. There are six for some, but one identified as
20 the primary route. Three additional sites could be added to
21 that list if upgrades were implemented. Then there were
22 three that there did not seem to be a suitable route through
23 at all, the route being in distance slightly longer, an
24 average length of 30 miles.

1 (New viewgraph)

2 Overweight shipments: What they looked at here
3 was the possibility of about 65 ton gross vehicle weight.
4 The finding here is that route A -- which again was most
5 times a minimum distance route to the nearest interstate --
6 could accommodate the overweight shipment at 69 of the 76
7 sites. Five additional sites could be added to that
8 category if upgrades were implemented. Then there were two
9 sites that were not considered feasible for an overweight
10 truck.

11 Looking at route B as a back-up, or an alternative
12 for route A, the numbers drop slightly to 62 sites with 8
13 additional. And as I mentioned earlier, there were three
14 that had no feasible route B, and then three additional
15 route Bs that had weight limits that would preclude
16 overweight shipments.

17 (New viewgraph)

18 Turning to rail, the NSTI findings.

19 (New viewgraph)

20 Of the 76 sites surveyed, 53 were found to have
21 on-site rail capability, 49 of those extending to the cask
22 receiving area. The other 23 sites then either never had
23 rail service or it was considered no longer viable within
24 the limitations of the upgrades understood in this study.

1 The upgrades that they considered here had a limitation in
2 terms of the physical cost, in terms of \$200,000. So that
3 is how they came up with the number of 53, and 23 that did
4 not look feasible. Of the 53, 36 of those are currently
5 usable, and 24 of those 36 extend to the cask receiving
6 area. The remaining 17 of those 53 would require some
7 upgrading before use, with an average cask to upgrade of
8 \$75,000. That would involve items such as clearing asphalt
9 from the track or replacing sections of the track. Then 21
10 of the 23 sites that were judged to not have rail service
11 were judged to have the capability for heavy-haul transport
12 to an off-site rail facility nearby. The average route
13 length to that transfer point is about 16 miles.

14 (New viewgraph)

15 Turning to the findings on barge, 17 of the 76
16 sites were found to have barge capability on site with
17 operational facilities on navigable waterways. An
18 additional 24 were judged to have the potential for being
19 upgraded to being capable for barge access. At 35 sites,
20 barge was not judged to be practicable within the limits of
21 the NSTI study.

22 (New viewgraph)

23 Putting that altogether, you get a chart that
24 looks something like this. And again, this is based on 76

1 sites, not on 122 facilities where you have multiple
2 facilities on a site or on adjacent sites. The numbers are
3 cut down for NCI purposes 122 to 76. As I mentioned, the
4 major conclusion is that from a transportation
5 infrastructure point of view, all the sites would be able to
6 ship a legal-weight truck. Now, if you think back to the
7 FICA, that tells you in terms of limiting factors within the
8 gate rather than outside of the gate as being the control
9 experience.

10 One conclusion that is difficult to draw from
11 looking at this, but what is contained in the report, is
12 that in all cases, the near site transportation
13 infrastructure would be able to ship a rail/barge cask by at
14 least one load; by that I mean either by rail or barge or by
15 heavy-haul transport to an internodal transfer point. I see
16 numbers here for route A and B and for the onsite and
17 offsite rail/barge hauls.

18 Those are the basic summary finding of the NSTI
19 report.

20 (New viewgraph)

21 What I would like to move on to now is the
22 preliminary look at putting some of this data together and
23 what that means in term of modal mix, because that is a
24 question that people are always interested in in terms of

1 what a modal mix will do. I don't think I am going to
2 answer that question today, but I will give you some
3 perspective as to what we have learned through today.

4 It is difficult looking at the bar graph I just
5 had out in terms of ferreting out which of the sites have
6 multiple access. We know they all have road access. If
7 they have rail, do they also have barge? Are they counting
8 the barge number? Or is it solely barge? It is difficult
9 to put all that together. So what we did was a preliminary
10 assessment using the site specific data collected from the
11 FICA and NSTI studies trying to come up with an assessment
12 of what the shipping capabilities are for each of the sites.

13 (New viewgraph)

14 For this particular analysis we looked at the
15 Initiative I shipping casks only, so there are some
16 exceptions to the rules that could be handled with other
17 existing casks or other casks. We considered all modes, and
18 again, as Chris already mentioned, I would like to emphasize
19 -- and I will hit this point a couple of times in the
20 discussion here -- that the utilities will ultimately be
21 selecting the shipping mode. They will be putting a
22 proposed shipping mode and a delivery schedule, and the
23 shipping mode will also appear on their final delivery
24 schedules. So we hope to work with them through the process

1 that Alan has described in terms of coming to a common
2 understanding of that, but ultimately the decision is in the
3 hands, as Dr. Chu discussed earlier, of the utility.

4 (New viewgraph)

5 For this assessment we looked at, again, current
6 capability and looked at current cask handling and shipping
7 capability using the FICA and NSTI data for the Initiative I
8 cask. Now, that is a slight difference then, FICA, which
9 looked at the FICA cask parameter. We actually took another
10 look at the data using Initiative I cask parameters here.
11 There is also some consideration given to looking at limited
12 technical specification changes, mostly related to water
13 depth.

14 The other level of capability that we looked at
15 was under small modifications with minor on-site
16 modifications or reanalysis to the test specs, or minor
17 operating licensing revision with a cost limit of \$50,000.
18 These cost numbers, as I should mention with the other
19 numbers I indicated with FICA upgrades, do not include the
20 cost of the utility reanalysis that might be needed to
21 support tech spec changes or licensing changes. That would
22 be a little difficult for us to assess the cost estimate,
23 and that is one of the factors the utility had to take into
24 account in terms of deciding whether to do some of these

1 upgrades.

2 (New viewgraph)

3 We also looked at larger than small modifications,
4 but for the purposes of this presentation I will call them
5 moderate modifications. I don't know if it is right to
6 refer to something between 50K and 500K as moderate or
7 large, but for the purposes of this discussion -- we have
8 another category of "large" beyond this which I am not
9 ignoring, and that is why this is called moderate.

10 Again, here we are looking at modifications
11 basically where it would involve modifications to the
12 operating license and broader technical specifications and
13 modifications. But again, know for this level here that it
14 was not assumed to get into a level of operation license
15 changes that would require a public hearing process. So
16 that was one of the dividing lines in terms of calling it
17 moderate or beyond moderate.

18 (New viewgraph)

19 Again, we looked at all potential shipping modes.

20 One of the things that hasn't been done too closely in the
21 past is consideration of internodal transport. People have
22 tended to ask us what our rail/truck split is. We took an
23 attempt here to look at heavy-haul as well. In trying to
24 sort through all of the data, it becomes difficult to come

1 up with a single number of modal mix because of the fact
2 that, again, utilities will be responsible for choosing the
3 shipping mode, but also because it is difficult to assess on
4 a global basis what particular situation might be at a site
5 as to whether it is on the verge of being a truck or rail
6 site, as to where it might fall.

7 For this analysis, we assumed that rail would be
8 the preferred mode of shipment in terms of coming up with
9 some numbers, that going along with our philosophy that
10 where we could go rail, we would like to go rail. Certainly
11 certain utilities would have their own reasons and
12 preferences for going truck instead of rail. If rail was
13 not available, we then looked at heavy-haul to a nearby rail
14 site, looking at the NSTI rail site data. That not being
15 available, the next preference was heavy-haul to a barge
16 site. If none of those modes seemed feasible for a rail
17 cask, then to legal-weight truck. Both on-site and off-site
18 heavy-haul capabilities were considered. The first number I
19 will show you -- and then I have another set of numbers
20 looking at this on-site. Again, I will emphasize that I am
21 not trying to support shipping modes in any order. These
22 numbers are to give you some idea of how the numbers play
23 out.

24 (New viewgraph)

1 Using those definitions I just described on
2 current and small modifications and moderate modifications
3 and giving the preference, as I just described, to rail
4 followed by heavy-haul rail and barge to legal-weight truck,
5 these are the results of our preliminary assessment of the
6 FICA, NSTI data. That will tell us that under current
7 capabilities we have 29 sites directly served by rail, 34
8 sites where we could heavy-haul a rail cask to a nearby rail
9 transfer point, 6 sites where we could heavy-haul from a
10 reactor facility to a nearby barge site, for a total of 69
11 sites that could be potentially served by BR-100 rail casks.

12 Again, those numbers could change a little bit if
13 I looked at adding IF-300, as has been discussed several
14 times today, which would bring the number up a little bit if
15 I was looking at that. But for this particular analysis, it
16 is just the BR-100. That left us, then, with 37 sites where
17 we would ship by legal-weight truck, and under that
18 definition I gave of current capabilities, 15 would
19 currently have no capabilities, for a total of 121. Now, if
20 you recall, Alan showed it was 122 facilities. We did not
21 include Fort St. Virain as a reactor. We are just looking
22 at the Initiative I casks, so we subtracted that from the
23 data base and looked at the other 121 facilities.

24 Again, as you saw the previous charts, if you

1 start looking at modifications, the capabilities go up.
2 Direct rail goes from 29 to 53 up to 73. Heavy-haul rail
3 goes from 34 to 40 to 23. Barge goes from 6 and goes up to
4 10. If we had looked at heavy-haul to barge as a preference
5 over heavy-haul to rail, the barge numbers would be
6 slightly higher. They are lower here because we assumed
7 that if you could have the haul to rail, you would do that,
8 in preference to heavy-haul to barge. Again, particular
9 additions may dictate a specific site that we would use, but
10 that is what these numbers are based on.

11 On a legal-weight truck, the numbers go down
12 because what is happening as you look at the possibility for
13 doing either your on-site or off-site modifications to
14 either the facility or the transportation infrastructure,
15 more become rail capable and so then there are less left in
16 this screening that fall into the legal-weight truck line.
17 The "no capability" drops then to one and then to zero.

18 DR. CHU: What is the meaning of the third column,
19 again, "If Small Modifications Made"?

20 MR. CONROY: That would be doing everything that
21 we have done to get to the second column, which was the
22 small modifications, which would be on-site mods for
23 reanalysis, minor operating license revisions, as well as
24 the moderate modifications which were some additional

1 modifications or revision to operate the license.

2 DR. CHU: Moderate with respect to license? Not
3 moderate with respect to the dollar used?

4 MR. CONROY: Also to the dollar. The "small"
5 column had an assessed limit of 50,000 and 500,000 for the
6 third column. Again, on top of that you would have to add
7 the utility's costs for reanalysis, which might affect the
8 feasibility of doing so.

9 So that gives you one potential set of numbers in
10 terms of trying to look at what a modal mix might be in
11 terms of -- you can see it is not a simple matter in terms
12 of answering how many are rail served sites. It is highly
13 dependent on what utilities and the Department come to
14 conclusions on in terms of: Do we want to do heavy-haul
15 on-site? Do we want to do heavy-haul off-site? Do we want
16 to do some of these modifications or not?

17 So the number of rail served sites, I can give you
18 a low number here of 29 to a high number of 106. The final
19 answer would probably be between those two numbers, but I
20 can't guarantee you it would fall below or above that range.

21 MR. KOUTS: What I think Mike also didn't touch
22 on, but certainly when you begin talking about heavy-haul
23 off-site, either to a rail or barge area, you are dealing
24 with institutional considerations around the site. Those

1 could weigh also as to whether or not you would want to
2 pursue a certain course. So between the 29 and 106, the
3 institutional factors also take play besides just the
4 technical ones.

5 MR. CONROY: And to look specifically at that
6 issue, Chris -- look at the next slide.

7 (New viewgraph),

8 That indeed would be a factor. So we said: Well,
9 what would happen if we said we didn't think that heavy-haul
10 off-site might not be an attractive option? How do the
11 numbers change if we just look at heavy-haul on-site? And
12 the numbers for that change are shown on the next page.

13 You see then that the heavy-haul rail number
14 current has dropped from 34 to 19, "if small modifications"
15 is up from 40 to 17, and the moderate mods is dropping 23 to
16 5. Because when you subtract out the off-site rail, that
17 then brings barge more into play. And looking at the
18 on-site barge potential, those numbers go up from the
19 previous one because we haven't filtered out those sites as
20 being heavy-haul off-site rail. Some of those that would be
21 heavy-haul off-site rail also have the capability for
22 on-site heavy-haul to a barge.

23 The total then for the rail cask go down slightly
24 in this analysis, and so correspondingly the truck numbers

1 go up. I notice 21 went up the column a little bit. But
2 that is how the numbers come out in that assessment. Again,
3 if you look at some of the other institutional factors and
4 some of the particular needs of each of the utilities, those
5 numbers would change.

6 (New viewgraph)

7 In summary, in terms of where we are now, both the
8 FICA and NSTI summary reports are in final preparation and
9 should be out this year. We need to do further analysis of
10 the NSTI data and the FICA data. What I presented to you
11 here today I would certainly characterize as a preliminary
12 assessment of that data. To the extent we could, we have
13 looked at each of the sites, but further analysis on that
14 site-specific basis will cause some of those conclusions to
15 change.

16 Emphasizing that we do need to look at things on a
17 site specific basis, these numbers give you global
18 oversight. But we do need to look at a site specific basis,
19 and Ron Pope is going to be talking about our site specific
20 transportation service planning documents that are
21 incorporating the data that we have collected from the FICA
22 and NSTI studies.

23 Another important activity will be the receipt of
24 the delivery commitment schedules, which Alan referred to

1 earlier, that will begin to give us the utility input as to
2 their proposed shipping. These are guesses in terms of how
3 -- if you laid a preference structure like the one that I
4 have concocted here for this analysis, you get one set of
5 analysis. When you look at what the utilities actually
6 prefer, you may get a separate set of numbers. We will
7 start getting those proposed shipping loads and delivery
8 schedules. Again, I emphasize, as Alan did, that we need to
9 continue to interact with the utilities in development of
10 our plans for transportation.

11 I'd be happy to answer any questions.

12 DR. PRICE: As I understand the way things could
13 be, a utility determines the cask, which then determines the
14 mode; is that correct? Or determines the mode and the cask?

15 MR. KOUTS: I think the simplest way to think of
16 it is the utility tells us what kind of cask they want,
17 whether it is rail cask or a truck cask. They may well
18 handle the cask on-site in whatever manner they feel
19 comfortable with. If they want to move it off by barge,
20 then we will take it by barge. If they want to move it off
21 by heavy-haul, or if it is a rail cask and they want us to
22 move it off by rail and there is an on-site rail storage, we
23 will end up doing it that way. Basically we have to deal
24 with how the utility wants to move the cask off the site.

1 Then once we are off the site, then we have our options in
2 front of us as to how we want to transport it to one of our
3 facilities.

4 DR. PRICE: As I understand DOE's position they
5 have no influence in this other than the good graces of
6 common interest?

7 MR. KOUTS: Well, we feel we do have an interest.
8 What I was going to say as a follow-on effort to Mike's
9 presentations here, one of the things we want to do this
10 coming year is to sit down with Alan through the ACR issue
11 resolution process and get some insight from the utilities
12 as to how they want to view infrastructure improvements on
13 their sites, either in consideration of upgrading their
14 capabilities on site or in consideration of the
15 infrastructure around it.

16 I think we need to get some input from utilities
17 from a policy perspective and then from there -- of course,
18 there is an issue of money here and where the money comes
19 from. That is an issue that has to be dealt with. But once
20 that is done, and if the general policy of the utilities is
21 determined and the Department is determined, then we will
22 work individually with the sites and come up with something
23 that will hopefully be the most efficient mode of shipment.

24 DR. PRICE: That hope is really the mark of my

1 comments because as I understand the way things are now, if
2 a utility decided that in their interests a barge is the
3 best way and they deliver it to a barge at their site, it is
4 yours and then you have to determine how you get it off that
5 barge because you have got to get it off the barge to get it
6 to -- if it is Yucca Mountain, there are no barges you are
7 going to pull up the desert in.

8 MR. KOUTS: That's true.

9 DR. PRICE: And so that adds facilities and
10 handling and complexity to it if they should elect that.
11 And wouldn't it not also be true that if it is in their
12 convenience that they elect a barge, they could do so even
13 if they had rail service to the facility?

14 MR. KOUTS: If that is the method they want to
15 move it off their site, there is very little the Department
16 could do. We could be waiting at the rail spur and the cask
17 could be on the barge on the river.

18 I do want to portray here that we have a good
19 working relationship with the utilities. I think there are
20 efforts on both sides to try to move these materials in the
21 most efficient and safe manner possible. What we are
22 representing to you here is what the contract tells us and
23 what we have done to assess the infrastructure. The next
24 step is to sit down across the table and talk to the

1 utilities as a body, if you will, and then individually make
2 sure that we are going to be shipping in the most efficient
3 manner.

4 I am confident that we will work through any
5 differences and come up with the best manner. There are
6 dollars and cents involved, there are questions of who pays
7 for it, and there are questions of the preference of the
8 utilities in terms of how they operate their site. These
9 are all things that we have to work with on a case-by-case
10 basis. We are prepared to do that. And now with the
11 infrastructure work initially completed, we will be in a
12 position to begin those more detailed discussions, not only
13 from a policy standpoint but also on a site-to-site basis.

14 DR. PRICE: Thank you.

15 MR. KOUTS: Dr. Price, do you want to take a
16 break?

17 DR. PRICE: Let's do. Let's meet back at 3:00
18 o'clock.

19 (Brief recess)

20 DR. PRICE: Let's return again, please.

21 Our next speaker is Ronald Pope.

22 MR. POPE: Thank you.

23 The two previous speakers have done a very good
24 job in setting the stage for what I will be talking about.

1 I would ask you to hark back in your thoughts to what Alan
2 Brownstein and Michael Conroy have said about the
3 requirements of the contract and then the results of the
4 evaluations that have come out of the FICA and the NSTI
5 efforts to date.

6 (New viewgraph)

7 When it comes to actually operating a cask system
8 out of these facilities, projected to start in 1998, it is
9 going to be a very complex operation. Just to give you some
10 numbers that have come, again, from what you have just
11 heard. There are 66 owners of facilities having some 80
12 contracts with the DOE for the services. That represents
13 122 facilities operating out of 76 sites. I don't have the
14 exact number off the top of my head, but it is about 100
15 different cask loading stations that will have to be
16 serviced by the cask fleet.

17 In addition, if you will think about the
18 complexities that were highlighted by Alan Brownstein's talk
19 that are introduced to the system as a result of the
20 contract in terms of the flexibility that is available to
21 the purchasers, the owners of the fuel, and that DOE will be
22 servicing these according to the allocation of delivery
23 rights and the final selection of fuel and so on, with the
24 intervening possibility of the exchange of delivery rights,

1 the system will have to be very flexible. As a result, we
2 are trying to put into place, or help DOE put into place, an
3 ability to service that in an efficient manner.

4 Also harking back to what Alan pointed out, DOE
5 will be the guest on-site, if you will. But DOE has the
6 responsibility to provide the cask, cask system, the
7 ancillary equipment, the training and procedures that will
8 allow that spent fuel to move from the site. The waste
9 owner loads the cask and then DOE accepts that cask at the
10 fence boundary.

11 What we have been trying to do and what I will be
12 talking about here is to start the development of a series
13 of documents that will assist DOE in interfacing its cask
14 system with each of these casks loading facilities.
15 Initially we are aiming at developing what is known as a
16 service, or planning, document for each of the cask loading
17 facilities. Ultimately it is envisioned that these will
18 transition in what we call site specific service plans, and
19 then ultimately can entertain the plans as you schedule a
20 specific movement of fuel using a site cask from a given
21 site.

22 (New viewgraph)

23 The first stages of the development of the SPDs
24 has been initiated and is well underway at this point. We

1 view the SPDs, services planning documents, as precursors to
2 the site specific service plans. It is envisioned that
3 these will bring together in a single document the
4 transportation cask systems, the facility, the site, and the
5 local transportation infrastructure information needed for
6 the planning of shipment from a given site. These will be
7 developed on a priority basis based on those facilities that
8 we can expect to be serviced first, and based on the
9 allocation of delivery rights.

10 (New viewgraph)

11 The SPDs will support the identification and the
12 resolution of not only the technical, but the operational
13 and the institutional issues that can arise as we try to
14 bring cask systems into the different sites and in an
15 unloaded state and then move them to a site in a loaded
16 stated. It will also help in the interfacing of that cask
17 on the site in terms of the actual loading process. As I
18 said earlier, these will serve as precursors to the
19 follow-on site specific service plans.

20 (New viewgraph)

21 The next viewgraph does nothing more than
22 graphically depict the various sources of information that
23 we are utilizing to feed the SPDs. And I might digress here
24 to point out that our view of the SPD is it is a document

1 that will not formally be published and made available to
2 the world for consumption; it is a working tool to be used
3 between DOE, the people that will be operating the casks
4 off-site, and those purchaser/employees who will be
5 operating the casks on-site. So we have an interface
6 document that resolves the problems that may be inherent in
7 trying to operate the cask systems.

8 Therefore, we would plan to initially produce
9 these SPDs and then use them as a tool to establish dialogue
10 with the purchasers and let that then result in updates to
11 the SPDs, and as you will see later, transition into the
12 other document that will be used for actually running the
13 operation.

14 (New viewgraph)

15 We are focusing on defining some of the terms you
16 saw in Alan's presentation earlier, focusing on trying to
17 define which cask or casks may be suitable for use at a
18 given facility. We are looking at what are the cask
19 handling requirements at the facility and how can that cask,
20 or those casks, be transported off-site and to the nearest
21 rail head or interstate highway, part of the national
22 transportation network.

23 The SPDs will support the early planning
24 operations, will help guide the acquisition of the cask

1 system and the cask fleet, the development of the
2 procedures. I might point out that it is envisioned that
3 initially you will have generic procedures on how to handle
4 the casks on site. Those will then be handed off to the
5 individual facility operators, and they in turn will then
6 have to make them site specific, to adapt a generic set of
7 procedures to their own specific needs and requirements.

8 As I have also already indicated, it is viewed
9 that the SPDs can serve to initiate the dialogue that we
10 feel is needed to make sure that we have resolved the
11 problems that may be inherent in trying to operate these
12 casks for each specific site.

13 (New viewgraph)

14 The plans are to try to have -- and at this point
15 I can't say that I can guarantee that we will succeed -- but
16 our plans are to try to have an SPD in its initial draft
17 form available for DOE to use in talking with the utilities
18 when they first have an approved delivery commitment
19 schedule from that facility.

20 For each facility, as I have said, the SPD will
21 give our best judgment of the type of casks and modes of
22 service that are possible at that facility. In addition, it
23 will identify the constraints that might exist on the use of
24 those casks, identify the special equipment that will be

1 required for cask use, any other requirements that may
2 exist, and also we will look at, and are looking at, the
3 compatibility of the spent fuel from a geometric standpoint
4 with the casks that are being considered.

5 (New viewgraph)

6 In addition to identifying those casks that are
7 currently suitable for use, we are looking at what
8 potentials there are and what improvements there are for the
9 use of larger casks. All of this was talked to by Michael
10 Conroy in the last presentation, but I would point out that
11 the results of the evaluation he gave you was a global look
12 at things; whereas, the SPD takes a team of people who have
13 their hands dirty, they have actually been out and they are
14 experienced in operating casks, they are experienced in
15 working in the reactor environment, and they look at it for
16 about a week with all of the available information and data
17 they have at hand to develop an SPD. And that gives us a
18 much clearer view of what is possible within that facility.

19 The SPDs are being compiled from the list of
20 information that you see here at the bottom of this slide,
21 including the FICA data, the FICA backup data, results of
22 the NSTI study, RW-859 data, and educational background
23 capacity reports, Federal Register. Periodically our people
24 go out and actually refresh their memory or see other

1 operations or facilities where they don't have experience,
2 and that is brought to bear within the preparation of the
3 SPDs.

4 We keep track of whatever information is available
5 from the industry, their own personal knowledge. As I say,
6 we are using people who have had experience in operating
7 casks and facilities, and where possible, we are actually
8 involving industry sources to prepare this information.

9 What is our current status?

10 (New viewgraph)

11 Our current status is that over the past some
12 months we have worked as a team to put together an
13 acceptable format and method of developing these SPDs and
14 the level of detail that should go into the document. By
15 the end of next week we will have produced the first 20 of
16 these SPDs and deliver them to DOE. The plans are then to
17 continue the development using this process of additional
18 SPDs at the rate of approximately two per month beginning in
19 October of this year.

20 (New viewgraph)

21 DR. PRICE: What is the high priority?

22 MR. POPE: The high priority facilities that we
23 have talked about there is based on those who can be
24 expected to deliver schedules during the early years based

1 on the allocation of delivery rights. We have not tried to
2 project how they might request exchanges. We have just
3 strictly looked at the allocation, picked the top level
4 ones.

5 MR. KOUTS: It comes right out of the APR.

6 (New viewgraph)

7 MR. POPE: The long-range plans I have already
8 referred to; that is, these will ultimately lead to what we
9 call site specific service plans, a document that will be
10 the tool that the cask operators in the plant will know how
11 to handle that given cask, or those casks, depending on what
12 has been worked out there. They will be developed from the
13 SPDs, the dialogue that we have had, the delivery of the
14 schedules, and whatever data we have available on actual
15 spent fuel and nonfuel assembly hardware that is scheduled
16 to be delivered.

17 I can say nothing more than, really, than our goal
18 is to provide a basis for agreeing between DOE and the
19 purchaser about what cask should be used at that facility.

20 (New viewgraph)

21 The next viewgraph just gives a flowdown chart of
22 what is envisioned, from the time the DCS has approved, at
23 the top, down to the bottom here where we transition from
24 SPDs to the site specific service plans, a one-time document

1 that says how we are going to function at that facility, and
2 then the generation of the specific campaign plan that would
3 define number of shipments per campaign during a given time
4 period.

5 (New viewgraph)

6 In conclusion, then, site specific service plans
7 will come out of the activities that we now have going on
8 with SPDs. They will address the full range of issues that
9 you see listed here, including the operational requirements,
10 the schedules, defining the cask, and other equipment.

11 What are the personnel needs and how do we train
12 the personnel? One of the items that is rather interesting,
13 as Alan said, is that we are guests on the site, at the
14 purchasers' facilities. We need to establish some type of
15 protocol for the OCRWM personnel to be on-site in an
16 expeditious manner. What is the routing from the
17 facilities? You have heard the discussion earlier about the
18 many options available in terms of legal-weight, overweight,
19 heavy-haul transfer to rail barge, heavy-haul to rail, or
20 direct rail. All of that needs to be sorted out on a site
21 specific basis.

22 How do you comply with regulations and other
23 requirements? What are the emergency response needs? It is
24 our view that over the next four to six years this can all

1 be accommodated on a site specific basis with the
2 development of the SPDs.

3 Any questions?

4 (No response)

5 MR. KOUTS: If we could move along, thank you,
6 Ron.

7 I would like to reintroduce Michael Conroy, who is
8 going to be talking about basically the process we will be
9 going through for our logistical planning. Building on
10 Ron's presentation, Mike will take you through the
11 long-range and the near-term development efforts that we
12 have taken.

13 MR. CONROY: Thank you, Chris.

14 Chris mentioned that I will be talking about
15 logistical planning activities, and some of what I have to
16 say will overlap a little bit with what Ron was saying. He
17 was describing the vehicle in terms of the document that
18 will be used for doing some of these activities.

19 (New viewgraph)

20 By logistical planning we are talking about those
21 activities designed to provide for the movement of spent
22 fuel or high level waste from vendor to sites to a specific
23 facility. You can view that as being conducted in two
24 phases: long-range, beginning approximately five years

1 prior to shipment; and campaign planning, which would begin
2 one year prior to shipment. It differs from the operational
3 planning that we have been conducting to date, which we have
4 been describing a little bit this afternoon, in that it is
5 site specific. We will start to get into that with the
6 activities Ron has described.

7 (New viewgraph)

8 One can view long-range logistical planning as
9 beginning with the submittal of a delivery commitment
10 schedule to the Department, which we have touched on several
11 times. The approved delivery commitment schedules will
12 provide some key information to allow us to begin logistical
13 planning on a long-range basis. It will identify specific
14 reactors with facilities from which we will be expected to
15 ship spent fuel -- purchasers will be identifying those --
16 as well as proposed delivery dates and shipping modes and
17 the maximum number and type of assemblies to be shipped
18 along with range of SNF discharge dates.

19 (New viewgraph)

20 As we then get that information and begin
21 long-range logistical planning, the kinds of activities that
22 we will be doing is developing detailed and site specific
23 documents, and Ron has just described our initial efforts on
24 that and how we will be proceeding. We will also need to be

1 coordinating with the development of planning acceptance
2 schedules for the waste management facility to be an MRS or
3 a repository.

4 We will need to develop, as required, site
5 specific auxiliary handling equipment to go along with the
6 particular cask for the particular sites. We will be
7 coordinating with the institutional program in the
8 identification of transportation corridors for the purposes
9 of 180(C) assistance program, which Susan described this
10 morning. And also another activity is we provide assistance
11 as requested to the waste owners in the development of their
12 site specific procedures for handling our casks. As Ron
13 mentioned, we will be dealing with cask specific procedures,
14 but the utilities will have to do their own site specific
15 procedures.

16 (New viewgraph)

17 We will also be looking at developing planning
18 shipment schedules by year based on the approved delivery
19 schedules and site specific information, and from all that
20 begin to develop actual modal and cask requirements as
21 compared to the kind of longer range assumption-based
22 activity I showed you a little while ago.

23 (New viewgraph)

24 Campaign planning is a shorter term function as

1 compared to long-range logistical planning. It would begin
2 with the purchaser submittal of the final delivery schedule,
3 which as Alan mentioned would be about 12 months prior to
4 delivery. An approved final delivery schedule provides us
5 additional key information to allow us to begin campaign
6 planning. It will identify the shipping load that we will
7 be using, specific delivery dates, and also provide other
8 changes and updates in the information that had previously
9 been provided in the delivery commitment schedules.

10 (New viewgraph)

11 As we then get into the logistical campaign
12 planning, the kinds of activities we will be conducting will
13 be planning for cask specific operational training for
14 personnel at the utility and other sites, and handling the
15 casks that will be used, preparation of safeguards plans,
16 development of annual shipment and receipt schedules for the
17 waste transportation system, and coordination with the
18 facility schedules, and development of annual cask and
19 carriage requirements to operate the transportation system.

20 (New viewgraph)

21 We will have to develop campaign equipment lists
22 and field service personnel requirements to support those
23 campaigns, and we will be conducting preshipment management
24 planning.

1 (New viewgraph)

2 Under pre-campaign support activities, those
3 encompass what you see on this slide, beginning with
4 completion of hands-on training of waste owner personnel in
5 specific cask operation, and then the DOE supplied
6 equipment. That is a requirement under the terms of the
7 standard contract, that the training will provide an
8 opportunity to evaluate specific site operational
9 requirements and may included dry runs and prototype casks
10 and mock-ups of plant operational procedures that have been
11 developed for those casks.

12 Finalization of site specific planning documents,
13 the site specific service document. As Ron described, the
14 SPDs and the SSPDs will be continuously updated providing
15 the most current information and provide a basis for the
16 coordination with the sites.

17 Site access training for field service personnel
18 will enable us to have those personnel on-site, in some
19 cases, if done properly, in an unescorted manner to observe
20 loading operations. That would be on a site specific basis
21 and would require training in security, emergency response,
22 radiation work, site procedures.

23 Delivery and setup of site-specific auxiliary
24 equipment supplied by the DOE would be the next step. We

1 may be required to provide certain equipment to make sure
2 the interface with the cask system and the utility
3 operations is appropriate, including such items as hook
4 extenders, crash pads to comply with cask stop requirements,
5 and other special handling equipment that might not be
6 required for general cask operations at other sites.
7 Equipment will need to be delivered, installed, and tested
8 prior to use in the actual shipping operations.

9 (New viewgraph)

10 Also under pre-campaign support, we will be
11 looking at final route selection in accordance with NRC
12 security requirements and DOT guidance and in coordination
13 with carriers. With regard to the rail routing, we will be
14 keeping an eye on the DOT's activities in that area, and
15 developing a written criteria in the absence of DOT
16 regulations, if those are not developed.

17 We need to provide advanced written notification
18 to the NRC ten days prior to shipment date, and that is in
19 accordance with 10 CFR Part 72. And any changes to shipment
20 itinerary would need to be provided to the NRC as well.

21 We would also need to provide advanced
22 notification to state governors or designees seven days in
23 advance of the shipment date. That could be in accordance
24 with 10 CFR part 72 as well. It would need to have

1 notification postmarked seven days in advance or delivered
2 four days in advance by messenger. Any other arrangements
3 for additional physical security for in-transit would also
4 have to be conducted as a pre-campaign support activity.
5 Also involved would be looking at the use of escorts who are
6 needed, in setting up the required capabilities for escorts
7 to be able to communicate with the proper authorities, and
8 developing plans for immobilization procedures and for other
9 securities measures.

10 MR. KOUTS: Just before you leave that slide,
11 Mike, in keeping with Susan's discussion earlier this
12 morning, we did indicate that there is a departmental change
13 to also notify tribal governments of the shipments. This
14 reflects the present NRC regulations, which we are hopeful
15 will be modified certainly by the time we ship. So if we
16 are shipping through tribal lands, we will also be allowed
17 under the regulations to also notify the tribal governments.

18 (New viewgraph)

19 MR. CONROY: That, then, is an outline of those
20 activities that would be conducted prior to the initiation
21 of a particular shipment campaign.

22 (New viewgraph)

23 We then get into, for a particular shipment within
24 a campaign, the preshipment activities that would need to be

1 conducted, beginning with delivery of empty shipping casks
2 that we would need to provide under the terms of the
3 contract, observation of the utility or waste owner loading
4 operations. Again, under the terms of the contract, as
5 shipper, DOE has the responsibility to verify that the casks
6 have been done properly prior to providing certification to
7 the DOT, that the shipment meets all DOT requirements.

8 Review and verification of the supply
9 documentation from a waste owner would be the next step. A
10 number of documents will be provided, and the Department
11 will have to arrange for the verification of those
12 documents, then arrange for the actual outgoing carriage.
13 Then the final step and the pre-shipment activities are to
14 accept the cask F.O.B. for shipment from the waste owner
15 into transit.

16 (New viewgraph)

17 Looking at actual shipment then, there is the
18 preparation of a shipment documentation, which I just
19 mentioned. The shipping papers would include a description
20 of the material being shipped, driver and crew instructions,
21 emergency response procedures, physical security procedures,
22 radiation contamination surveys, additional placards and
23 labels and other information that might be required by the
24 receipt facility.

1 Another activity would be to inspect the
2 conveyance and transport vehicle prior to departure. The
3 Department will likely do that in addition to any
4 inspections done by state or federal agencies. The
5 transport crew will be briefed prior to departure to ensure
6 that they understand their responsibilities and have the
7 latest information at their disposal. Then the final step
8 prior to an actual shipment is, once the shipment and crews
9 can verify to be in compliance with DOT regulations, to
10 release the shipment.

11 DR. PRICE: Could I ask who briefs the transport
12 crew?

13 MR. CONROY: The particular personnel -- I haven't
14 identified that on here. Most likely we will be dealing
15 with a number of different organizations in terms of how we
16 deal with the carriers. Chris mentioned this morning some
17 of the options that we are going to look at in terms of how
18 we operate the system. We will have a field operation
19 support team at the site representing the Department in some
20 -- exactly and contractually how it will work hasn't been
21 determined yet, but there will be a responsible individual
22 on-site to make sure that the crew is briefed.

23 DR. PRICE: So that would be a DOE contract
24 person, or a DOE employee?

1 MR. CONROY: Right.

2 DR. PRICE: And would brief on-site before the
3 truck left?

4 MR. CONROY: That's right.

5 (New viewgraph)

6 Then we release the shipment and then get into the
7 real activities of moving a shipment, actual transportation,
8 actual physical security in shipment, internodal operations
9 as might be required, and response to any emergency
10 situations, if necessary. Those are all pretty self-evident
11 activities that we have undertaken.

12 (New viewgraph)

13 In support of the actual transport assembly, there
14 will be transport management activities to manage and
15 control the activities. We will have some form of operation
16 control center acting as a single point of contact for
17 in-transit shipments. The exact location and nature of that
18 is still to be developed, but the functions that would be
19 performed there would be to monitor traffic flow status,
20 follow the progress of shipments to support emergency
21 response communications. 49 CFR 172 requires a 24-hour
22 telephone to provide emergency response information on each
23 shipment. The operation center would be coordinating
24 traffic communications to our calling checks, as required by

1 10 CFR 73, and would also cover traffic information and
2 other nonsecurity items, such as the condition of the
3 vehicle, crew, and the shipment.

4 The operation center would also be issuing traffic
5 notices and dispatching orders, authorizing any route
6 changes that might be needed based on road and weather
7 conditions and assistance to the carrier for any in-transit
8 repairs by communicating with repair vendors, and providing
9 for safe havens if required for security purposes.

10 The operation center would also be providing
11 updates to state governors and the NRC, and as Chris
12 mentioned earlier, possibly tribes as well, based on current
13 shipment schedules to keep them updated. Also the operation
14 center would be collecting and filing the required
15 transportation records. NRC requires specific laws for
16 security purposes, and for our own purposes, referencing and
17 files be maintained.

18 (New viewgraph)

19 At the other end of the shipment, then, we have
20 the delivery operations where we will position the cask and
21 transport it. For surveys, there is a requirement under 10
22 CFR Part 20 that the receiving site surveys should, once it
23 arrives on site, be done within three hours. So that will
24 be done at the MRS or the repository.

1 The shipping documentation will then be
2 transferred to the receiving facility, and there would be a
3 debriefing of the transport crew. During the debriefing,
4 any information on the operation of the vehicle or other
5 equipment, any instances that might have occurred during
6 shipment or non-ordinary events will be recorded and
7 maintained.

8 That, then, is a pretty quick walk-through from
9 the stage where we are now in terms of operational planning
10 into long-range logistical planning, shorter range campaign
11 planning, and then what would actually happen during the
12 shipment campaign.

13 DR. PRICE: One of the things we have raised in
14 the past, and it was touched off a little bit by your
15 debrief of the transfer crew -- very glad to see that in
16 there, by the way -- it has to do with the data bases which
17 will be maintained to support or to add to all of this that
18 is going on. Do you have a clear picture of what those data
19 bases would be?

20 MR. CONROY: I would say that we don't have a
21 clear picture of that yet, but I think that it is an
22 excellent suggestion you have made in the past, and we will
23 be looking into that. That is the intent in making sure
24 that those debriefings occur, that the files are kept at the

1 operation center and analyzed for any trend analysis to
2 identify any problems that might be starting to occur, but
3 we don't have at this moment detailed plans for that, no.

4 MR. KOUTS: I think this is also addressed, Dr.
5 Price, in our implementation plan, the human factors area,
6 where we mentioned this morning that that plan addresses
7 this very subject. I think as the system evolves, we will
8 be making sure that is in there, and we will be keeping the
9 types of records that allow us to assess the transits Mike
10 indicated, to make sure that we can identify a situation
11 before it happens and how we can take preventive action. So
12 you have sensitized us and we are making provisions to make
13 sure that is part of it.

14 I would like to introduce our next speaker.
15 Basically the Panel has had a continuing interest in
16 tracking of radioactive material shipments and the plans for
17 our program and how we are going to proceed. As I have
18 mentioned in the past, as we have often briefed you, we are
19 very much following closely what is being utilized for the
20 WIPP shipments. We have asked, in this regard, Lydia Ellis
21 of Analysas Corporation from Oak Ridge, Tennessee to give us
22 a presentation and some up-dated information as to where
23 TRANSCOM is and then some of the recent observational
24 information that they have gathered in tracking of actual

1 shipments.

2 As soon as Lydia is wired up, she will give us
3 that presentation.

4 MS. ELLIS: Good afternoon.

5 I would like to speak to you a little bit, as
6 Chris just said, about TRANSCOM and impart to you just a
7 little bit of background information first and then update
8 you on several of TRANSCOM'S current activities.

9 TRANSCOM is the Department of Energy's
10 transportation tracking and communication system. The
11 primary objective of TRANSCOM is to provide a central
12 monitoring and communication center for DOE shipments of
13 spent fuel, high level waste, and other sensitive high
14 visibility shipping campaigns as determined by DOE.
15 Analysas Corporation maintains and operates TRANSCOM at the
16 TRANSCOM Control Center, known as the TCC, which is located
17 in Oak Ridge, Tennessee.

18 (New viewgraph)

19 The system operates using satellite
20 communications, data base management, computer networks, and
21 commercial telecommunication service.

22 Vehicles being tracked are equipped with
23 QUALCOMM'S only track mobile communication units. Position
24 updates are obtained through satellite translation, and

1 these updates are calculated in the form of latitude and
2 longitude at QUALCOMM'S receiving station in San Diego,
3 California. The receiving station immediately sends this
4 information to the TCC through telecommunications links, and
5 the TCC disseminates this information to authorized users as
6 they log on to the system.

7 (New viewgraph)

8 Our tracking equipment was recently upgraded with
9 an automatic satellite position reporting system. This
10 system uses signals from two satellites and eliminates the
11 use of the Loran-C. Plus we have eliminated any dead spots
12 or areas where positions cannot be obtained accurately, and
13 we do provide our users with accurate position readings.

14 (New viewgraph)

15 The equipment that is installed on the vehicles
16 being tracked consists of three items. The first item is
17 the outdoor unit, with a satellite antenna, and this is
18 usually mounted on the top of the vehicle.

19 (New viewgraph)

20 The second item is the on-board terminal. This is
21 like a small computer that is used by the vehicle operator
22 to communicate with our operators at the TCC and other
23 authorized facilities that communicate with the vehicle
24 operator.

1 (New viewgraph)

2 The third piece of equipment is the communication
3 unit. This unit powers the entire mobile communication
4 system. It acts like a computer, a message handler, a radio
5 and modem all in one. The communication unit is usually
6 installed in the side box of the truck.

7 (New viewgraph)

8 Here we have a picture of a WIPP truck, and you
9 can see the TRANSCOM equipment installed on the truck;
10 actually, the satellite antenna. You can barely see the
11 little white globe on the top of the tractor.

12 (New viewgraph)

13 Where we are tracking these vehicles, we are able
14 to monitor the movement on maps, such as this U.S. This
15 shows four vehicles being tracked, one in Tennessee, one in
16 New Mexico, and one in Illinois and one in Idaho. These are
17 represented by the different colored icons. The color of
18 the icon also indicates the status of shipment: green
19 indicates the situation is normal, yellow indicates that a
20 minor problem has been encountered, and magenta indicates
21 that a more serious problem has been encountered but is not
22 affecting safety, and red means indicates that a safety
23 emergency has occurred.

24 (New viewgraph)

1 In addition to the U.S. maps, we can also use
2 steep maps. You can see interstates and highways. You can
3 also pull up rails and tell county boundaries.

4 (New viewgraph)

5 We can go a step further and view county maps.
6 This map shows the vehicle in Anderson County; you can see
7 "Anderson" is written in the bottom of the right-hand
8 corner. And the icon on the county and the state map
9 provides more detailed information about the shipment. You
10 can see, I believe, 02 inside the box there. That
11 represents the vehicle identification number. The fact that
12 the box is colored in with a solid color indicates that it
13 is a full shipment. If it was an empty shipment it would
14 merely be outlined in the color of the status. The white
15 line at the bottom left of the icon is the position
16 indicator. This is pointing to the road, highway, or rail
17 that the shipment is traveling on.

18 (New viewgraph)

19 Users of the system are able to view the same maps
20 to observe the shipments, and they also derive a variety of
21 other benefits from the system. Users are provided with
22 24-hour access to the system, which supplies them with
23 current shipment information. They can look at maps to see
24 where a shipment is at any given time. They can also look

1 at a map to determine the shipment status, as well as this
2 is locating the bill of lading, and they are provided with a
3 complete bill of lading, which gives information such as the
4 type of material being transported, the activity level,
5 origin, destination, estimated time of arrival, and most of
6 the details associated with the shipment.

7 Emergency guidance information is also provided,
8 and this is taken directly from DOT's Emergency Response
9 Guidebook, and emergency contacts are listed for each
10 shipment also. The users are also provided with information
11 in advance of the scheduled shipments. So this enabled them
12 to provide for any emergency response preparations they
13 would like to before the shipment actually travels through
14 their jurisdictions.

15 The shipment report is available, listing current
16 shipments in transit. And probably the most distinguishing
17 feature of the system is a two-way communication capability.

18 This allows the driver out there on the road to communicate
19 with our operators at the TRANSCOM Control Center at all
20 times, and, as well, other authorized users of the system
21 are able to communicate directly with each other through the
22 network.

23 All TRANSCOM users are authorized by DOE, and they
24 are issued a set of software, a unique password, and user

1 name.

2 (New viewgraph)

3 Our current users include state and Indian
4 governments as well as DOE users. We currently have seven
5 states that have been trained on the software. These
6 include the five states and first-rate utilities, as well as
7 a couple of others. Also two tribes, the Shoshone-Bannock
8 Tribe of Idaho and the Confederated Tribes of the Umatilla
9 Indian Reservation, are also users. We have nine DOE
10 shippers and receivers, five DOE emergency operations
11 centers, two DOE operations offices, of course DOE
12 headquarters, and we have one carrier right now that is a
13 user, and this is Dawn Enterprises. This is the carrier
14 that has the contract to transport all the WIPP shipments.

15 (New viewgraph)

16 Since operations began in September of 1988,
17 TRANSCOM had tracked approximately 116 shipments. This
18 includes 11 spent fuel shipments, 36 cesium, 1 uranium
19 hexafluoride, 65 WIPP demonstration shipments, and the
20 TRANSAX '90 exercise that was conducted in November of last
21 year, as well as 2 rail test units, and the second rail test
22 shipment was completed just last month.

23 (New viewgraph)

24 The decommissioned reactor vessel from Sioux

1 Falls, South Dakota to Richmond, Washington. The shipment
2 was transported on a dedicated train either the size or
3 visibility of the vessel. The vessel weighed 290 tons, was
4 34 feet long, and 18.4 feet high on the rail car. The
5 activity level was 563 curries. The train traveled a total
6 of 1,624 miles through the states of South Dakota,
7 Minnesota, North Dakota, Montana, Idaho, and Washington.
8 The company that owns the power plant where the vessel was
9 removed had approved the travel on the train for the entire
10 trip.

11 At times the crew's primary source communications
12 failed, and TRANSCOM was their only source of communications
13 that they had aboard the train. TRANSCOM was also used by
14 the company to inform the crew of a potential problem with
15 protesters. Luckily, the train arrived at the destination
16 as scheduled without any sign of protesters. But during the
17 shipment, we were able to perform two tests of the system.
18 One tracking unit was installed on the train's business car
19 and operated off the train's electrical current with a
20 battery powered backup, and a second unit was installed on
21 the vessel part sit-up along with a solar powered system
22 that was designed by TRANSCOM personnel. This was our first
23 test of solar power as a self-contained power source. I am
24 delighted to say that both experiments worked out

1 exceedingly well, and we were able to receive position
2 readings for the entire trip.

3 (New viewgraph)

4 Next on the agenda: Probably our most recent and
5 current project we are working on is updating our software.

6 Right now we are preparing to release a new version, 5.0 of
7 the software, and we are in the planning stages right now of
8 making this transition.

9 (New viewgraph)

10 Some of the features of this new software include
11 the print options. We also can print out reports, such as
12 the bill of lading, emergency guidance information, as well
13 as other reports. Also, a unique feature of that is that
14 you will find in the new software that the maps have a trail
15 of the shipments, the movement of the shipments. On each
16 icon you see the last three position readings following the
17 icon, so this tells you which direction the shipment is
18 actually moving, and it will also indicate if the shipment
19 has stopped.

20 Also, we are able to set at varying intervals for
21 receiving position updates. Currently when we set an
22 interval, if we want to receive updates on a shipment every
23 15 minutes, we set this and that receives updates on all
24 shipments that we are tracking for 15 minutes. The new

1 software will allow us, say, for example, if we had three
2
3 shipments out there that we are tracking, we may want to
4 receive updates every five minutes on the first shipment,
5 every 15 minutes on the second, and every hour on the third.

6 The new software will let us do this, instead of the
7 individual report shipment.

8 Also, a comment section has been added, one of
9 those being bill of lading, and this will enable us to
10 provide additional shipment information to the users. If
11 the vehicle has been delayed due to inclement weather
12 conditions, it can tell users right here this information.
13 They don't have to wonder why the truck is stopped.

14 Also, using a mouse is another feature that we
15 have added with the software. A lot of users prefer to use
16 a mouse with their computers. To date, the only way they
17 could use the mouse is when looking at the maps. Now we
18 have enabled them to have that choice of using it throughout
19 the whole menu system.

20 Also, many steps in moving from one option to
21 another have been eliminated, thus allowing faster access to
22 the information. For example, if the user is viewing the
23 maps and wants to go directly to the emergency information,
24 he doesn't have to take several steps to get there. He can

1 hit one key and be there instantaneously.

2 (New viewgraph)

3 The new software is also designed with a more
4 user-friendly configuration. The installation of the
5 software has been simplified, and step-by-step instructions
6 are displayed on the screen. Additional security measures,
7 including password security, has been implemented in the new
8 system. Colored enhancements have been made to make the
9 display of information easier to read, and historical data
10 base has also been added and will be maintained at the TCC
11 to keep a record on past shipments. When viewing messages
12 in the software, the most recent messages will be listed
13 first in sequential order, and automatic message header has
14 also been added to in-coming messages to indicate who sent
15 the message.

16 (New viewgraph)

17 And for the first time our other government
18 agencies users, which include the states and Indian tribes,
19 will be able to retrieve messages for further viewing.
20 Also, latitude and longitude reading will be listed with
21 most recent reading listed first. Then finally, one of the
22 features that particularly our emergency operations center
23 are looking forward to having is global viewing of all the
24 shipment information. DOE headquarters as well as the EOCs

1 will be able to see all the shipment information that is
2 going across the country, instead of just in their
3 particular region.

4 That is our primary function that we are working
5 on right now, the transition of getting the new software out
6 to everyone.

7 I will be happy to entertain any questions at this
8 time.

9 DR. CHU: Does the Department intend to use this
10 tracking system at present on, say, all of the Department's
11 high level nuclear shipments? Like, let's say, foreign
12 research fuel, just to take an example.

13 MS. ELLIS: There are not plans right now to use
14 it on all shipments. The system was designed for, of
15 course, the higher level spent fuel and the high level waste
16 shipments. The DOE headquarters will make decision as to
17 which shipments are tracked. There is not a precedent that
18 all shipments be tracked.

19 DR. CHU: I didn't mean all shipments; I meant a
20 certain number of curies on up.

21 MR. KOUTS: It is really a program call as to
22 whether or not we want to use the TRANSCOM system. It is an
23 individual call by the program that is making the movement.
24 From our perspective, I think we are following TRANSCOM

1 very closely and we want to see it in operation for road
2 shipments, as we have said for a long time, in a consistent
3 manner. TRANSCOM has undergone quite an evolution in the
4 last several years.

5 I guess I have a question for Lydia. You
6 mentioned in your presentation that 116 shipments have been
7 tracked. How many have been tracked with QUALCOM'S systems
8 approach to the Loran-C system? Or can you get those
9 numbers?

10 MS. ELLIS: QUALCOMM originally started with the
11 Loran-C. We updated our new mix just at the end, in
12 December of last year, so the shipments that we have tracked
13 since January of this calendar year, have been tracked with
14 ASPRS, the Automatic Satellite Position Reporting System.
15 And I don't have the actual figure, Chris, but I know this
16 whole fiscal year we have tracked about 70 shipments. So I
17 would say the majority of those have been tracked with
18 ASPRS.

19 DR. PRICE: I don't know whether to ask you or Mr.
20 Kouts here, but what is the status of the security problem
21 with respect to using TRANSCOM as viewed by NRC and DOE? At
22 least I thought that was alluded to earlier, and what are
23 the problems there? I am not sure I understand.

24 MR. KOUTS: It is not so much a security problem.

1 It is that our program is caught in a, if you will --
2 another way to say it is we are directed by the Nuclear
3 Waste Policy Act to follow NRC regulations. The Department
4 has basically taken a position that we will also pre-notify
5 for departmental shipments; not necessarily NRC shipments,
6 but departmental shipments. We will also notify Indian
7 tribes. We are strongly supportive of that position.
8 However, the NRC rules, the physical security requirements,
9 are very specific and do not include the tribes. As a
10 result, in order for us to also pre-notify tribes, we have
11 to reach some arrangements with the NRC that this is
12 acceptable to them from a physical security standpoint.

13 The problem is we are bound by the regulations
14 because the Act told us to follow NRC regulations. The
15 Department is not necessarily bound by those regulations
16 because they are not bound by those regulations for
17 departmental shipments, but our program is.

18 DR. PRICE: But is satellite tracking per se
19 involved in this dispute, and in what way?

20 MR. KOUTS: It has to do with the dissemination of
21 information related to these shipments, related to spent
22 fuel shipments specifically. The NRC has very specific
23 rules on who can have access to that information. TRANSCOM
24 and the concept that a state would have access and track the

1 shipments, it is an issue itself, in our mind, with the NRC
2 as to whether or not we can utilize this system and still
3 comply with their regulations.

4 DR. PRICE: Has the question of scrambling been
5 raised with respect to maintaining security for only those,
6 then, who have the potential to decode?

7 MR. KOUTS: It is not just who gets the
8 information but how the information is protected at the
9 source, also. Basically the governor or his designee of
10 each state is told about these shipments in advance. They
11 are bound by NRC rules to keep this information close at
12 hand. So if, indeed, there is a system that someone,
13 perhaps an individual -- and there are a lot of them around
14 -- who can get into systems, that can get past the security
15 and so forth, that raises a question as to whether or not
16 the system is secure from an NRC standpoint.

17 It is one of the issues with the NRC. I think our
18 major one at this point is whether or not we can actually go
19 forth and notify the tribes in advance. But the side issue
20 of that also is: Would this system be acceptable to NRC in
21 terms of notification? And would it also comply, assuming
22 we had proper safeguards on it, with their information
23 requirements to keep this information of shipments closely
24 held? So there are a couple of issues associated with this.

1 We only face it, again, because we are dutybound
2 by the Act to comply specifically with the NRC rules. I
3 think we want to move very much toward utilizing satellite
4 tracking, using these types of devices, such as TRANSCOM, to
5 get information out there to the right people. We just have
6 to make sure that the regulatory structure allows us to do
7 that. We have a period of time now -- we are talking to the
8 NRC formally about this issue. Hopefully we will be able to
9 resolve this well in advance of the shipments so we can
10 utilize this type of technology.

11 DR. PRICE: And what is the resolution that you
12 are bragging about?

13 MS. ELLIS: The resolution is within a quarter of
14 a mile. Now, this would cross the United States. Actually,
15 the system probably gets better than that in most areas, but
16 this is what the satellite service will guarantee across the
17 U.S.

18 MR. KOUTS: We now, I guess, would like to provide
19 to you our last presentation. Ron Pope is going to get up
20 to the podium again and give you an update on our cask
21 maintenance facility work. Hopefully, as I mentioned
22 earlier, this will prompt your memory to when you visited
23 Sellafield earlier this year and give you some insight as to
24 where we are heading in terms of having our own cask

1 maintenance facility system up and fully operational.

2 MR. POPE: Thank you, Chris.

3 Back in 1987 and '88 a study was undertaken to
4 develop a concept, what we call a feasibility study, for the
5 cask maintenance facility.

6 (New viewgraph)

7 The purpose of that study was to scope out cost
8 and schedule should such a facility be needed. In the
9 meantime we have done a number of other sidebar type
10 studies, and then we have done an update study this year
11 looking at a couple of issues that I will address here in a
12 minute.

13 First I would like to take us back and look at
14 where we have been in the United States and why we think
15 that a cask maintenance facility is needed. Historically in
16 the United States the shipments of spent fuel have evolved,
17 as I think we are all aware, with a very small cask fleet,
18 small shipping programs. There has been no dedicated, full
19 capability cask system maintenance facility available, and
20 as a result of that, the cask system users, the reactors and
21 the receiving sites, have generally provided the space and
22 personnel and resources to provide the maintenance that is
23 required.

24 (New viewgraph)

1 The maintenance has been provided basically at the
2 reactors, at the destination sites, hot cells, and so on,
3 such as Morris and West Valley, Sellafield facility, and so
4 on, and, in some cases, at another third-party's facilities
5 that were available on an as-needed basis.

6 (New viewgraph)

7 The current U.S. maintenance facilities -- and
8 what I mean by that is basically the list I just gave you,
9 and predominantly that is the reactors themselves -- have
10 the necessary license to receive, store, handle, and ship
11 the isotopes that are found in loaded and unloaded casks.
12 They have the system for handling qualified personnel, the
13 radiological controls, the lifting capability of utilities,
14 and importantly, they have the pool, or the hot cell, for
15 getting into the internal of the casks, exchanging baskets,
16 performing maintenance on baskets if they are needed, and
17 the other type of handling activities that are involved in
18 the cask.

19 (New viewgraph)

20 However, when we tried to provide maintenance at
21 these user facilities, the maintenance is constrained for a
22 number of reasons. Generally it is a one-way-in/one-way-out
23 type of operation; they have one location for performing the
24 work. And probably most importantly there is a competition

1 for the resources that are available, and should that
2 operating nuclear power plant have another need for their
3 personnel and such, they will generally get priority over
4 the maintenance of the cask.

5 The bottom word that I have listed here is
6 "incentives." Right now, generally, the facilities that are
7 providing that maintenance are those that are using the
8 cask. And if they want to continue to use it, they have the
9 incentive to work with the cask owner to provide the
10 maintenance that is needed. Once the Federal Waste
11 Management System starts operation, that incentive may not
12 entirely be there. It is conceivable that the facility
13 operators may say, "Look, DOE, that is your problem. You
14 provide that service."

15 (New viewgraph)

16 The feasibility study was performed to define what
17 the requirements were, to develop a concept that would then
18 serve as a basis for scoping out cost and schedule and
19 looking at various design alternatives and options. About
20 30 different issues were addressed in the feasibility study.

21 I might also indicate that the study was
22 performed based on what I would call a set of generic
23 requirements, based on our knowledge of the existing casks,
24 problems associated with those casks, maintenance

1 requirements associated with them, and what we thought might
2 be the requirements that come out of the Initiative I cask
3 that we had described earlier to you, and other cask systems
4 that may be designed at the behest of DOE in the future.

5 (New viewgraph)

6 The feasibility study also looked at what options
7 were available to DOE in the interim as the system is
8 starting up, should a cask maintenance facility not be
9 available. It considered the impacts of various
10 uncertainties. One of the big uncertainties that we faced
11 was the number of casks designs that one might have to
12 handle over the long term and how many times that fleet of
13 casks may have to be required to visit the facility.

14 Also, recently we have addressed the issue of
15 handling of low level waste that is generated as a result of
16 maintaining the casks and how might DOE become involved with
17 the host state where that state may have its own low level
18 waste disposal facility, or may be a member of a compact
19 that has such a facilities.

20 (New viewgraph)

21 I have given you here and on the next page a very
22 brief list of some of the generic requirements that we
23 considered. The cask maintenance facility is viewed as
24 being the place where, of course, maintenance for casks, but

1 also ancillary equipment, the transporters, and, in some
2 cases, the transport vehicles -- all this maintenance and
3 servicing would have to occur there.

4 It would provide for the storage, changeout, and
5 maintenance of the internals. For the BRW-100 that single
6 cask body has the capability of accommodating both PWR and
7 BWR fuel. As you take a cask from one campaign with one
8 type of reactor to another, you have to have the capability
9 of changing the baskets, storing the baskets that are not in
10 use, and possibly cleaning them up. There are also some
11 inserts that may be required to keep fuels of different
12 lengths from, if you will, rattling around inside of the
13 cask. We view the cask maintenance facility as the home for
14 all this activity.

15 It is required for the cleaning and
16 decontamination of the cask. You heard Tom Sanders earlier
17 today talk about weeping and the problems associated with
18 that. Historically that is a problem with casks. The cask
19 maintenance facility is the place where the cleanup as a
20 result of weeping problems will occur.

21 One of the major activities that we envision the
22 cask maintenance facility performing for the Federal Waste
23 Management System is the preparation of what we call
24 campaign kits. Before a set of casks are scheduled to go

1 into a facility for operation, historically you put together
2 the lifting yoke, the other ancillary equipment, the
3 consumables, and all of the rest of the materials that are
4 going to be required to operate that cask, or that set of
5 casks, in that plan. We call that a campaign kit. This may
6 be one or two semitruck loads worth of materials that has to
7 be shipped to the plant in advance.

8 Again, the cask maintenance facility would serve
9 as the facility that does this operation, brings the
10 nonconsumables back in the proper packaging, cleans them up,
11 and prepares them for use in another facility.

12 (New viewgraph)

13 It would provide the storage and maintenance of
14 that ancillary equipment that goes into those campaign kits.

15 It would provide the storage, monitoring, and shipping of
16 "spares" and consumables. The question came up earlier:
17 How frequently do you change the seals in these casks?
18 Whatever the requirement for a given cask is, the cask
19 maintenance facility as part of the campaign kit would
20 provide those consumables.

21 (New viewgraph)

22 Very importantly, it could also serve as the
23 records management center, providing the pedigree and the
24 history on each of the casks and then ensure that we

1 maintain their certificates.

2 And finally -- and there is typographical error
3 here -- it would provide for the cleaning of transporters
4 and transport vehicles for shipping them off-site for
5 inspections -- not inspectors -- maintenance, and repairs.
6 It was viewed in our concept that we would not try to
7 maintain the trailers and the rail cars on-site, that we
8 would try to clean them up to the point that they could be
9 maintained off-site at a regular public facility.

10 (New viewgraph)

11 As we developed the concept there were, as I said,
12 about 30 different issues, and some of these are documented
13 here. We had to scope out what type of casks, number of
14 casks, number of designs, size, weight, all of those issues
15 that we would expect to see serviced by this facility. We
16 came up with something, about 12 to 18 different casks
17 designs potentially would be seen by the facility.

18 We had to address the issue of how frequently they
19 would come to the facility. Currently maintenance
20 procedures in the United States require an annual inspection
21 and maintenance on these casks to maintain a certificate.
22 Also the cask could be coming back for major repairs, for
23 basket changeout, changeout of spares, decontamination due
24 to weeping problems, and so on. On the average we estimated

1 that each cask in the fleet would come into the facility at
2 least twice a year.

3 We had to assume that there would be hiccups or
4 burps in the operating schedule. We are not going to have a
5 uniform flow of casks coming in. So we had to scope the
6 facility to accommodate that fluctuation. Again, we talked
7 about and built into our assumptions the need for internal
8 structured change-out and storage. We had to address the
9 issue of, would we receive casks loaded with spent fuel at
10 the facility? Or would we assume that that would not be a
11 requirement imposed on this facility? The assumption we
12 made was that all casks received at this facility would be
13 unloaded from the standpoint that all spent fuel assemblies
14 would have been removed at some other facility.

15 I have already mentioned the disposition of the
16 wastes generated by the facility. All of this, then,
17 determined what was our assumption relative to the licensing
18 of that facility.

19 (New viewgraph)

20 We assumed that it had been to be licensed by NRC
21 and what type of license would be sought. Back in 1988, as
22 I mentioned, we did a feasibility study. After looking at
23 all the various issues, we chose to go with what we called
24 the wet facility. Similar to the nuclear power plants with

1 a pool, the cask would be immersed in the pool for the
2 exchange of the baskets, and baskets predominantly would be
3 stored in that pool as well.

4 This year, as is noted at the bottom of this
5 viewgraph, we have performed a follow-on study using the
6 same set of assumptions and procedures, and looked at the
7 alternative of going to a dry option, where the casks would
8 be emitted up to a dry cell, the baskets pulled up into the
9 dry cell, exchange the baskets and the maintenance of the
10 baskets would occur in that dry cell.

11 As an aside, I would point out that I hesitate to
12 call it a "dry" option because even in that cell we view
13 that a lot of the operations that will occur on the baskets
14 in the cell would be wet. We would be trying to wash down
15 CRUD that may have built up on the baskets. So it is not a
16 dry concept. It is a damp concept, if you will.

17 But we did look at what is the trade-off between
18 having a pool versus having an isolation cell. In the
19 interim, in the '89-'90 time frame, we had a very low level
20 of activity looking at what information was coming out of
21 the international arena, trying to assess, going back and
22 looking at our concept and seeing what we could recommend as
23 a result of that input of additional information.

24 (New viewgraph)

1 This viewgraph, I think I talked about this
2 briefly at the first meeting of the Board in Albuquerque, I
3 think, two years ago. This is the site plan of the facility
4 with a process building and a separate vehicle inspection,
5 and if need be, blasts over here, so we could blast off
6 contamination that had occurred so it could be
7 decontaminated to the point of taking it off the site.

8 Receiving facilities for rail car and truck
9 trailer storage, visitor parking outside the fence, two
10 entry portals, a major entry portal for the rail casks on
11 the trailers, or rail cars, and at the bottom, down here, a
12 personal portal into the process building itself, about 28
13 per site as we envisioned it there.

14 (New viewgraph)

15 This is the building layout for the wet facility
16 as we envisioned it two years ago. The central area running
17 from top to bottom would be a high bay area with 175-ton
18 crane capable of lifting casks up to 150 tons. The
19 buildings to your right would be a lower bay area containing
20 the shop, offices, and so on. The structure to your left
21 would be, as indicated here, the structure for the waste
22 processing equipment, HVAC equipment, solid waste
23 preparations. Then towards the bottom here is a pool, with
24 an extension of the pool into the low bed area for the

1 actual storage of the baskets. At the top you would see two
2 bays for rail car and truck cleaning. Then in the center
3 the unloading bays, which would be serviced by the 175-ton
4 crane.

5 (New viewgraph)

6 Finally, this is a cross-sectional view of the
7 pool that we envision. The cask would be brought in, set
8 down on a step in the high bay area so that if needed you
9 could work on the top of the cask while it is shielded by
10 the water. The workers would be protected, and radiation
11 exposure would be to a minimum. The cask would be set into
12 the deep well area. Baskets could then be moved out into
13 the storage area, and in the central portion here we
14 envision having a dry inspection penthouse where baskets
15 could be pulled up and people appropriately clothed and
16 protected could do hands-on operation of work on the baskets
17 if they needed to.

18 That is where we stood at the end of 1988.

19 (New viewgraph)

20 As I said, we had low-level effort from '89 and
21 '90. We listened to and then talked with people from Cagema
22 and France and the BNFL in England. At the Spectrum '90
23 Symposium we actually arranged for a series of papers to be
24 presented by these same people, with a facility focus on

1 their experience in cask maintenance. We had a number of
2 personal communications not only with foreign people, but
3 other people in the United States who have experience in
4 maintaining casks.

5 Basically the finding from all this are summarized
6 by the three statements at the bottom here: The cask
7 turnarounds, the number of casks that led to the size of the
8 fleet that we scoped out for the design, is lower in Europe,
9 where they actually have experience in operating large
10 fleets. In other words, we felt we may have been a little
11 optimistic in how efficiently we would operate the fleet.

12 That caused us to ask ourselves: What would
13 happen if the number of cask visits to the facility was
14 higher than we had designed the facility for? What would be
15 the impact on the facility or the operation of the facility?

16 I will come back to that later.

17 Secondly, we find that the maintenance philosophy
18 and schedules are different in Europe than they are in the
19 United States. They basically operate their cask fleet on
20 what I like to call the "car warranty philosophy," where
21 they bring their casks in every so many trips or so many
22 years for a major service and maintenance activity; whereas,
23 our requirements currently are that we take the cask in once
24 a year for maintaining our certification. So their casks

1 historically are seeing the cask maintenance facility fewer
2 times than ours would under the current U.S. philosophy for
3 service and maintenance.

4 Finally, Cagema specifically has provided a couple
5 of papers now where they find as the casks gets older, of
6 course, more defects arise and more time is spent in the
7 cask maintenance facility bringing them back up to an
8 acceptable level. We have the statistical data from them to
9 help guide us to say that as our cask fleet gets older, we
10 can expect more visits and longer visits as time goes on.

11 (New viewgraph)

12 One of the other things that came out of all of
13 these discussions was our design engineer going back to the
14 concept and deciding that where we had specific bays defined
15 for specific activities, we could be more efficient if we
16 put multipurpose bays in the facility and, in fact, it
17 resulted in the idea that we could reduce the length of that
18 high bay area by one complete segment, with a potential cask
19 saving. That has not at this point been included in any of
20 our work. It is an idea that has been documented. It is on
21 the shelf for when the conceptual design of the facility
22 starts.

23 (New viewgraph)

24 The study that we performed this year was to go

1 back to the floor plan design that we had for the cask
2 maintenance facility that came out of '88 study. We asked
3 ourselves what would happen if we took out the pool and
4 tried to replace it with an isolation cell. What you see
5 here is a schematic overhead view of what we envision the
6 isolation cell would look like. The high bay area is here.

7 The cask would be set down on trolleys and rolled
8 underneath portals, and then the isolation cell is above
9 that, projecting out into this area.

10 We would pull baskets up into the isolation cells,
11 perform whatever decontamination, maintenance, and cleaning
12 is required on them, have a separate basket inspection put
13 on this side. For storage we then had to press wells in
14 this area with lids on them that would be lifted up by a --
15 I can't remember the capability of the crane now, but we had
16 a crane in here -- 40-ton bridge crane would lift the
17 baskets and put them into these storage wells.

18 What complicates this, of course, is that we then
19 have to have a lower pressure HVAC system to ensure that we
20 don't ventilate into the rest of the plant. And because we
21 have a crane in there, that crane has to be maintained. So
22 it has to be backed into a crane maintenance area, cleaned,
23 and then moved into an area where people can get hands-on
24 maintenance capability. That adds to the complexity of the

1 facility.

2 That is the level of thought that has gone into
3 this. I would emphasize that this is not a conceptual
4 design. It is just a design sufficient to allow us to scope
5 out what the impacts of changes of this nature in the design
6 would be. That led us to conclude that our earlier
7 assessment and conclusion to go to a wet facility based on
8 technical grounds is further justified in an economic basis.

9 To go to this type of concept would increase the cost of
10 the cask maintenance facility by about 15 to 20 percent. It
11 would increase the operation costs of the facility by
12 approximately five percent a year.

13 (New viewgraph)

14 Finally, on the last viewgraph I come back to the
15 issue I raised earlier: What happens if we have more cask
16 visits per year? What happens if we can't operate the fleet
17 as optimistically or as efficiently as we had initially
18 assumed? What we did was take each of the stations in the
19 facility and look at what we had assumed in term of the
20 number of shifts per week and the time that casks would
21 spend there for the different operations.

22 A fleet of 75 casks visiting twice would be 150
23 visits per year. That was our base case back in 1988. That
24 is what you see in the first column of cask visits to the

1 CMF per year. We said if we are not that efficient, it
2 could go to 250 cask visits per year, or 300, or maybe even
3 400. What we see here is that for the loading and unloading
4 bay where the casks are actually loaded or unloaded off the
5 transport vehicles, we only assumed five shift per week in
6 that operation. That said that if we went from 150 to 250
7 cask visits, we have overcommitted that bay. But we really
8 haven't because we can go to ten shifts per week and divide
9 that number by two, or we can go to 15 shifts per week and
10 divide this 222 by three and we still have full capability
11 just by adding staff.

12 We did a similar exercise to the exterior
13 decontamination of the casks, the vehicle receipt
14 inspection, and basket change. The only other area where we
15 appeared to have a potential overcommitment of facility was
16 on the exterior decon, where it could be up to 124 percent
17 with more visits. But, again, we could go up to 21 shifts
18 per week and solve that problem should that prove to be
19 reality.

20 We feel that the basic size of the facility is
21 reasonable. The concept is reasonable. There is still a
22 lot of work to be done in terms of getting specific
23 requirements and then proceeding with the design of the
24 facility once the site is selected.

1 Thank you.

2 DR. PRICE: Does the reducing of the high bay area
3 length affect your queue at all?

4 MR. POPE: No. We have not done any time and
5 motion studies here at all in detail. Basically, all that
6 would do would be to make sure that this would result in the
7 multipurpose stations being used at a higher percentage of
8 the time than we had previously envisioned. So we would
9 have specific use stations with low utilization. The
10 multipurpose station would now have a higher utilization.

11 DR. PRICE: Is there much discussion about
12 co-location with the MRS for its facility?

13 MR. MILNER: Currently you really see one of the
14 better locations for the CMS happening at the MRS site.

15 MR. POPE: I would say that the study we performed
16 was, first of all, the stand-alone Greenfield site, and that
17 is what all of our costs and schedule was based on. We had
18 to go out and start from scratch with the Greenfield site.
19 We then went back and said, if we could co-locate inside the
20 fence, but with a separate facility, and share common
21 utilities, common security, and so on, what would save?

22 We found that for total capital costs, and in some
23 operating costs, there would be a reduction 10 to 15 percent
24 on both sides by co-locating. It also makes sense because

1 you are not going to have to load the baskets and take it
2 outside, transport it someplace. You can do it all on the
3 side same.

4 DR. CHU: That is, if you had an MRS, in the sense
5 that if the system does not have one, then there may be some
6 other appropriate location for having the site.

7 MR. MILNER: Perhaps the repository.

8 DR. CHU: Right. A central destination site is
9 what you are thinking of.

10 MR. KOUTS: A site that sees all the casks.

11 DR. CHU: If you had transportable storage sites
12 for the casks, then you would put them out of business
13 because you would use it only once.

14 MR. KOUTS: I don't know how many questions you
15 might have asked about cask maintenance when you were at
16 Sellafield. I knew when we took our trip last year, I
17 remember asking the operators of the French facility at La
18 Hague were they happy with their facility. Their general
19 feeling was, we should have made it bigger. The British
20 reaction was, we didn't necessarily -- they didn't need it
21 bigger, but they would have laid it out differently.

22 DR. PRICE: How did the size of La Hague compare
23 with Sellafield?

24 MR. KOUTS: It was a little smaller.

1 DR. PRICE: Because Sellafield seems to me to be
2 very large.

3 MR. KOUTS: It is. It is large. The French
4 facility was a little bit more compact, as I remember. The
5 British facility was laid out fairly spaciouly. I think
6 their comment was the flow through the facility -- they
7 could have made the flow better by rearranging it, and if
8 they had to do it all over again, they would have laid it
9 out differently, but not really change the size.

10 MR. POPE: I would point out that the designers
11 that have worked at the concept at the lab have talked with
12 both the BNFL and Cagema people and have used their ideas in
13 trying to lay out this floor plan.

14 DR. CHU: A different question: Is there any
15 thought of sharing such a facility for maintaining casks
16 from different programs within the Department of Energy?

17 MR. KOUTS: I haven't been involved in any
18 discussions in that regard. I think that our perspective is
19 that the fleet of casks that we will need will justify --
20 assuming we get the shipping rates that had been projected
21 historically -- that we really need one, that the ability
22 for us to maintain these casks using leased facilities or
23 trying to get time at reactor sites would cause major
24 problems. So we feel that it is well worth the investment

1 to build a facility and have it dedicated to that purpose.

2 But we haven't been approached by any other DOE
3 program, at least to my knowledge, wanting to participate
4 and utilize it. That could certainly be something that
5 comes in the future, assuming we do build it and there are
6 requirements for other casks, but I am not aware of any
7 discussions in that regard.

8 DR. PRICE: I would like to ask now if there are
9 any comments from the floor or questions that you would like
10 to bring forth for any of our speakers this afternoon.

11 I think there was someone at the microphone before
12 I finished my comments.

13 MR. HALSTEAD: I'm Bob Halstead, state of Nevada.
14 I will try to keep this brief, as we are running late. I
15 had some comments on four separate points, first regarding a
16 couple of points that came up in Tom Sanders' presentations
17 this morning on seal studies. Tom was good enough to
18 clarify a couple of these points for me at lunch. And while
19 they are not major, I think they are worth mentioning for
20 the record.

21 The first is that when he was summarizing his
22 preliminary conclusions regarding source term there was a
23 statement that was made "calculated failure frequencies are
24 less than one rod per rail cask accident event, for the

1 example cases that were evaluated." I think it is important
2 to note for the record that the cask which was assumed in
3 those examples was the IF-300.

4 Our position is that those findings would not
5 necessarily be directly transferred over the Yucca Mountain
6 analysis, although from what we heard this morning, my
7 goodness, we might actually be using IF-300s to deliver
8 spent fuel to the repository at Yucca Mountain. But I think
9 that point needs to be made.

10 Also, we would make the point that the
11 hypothetical regulatory accident, which is the basis of the
12 forces which would result in that damage to fuel rods, does
13 not necessarily represent what we believe would be a maximum
14 credible severe accident.

15 A second point that came out of Tom's discussion
16 had to do with some of the remaining questions that he has
17 about seal performance, particularly the long-term seal
18 performance. And I don't believe that he raised this point
19 this morning. I guess to be blunt about it, while we remain
20 strong supporters of the dual purpose cask concept, I think
21 it is important to state that some of Tom's more recent
22 finding, along with some of his earlier analysis, suggests
23 that more study of seal performance, particularly over time,
24 is one important aspect of the dual purpose cask question,

1 not so much in terms of the performance during storage but
2 in terms of the performance of seals on these casks when
3 they were then transported after some long period of
4 storage.

5 The second specific point has to do with Mike
6 Conroy's presentation on logistical planning. I believe
7 that based on the lessons learned from planning for the WIPP
8 shipments and based on lessons learned from recent large
9 scale utility shipping campaigns, the lead times which were
10 assumed in Mike's presentation are simply unrealistic.
11 Without belaboring the point, I think that the lessons
12 learned suggest that seven to ten years, rather than the
13 five years that Mike stated, are probably in our opinion
14 going to be necessary for the long-term planning. Then when
15 you turn to specific reactors shifting campaigns for the
16 initial shipping campaign for any reactor, we would suggest
17 that two to three years will be required, rather than the
18 one year that Mike stated. The one year, however, might
19 well be sufficient for subsequent campaigns.

20 The third point, a minor one, in Ron Pope's
21 discussion of cask maintenance facility, perhaps I missed
22 this, but if the facility were not co-located with an MRS
23 facility or a repository, I assume this would be an NRC
24 licensed facility. Again, some may see it as a minor point,

1 but, again, it is worth raising for the record.

2 Finally, the fourth point. Gee, we heard some nice
3 presentations by Mike and others on the FICA study, the NSTI
4 study, and by Ron Pope on the site-specific planning
5 documents, the SPDs. I simply ask you to contrast the very
6 careful and detailed work which has gone into evaluating
7 site and route-specific transportation issues on the origins
8 of these shipments which might occur to a repository, and
9 contrast that with the planning that is going on regarding
10 the destination.

11 Forgive me for belaboring the point about the
12 necessity to pay more attention to transportation access
13 issues at Yucca Mountain, and particularly rail access
14 issues, but the bottom line is that if rail access at Yucca
15 Mountain is important, and we believe it is important,
16 considering the very long corridors involved, the difficult
17 terrain, the environmental sensitivity, if DOE is really
18 serious about staying on track for the repository opening on
19 or about 2010 at Yucca Mountain, they must now begin doing
20 detailed feasibility studies comparable to the one they
21 recently release on the Caliente route on at least, in our
22 opinion, at least two additional rail access routes.

23 As much as I have spoken positively about the
24 Caliente rail report, keep in mind that it is a preliminary

1 feasibility report on a very long 400-mile corridor that
2 crosses many complex environments. We will need to have a
3 similar level of detail on at least two additional routes,
4 simply to make routing decisions to enter EIS scoping
5 purposes.

6 With that I conclude, and thank you, as always,
7 Dr. Price, for opportunity to offer these comments.

8 DR. PRICE: You are welcome, and you avoided
9 identifying the two others. You are just being generic
10 about the two other routes that should have detailed
11 feasibility -- or is it two of the other three that have
12 been identified.

13 MR. HALSTEAD: Well, I suggest two options. The
14 Department picked the Jean and Carlin options along with
15 Caliente as their suite of three from the original ten. I
16 think now they probably should wait a couple of months until
17 the state does its own preliminary assessment of those ten
18 routes. It may well be that the Jean and Carlin ones still
19 look like the two best alternatives. Then again, it may be
20 that a couple of others will show up.

21 I guess when I said they should start immediately,
22 I didn't mean they have to do it tomorrow, but I certainly
23 think within the next year this is a task that they should
24 take up. And as I understand it, that was the original

1 plan, that as soon as the Caliente report was done they
2 would move to begin work on at least one additional one
3 within in the next fiscal year.

4 MR. FISHER: My name is John Fisher. I am with
5 Virginia Power.

6 I would like to make a point that I do not believe
7 the utilities would chose mode or cask willy-nilly, as may
8 have been implied, but would cooperate with DOE based on
9 real constraints. I had hoped that DOE had used some
10 lessons learned also in the transportation operations plans
11 from the Surry INEL shipments, especially with regard to
12 order and steps.

13 If, in regards to the near future -- a question
14 for Ron Milner -- a dual purpose or universal cask is
15 licensed, would this then fall under current technologies?

16 MR. MILNER: Yes, I think is it would.

17 MR. HALSTEAD: Thank you.

18 I hope DOE will use utility comments and work with
19 utilities to resolve cask operational issues on their site.

20 We plan to cooperate.

21 Dr. Chu took my last point, which was that a
22 maintenance facility may not be needed if a universal dual
23 purpose is developed.

24 DR. CHU: I have a job on the side as a skill.

1 (Laughter)

2 MR. HALSTEAD: Thank you. o

3 DR. PRICE: Any other comments or questions from
4 the audience?

5 If not, I would like to thank the Department of
6 Energy once again for providing us with a very full day of
7 very informative presentations, and those who made the
8 presentations -- some of them on call more than once -- we
9 are very grateful for your appearance, your willingness to
10 keep us informed, and we thank you very much.

11 If there are no other comments, we will consider
12 ourselves adjourned for the day. I don't understand how we
13 did it, but we are seven minutes ahead of schedule.

14 (Whereupon, at 4:38 p.m, the conference was
15 adjourned.)

16

17

18

19

20

21

22

23

24

1

2

3

4

5

6

7