

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19

UNITED STATES OF AMERICA

NUCLEAR WASTE TECHNICAL REVIEW BOARD

- - -

FULL BOARD MEETING

- - -

Key Bridge Marriott  
Potomac Ballroom  
1401 Lee Highway  
Arlington, Virginia 22209

Tuesday, January 7, 1992

1 NWTRB:  
2  
3 DON U. DEERE, Chairman  
4 CLARENCE R. ALLEN, Member  
5 JOHN E. CANTLON, Member  
6 PATRICK A. DOMENICO, Member  
7 DONALD LANGMUIR, Member  
8 D. WARNER NORTH, Member  
9 DENNIS L. PRICE, Member  
10 ELLIS D. VERINK, Member  
11 WILLIAM D. BARNARD, Executive Director  
12 HELEN W. EINERSEN, Executive Assistant  
13 RUSSELL McFARLAND, Senior Professional Staff  
14 DENNIS G. CONDIE, Deputy Executive Director  
15 SHERWOOD C. CHU, Senior Professional Staff  
16 KARYN D. SEVERSON, Congressional Liaison  
17 VICTORIA REICH, Librarian  
18  
19  
20  
21  
22  
23

1

2

3 OTHER PARTICIPANTS:

4

5 JOHN BARTLETT, Director, OCRWM

6

7 RONALD MILNER, Associate Director, Office of Storage and  
8 Transportation

9

10 CARL GERTZ, Project Director, Yucca Mountain Site  
11 Characterization Project

12

13 RUSS DYER, Director, Division of Regulatory & Site  
14 Evaluation

15

16 SAM ROUSSO, Associate Director, Office of Program & Resources

17

18 FRANK PETERS, Deputy Director, OCRWM

19

20 JOHN P. ROBERTS, Acting Associate Director, Office of Systems and

## 1 P R O C E E D I N G S

2 [9:00 a.m.]

3 DR. DEERE: Good morning, ladies and gentlemen. I'm  
4 Don U. Deere, Chairman of the Nuclear Waste Technical  
5 Review Board. On behalf of the Board, I'm very happy to  
6 welcome you to our first full board meeting for 1992.

7 I guess most of you know the Technical Review Board  
8 was created by Congress in 1987 to act as a source of  
9 independent review of the scientific and technical validity  
10 of activities undertaken by the Department of Energy as  
11 part of its program to manage high level radioactive waste,  
12 civilian high level radioactive waste.

13 In the same act that created the Board, Congress  
14 directed the DOE to characterize one site at Yucca  
15 Mountain, Nevada for the possible development of a  
16 repository for the permanent disposal of the nation's high  
17 level radioactive waste.

18 As the Board has conducted its review of technical and  
19 scientific activities undertaken by the Office of Civilian  
20 Radioactive Waste Management, it has become increasingly  
21 clear that OCRWM priorities for its waste management  
22 program are substantially affected by budget  
23 considerations.

24 This was demonstrated recently in decisions to delay

1 underground testing and to reduce funding for the  
2  
3 development of an engineer barrier system in response to  
4 reductions by Congress of the OCRWM budget for Fiscal Year  
5 '92. Reduced funding for underground testing and for the  
6 development of an EBS are of considerable concern to the  
7 Board.

8 We have long believed that surface-based testing alone  
9 will not provide the critical information needed to  
10 determine site suitability and that early underground  
11 evaluation should be a top priority of the program.

12 I expressed our concern over the delay in initiation  
13 of underground excavation and testing along with  
14 suggestions for expediting underground testing in a letter  
15 to the Secretary of Energy in November of last year.

16 In addition, the Board believes that engineered  
17 barriers must be viewed as an integral part of the  
18 repository system and that studies of the potential  
19 contribution of engineered barriers should not be deferred.

20 We have emphasized this concern in several Board reports  
21 and public statements.

22 Funding and allocation decisions affect virtually  
23 every aspect of the waste management system or the program;  
24 therefore, to adequately evaluate the technical and

1 scientific aspects of the OCRWM program, the Board must  
2 have a very thorough understanding of the rationale  
3 supporting OCRWM decisions about budget allocations and how  
4 these

5

6 decisions reflect and affect program priorities.

7 For this reason, at our July '91 Board meeting, we  
8 asked Dr. John Bartlett, Director of the OCRWM, to provide  
9 an overview of his budget allocations and priorities for  
10 Fiscal Year '92. Those discussions proved so interesting  
11 that we have invited John and some of his staff to provide  
12 a more detailed briefing on the rationale underlying budget  
13 decisions and program priorities.

14 We also have asked for an update on surface-based  
15 testing activities at the Yucca Mountain site and a  
16 progress report on systems integration, including a status  
17 report on the M&O contract efforts for the OCRWM and the  
18 Yucca Mountain site characterization project office. Over  
19 the next day and a half, we will hear presentations on  
20 these issues.

21 We begin this morning with a briefing by Dr. Bartlett  
22 on OCRWM budget allocations, including the basis for  
23 program priorities, factors that affect budget allocations  
24 and progress of the program, and contingency planning to

1 deal with possible future budget shortfalls.

2 We will then hear a presentation by Ronald Milner,  
3 OCRWM Associate Director for Storage and Transportation, on  
4 the status of the storage/transportation project and  
5 related budget priorities.

6 After lunch, we will be briefed by Carl Gertz,

7

8 Associate Director for Geologic Disposal, on the Yucca  
9 Mountain project office's budget and program priorities,  
10 followed by an update by Russ Dyer of the Office of  
11 Geologic Disposal on surface-based testing activities  
12 underway at the Yucca Mountain site.

13 At the conclusion of the presentations, I will  
14 recognize Board members, meeting participants, and members  
15 of the audience for comment on and discussion of the  
16 information presented throughout the session, and I would  
17 remind those of you who speak to identify yourself by name  
18 and organization the first time you speak, and to speak up  
19 clearly into one of the microphones provided.

20 Tomorrow morning, we will resume our dialogue on OCRWM  
21 budget allocations and program priorities with a  
22 presentation on systems integration, followed by an open  
23 discussion of the issues covered during this meeting.

24 We have a very full agenda, so at this time, I would

1 like to introduce Dr. John Bartlett. As most of you know,  
2 Dr. Bartlett is responsible for the development of the  
3 DOE's program for managing spent nuclear fuel and high  
4 level radioactive waste.

5 Previously, he directed energy and environment  
6 activities for The Analytical Sciences Corporation, TASC.  
7 He joined TASC after working with Battelle-Pacific  
8 Northwest Laboratories, where he was manager of system  
9 studies.

10

11 He also served on the faculty of the Chemical  
12 Engineering Department at the University of Rochester, and  
13 as a design engineer at Knolls Atomic Power Laboratory. He  
14 was a Presidential Exchange Executive assigned to the  
15 Bureau of Standards, and a Fulbright professor of Nuclear  
16 Engineering at Istanbul Technical University. Dr. Bartlett  
17 will introduce the speakers who follow him.

18 John, we appreciate the time and the effort you and  
19 your staff have expended going through the Christmas and  
20 New Year's holidays in preparing your presentations for  
21 today and tomorrow. The Board looks forward to a very  
22 informative session on these important and timely issues,  
23 and we welcome you.

24 [Slide.]



1 DR. BARTLETT: Thank you very much, Mr. Chairman.  
2 It's a pleasure to be here, members of the Board. I really  
3 appreciate the opportunity to discuss these very important  
4 issues that Chairman Deere has raised this morning, and  
5 would like to think we are prepared to be very responsive  
6 and interactive with these issues that you have raised. We  
7 have certainly made every effort in our preparation to  
8 present the material so it really does focus on these key  
9 issues of priorities and budget allocations and the  
10 interactions between them. So we look forward very much to  
11 an opportunity to interact with you on these subjects.

12

13 With that as a very brief introduction, what I'd like  
14 to do is identify the topics that I will be addressing.

15 [Slide.]

16 DR. BARTLETT: Specifically, the program priorities  
17 and where they came from; the factors that do affect our  
18 progress and budget allocations; the budget allocation case  
19 study, the one that you have mentioned that is of concern  
20 to all of us: why was the Exploratory Studies Facility  
21 schedule delayed as a result of the budget cut for Fiscal  
22 1992? The basic budget policy that is the foundation for  
23 that action that was taken; and then a few brief remarks on  
24 contingency planning.

1 [Slide.]

2 DR. BARTLETT: Under the subject of program priorities  
3 and their basis, I'll be talking about our program goals;  
4 the progress milestones toward meeting those goals;  
5 management actions we have taken in order to integrate the  
6 program and have it move forward to meet the milestones and  
7 the goals; and then within that framework, some of the very  
8 important constituency milestones, which of course  
9 correspond to the program milestones, but what I'm saying  
10 is, in a sense, some milestones are more important than  
11 others in a sense, because of their significance to the  
12 many constituencies that this program has.

13 [Slide.]

14

15 DR. BARTLETT: Very simply, the program has two basic  
16 goals: to begin spent fuel receipt in 1998 and to begin  
17 disposal in 2010. The basis for those goals is basically  
18 again very simple. It comes from the Nuclear Waste Policy  
19 Act as amended. The Secretary's plan of November 1989 in  
20 his reassessment report to Congress identified these  
21 specific goals, and we are implementing the program to meet  
22 them.

23 Then closely related to both of those is the fact  
24 that, of course, we have contracts with the utilities to

1 begin the spent fuel receipt in 1998. Of course, that is a  
2 major driver for the obligation and the goal to begin spent  
3 fuel receipt in 1998.

4 [Slide.]

5 DR. BARTLETT: A point which I cannot emphasize enough  
6 is that those two goals have equal rank, and you will see  
7 this point being made as we proceed with respect to the  
8 interactions of budgets and priorities and program activity  
9 allocations. We cannot under-allocate activities to give  
10 preference to one goal or another. In accordance with the  
11 monies available, we must distribute them such that we can  
12 do everything possible to continue to meet those goals.

13 [Slide.]

14 DR. BARTLETT: What I have done is identified for you  
15 some of the progress milestones with regard to each of  
16  
17 the goals. First, with respect to spent fuel receipt in  
18 1998, this is a list of the major progress milestones along  
19 the pathway to beginning of receipt in 1998.

20 A key one is the very first one that's listed here:  
21 to site the MRS facility by the end of 1992. As I'm sure  
22 you are aware, the nuclear waste negotiator has in fact  
23 been recently highly successful in identifying potential  
24 candidate sites. We now have in hand seven applications

1 from potential hosts for feasibility study grants. We  
2 expect at least two more.

3 I can also state with regard to those that, at least  
4 for some of them, we know that they are on the same track  
5 we are on. In other words, it is their objective to be in  
6 the status of potential negotiation by the end of 1992.

7 Our objective here is to know where we're going by  
8 1992, and we are very hopeful, of course, that we will  
9 achieve that goal, and then all of the rest of these follow  
10 from that in order to achieve our schedule with respect to  
11 beginning spent fuel receipt in 1998.

12 [Slide.]

13 DR. BARTLETT: With regard to disposal, and beginning  
14 in 2010, our key progress milestones are those I have  
15 listed here. Renewal surface-based data acquisition was,  
16 of course, started last summer as a result of the fact  
17 that we've received two of the permits that we needed to  
18 start that.

19 We had the goal of beginning ESF construction in  
20 November 1992. That milestone was slipped to November  
21 1993, and that is the focus, as we all know, of your  
22 interest in the interaction between program priorities and  
23 budget allocations and things of that type.

24 We also have an objective to evaluate site suitability

1 or unsuitability as soon as possible and, if the site is  
2 found suitable, then we will proceed through the process of  
3 submitting the license application in 2001, which,  
4 according to schedule, will result in beginning  
5 construction in 2004 as a result of completion of the NRC's  
6 license application reviews, and then we would begin  
7 disposal in 2010.

8 I'd point out to you that within these early phase  
9 progress milestones, there is flexibility. We cannot  
10 identify a specific milestone with respect to evaluating  
11 site suitability or unsuitability. That will be determined  
12 basically by what we find. So for this schedule in this  
13 phase, we to have flexibility with respect to achievement  
14 of the milestones and the findings with respect to progress  
15 and information regarding site suitability or  
16 unsuitability. That fact, the fact that we have  
17 flexibility in there, is part of the basis for the decision  
18 that we made

19

20 with regard to the ESF facility, as you'll see in a minute.

21 [Slide.]

22 DR. BARTLETT: As I indicated, we have taken a number  
23 of management actions, first to establish the schedules and  
24 the program, and then to implement them, and what I would

1 like to do briefly is highlight for you some of the key  
2 actions with regard to disposal, storage and overall  
3 operation of the program.

4 First of all, with regard to disposal, we have focused  
5 and prioritized the site suitability evaluation activities  
6 so that we will be able to in fact meet our broad objective  
7 of identifying whether or not the site is suitable just as  
8 soon as possible.

9 What this amounted to is a close investigation of the  
10 activities that were inventoried in the site  
11 characterization plan to identify those which had the best  
12 shot at getting the information we need with regard to  
13 suitability.

14 We have also established as a baseline for  
15 implementation of those things the site suitability  
16 evaluation and a baseline performance assessment. These  
17 are reports that are in progress, and they will be issued  
18 for public review and comment in a couple of months or so,  
19 and these two reports provide the foundation for going  
20 forward.

21 What they do is compile and use all the  
22  
23 information gathered to date on site suitability, make some  
24 assessments of what we know, what we don't know, identify

1 opportunities to close technical issues on the site, and  
2 identify activities needed to obtain additional information  
3 to be able to close the issues which cannot yet be closed.

4

5 These reports will be a major element of progress in the  
6 program.

7 [Slide.]

8 DR. BARTLETT: With regard to the storage activities,  
9 the monitored retrievable storage, the Department adopted a  
10 policy to support the negotiator's efforts as a basis for  
11 the siting of the MRS facility, and then, in conjunction  
12 with that, we have reorganized all the activities relating  
13 to storage and transportation to assure that everything  
14 comes together for spent fuel receipt to begin in 1998.

15 Basically, what that involved was to reorganize the  
16 transportation program to be sure that we do have  
17 sufficient number of casks available on time to begin  
18 receipt at reasonable rates in 1998.

19 We have prioritized effort on the non-site specific  
20 activities associated with an MRS, and that will of course  
21 be blended with the requirements and desires of the  
22 potential host, which, as I mentioned, we now have seven  
23 under consideration, and then, of course, we have also in

24

1 addition prioritized work with the utilities to assure that  
2 we have all the logistics and the protocols of spent fuel  
3 receipt in place.

4 So these things are moving forward in parallel all  
5 pointing toward meeting that goal of beginning spent fuel  
6 receipt in 1998, of having the full system ready to begin,  
7 and, of course, to do that, we have to have funds allocated  
8 sufficient to the purpose.

9 This is, as I'm sure you can appreciate, a tight  
10 schedule. Where we have flex with respect to disposal, we  
11 have virtually no flexibility with regard to 1998.  
12 Everything has to come together in order to have the  
13 resources to meet that commitment with our contracts.

14 [Slide.]

15 DR. BARTLETT: Programmatically, some of the actions  
16 we have taken are to prepare a mission plan amendment which  
17 takes into account the Nuclear Waste Policy Amendments Act  
18 and the Secretary's reassessment report, the current  
19 foundation for the program.

20 We have established and are working with the NRC to  
21 develop a strategy for our pre-licensing activities, which  
22 is fundamentally aimed at closing the issues as much as we  
23 can as we go so that there are not a lot of open issues,  
24 open technical contention by the time the license



1 application is submitted.

2

3 The device for doing that is what we call the  
4 annotated outline. The annotated outline is being  
5 developed in conjunction with the NRC, working together to  
6 identify essentially the scope of information required, the  
7 issues to be resolved, and the application of information  
8 to the resolution of the issues.

9 So we're putting in place the mechanics to facilitate  
10 the licensing review process and the closure of technical  
11 issues through that effort.

12 We have, of course, brought on our M&O contractor  
13 under TRW with the fundamental objective and responsibility  
14 to make efficient the technical management of the program,  
15 to integrate our activities, and to point everything toward  
16 the resolution of issues, the achievement of the licenses  
17 that we need, and, of course, basically the achievement of  
18 those two major goals, beginning spent fuel receipt in 1998  
19 and disposal in 2010.

20 A very important recent event -- this is one that  
21 doesn't show up externally, but I can't tell you how  
22 important it is -- we have completed the so-called ESAAB  
23 review of our Yucca Mountain project plans. ESAAB stands  
24 for Energy Secretary's Acquisition Advisory Board.

1           This is an independent high level board chaired by the  
2 Under Secretary within the Department that reviews and  
3 passes judgment on the foundation plans for proceeding with  
4 the program. We will have an ESAAB review for the MRS  
5 activities once we have the site and the design  
6 established. This essentially gives independent  
7 authority and approval to our basic plans to move forward  
8 with the activities at Yucca Mountain with respect to the  
9 Title II design of the ESF facility and also with respect  
10 to our other plans for the program, a vitally important  
11 imprimatur for the plans for moving forward at Yucca.

12           [Slide.]

13           DR. BARTLETT: Now, I said that among our various  
14 milestones, some of them are of more external significance  
15 than others. I mentioned, for example, ESAAB as being very  
16 important to us because it gives force to and confidence in  
17 our management plans in terms of our schedules and our  
18 budget requirements.

19           To the external world, some of the milestones, as I  
20 mentioned, are more important than others because they are  
21 highly symbolic of progress, and what I'd like to do is  
22 just indicate to you what we hear and what we understand,  
23 of course, are in fact these highly symbolic milestones  
24 with respect to progress.

1           Of course, the start of new site interrogation  
2 activities, which began last July, was a very important  
3 thing. That was the first new activity with regard to site  
4 interrogation since 1986 and it was a very significant step  
5 forward with respect to progress and characterization of  
6 the Yucca Mountain site.

7           Another one is this focal point of the start of  
8 underground excavation at Yucca Mountain. Also, and again  
9 keeping in mind that these two goals are of equal rank, we  
10 find the siting of the MRS facility, to identify where  
11 we're going, is a very important external milestone, as  
12 will be, of course, start of MRS construction and then  
13 eventually, getting back to the matter of disposal, the  
14 evaluation, the determination of whether or not the Yucca  
15 Mountain site is a suitable location for disposal.

16           [Slide.]

17           DR. BARTLETT: A couple more of those. After we get  
18 through those early stage milestones, actual implementation  
19 of the program with respect to starting the waste  
20 acceptance at the MRS, the 1998 goal, and submittal of the  
21 repository license application, which would indicate,  
22 assuming, of course, that the site is suitable, that we are  
23 ready to proceed toward disposal.

24           Those are very, very important milestones, as I said,

1 to the external constituencies, and they are the ones that  
2 they look for progress and accomplishment on principally.  
3 Our job internally is to get all those other milestones  
4 accomplished so that we get to those two.

5 [Slide.]

6

7 DR. BARTLETT: Now, among those, underground  
8 excavation is in fact a uniquely significant one. We all  
9 agree that getting underground is essential to get key data  
10 for determining whether or not the Yucca Mountain site is  
11 suitable. There's no issue there with respect to the  
12 significance of the action as a means for getting essential  
13 information, and also, our external constituencies also  
14 find, as I said, that starting underground is a very highly  
15 symbolic action with respect to progress.

16 Closely associated with that with regard to program  
17 operations are a couple of other very significant factors,  
18 very significant to us operationally in making progress  
19 with respect to this milestone. That is the fact that we  
20 have to have extensive interaction with the NRC with regard  
21 to the design and implementation of the design for the ESF  
22 facility. This is because the ESF, if the site is found  
23 suitable, will become part of the repository, and it has  
24 potential impact, therefore, on the safety performance of

1 the repository system. So it's essential as we proceed  
2 with the ESF design that we interact very strongly with the  
3 NRC to be sure that we and they are taking into account the  
4 potential impacts of the design of the ESF on the safety  
5 performance of the repository.

6 What this says in practice is this is not just a  
7 business of designing an excavation and going and digging  
8  
9 the hole. There is a process surrounding it which the NRC  
10 calls design control which is an inherent and very  
11 important part of the package of effort associated with  
12 this facility. So what that means is that the effort  
13 is burdened by these activities as an inherent part of the  
14 process and, as you will see in a few moments and Carl will  
15 elaborate later, it's a very key feature of the budgeting  
16 allocation because we have to treat this as a package, and  
17 we also have to sustain and maintain continuity of our  
18 effort with regard to all aspects of getting underground.

19 [Slide.]

20 DR. BARTLETT: Now, in practice with regard to the  
21 overall picture of evaluating the suitability of the Yucca  
22 Mountain site, we have identified what we expect to be some  
23 of the key factors, the key factors with respect to  
24 determining whether or not it's a suitable site, and for

1 perspective, I have indicated the sources of information  
2 that will bear on our determination of the influence of  
3 those factors on the suitability of the site.

4       The point I'm trying to make here is that the  
5 underground excavation is part of the big picture of  
6 gathering information on site suitability. It's a very  
7 important part, but it is only a part, and this again is  
8 part of our consideration in how we allocate our budgets to  
9 our activities and it fits in with all of the other  
10  
11 concerns, such as the significance of the milestones and  
12 things of that type. I hope that will become apparent as  
13 we go forward.

14       [Slide.]

15       DR. BARTLETT: Now let me talk about the factors that  
16 affect the progress and the budget allocations.

17       [Slide.]

18       DR. BARTLETT: First, let me start on the upside.  
19 There are factors that can aid progress and help assure  
20 that we meet those goals. Obviously, the first one you  
21 think of is in fact sufficient funding. Let me relate that  
22 now to this ESAAB review I mentioned.

23       A key part of the ESAAB review is that the program  
24 provides to these independent people and there is done

1 independently an estimate of the costs associated with the  
2 activities to be accomplished. That cost baseline and the  
3 schedule baseline are fundamentally important factors, and  
4 that identifies for the program funds needed to accomplish  
5 the work defined.

6 So what that amounts to, with that ESAAB review is  
7 that they have endorsed the program's expectation of  
8 funding requirements to accomplish the work of the program.

9 So we have an independent approbation of our estimates of  
10 the work and the funds required. So when you ask the  
11 question "What is sufficient funding?", that is the basis.

12 That identifies what constitutes sufficient funding. So  
13 having funds equal to that then helps, of course,  
14 achievement of our milestones and goals.

15 Another thing that would help obviously is if we do  
16 get, in fact, with regard to Yucca Mountain clear, distinct  
17 evidence of suitability or unsuitability. Of course, one  
18 of the key things about the exploratory studies facility is  
19 it is aimed to do that, and we'll talk a little more about  
20 that later.

21 If we can have expeditious institutional proceedings  
22 of all kinds and we can minimize the licensing review  
23 issues, as I mentioned, through our interactions in the  
24 prelicensing phase, these also will help assure that those

1 aspects of the program do not delay achievement of the  
2 goals or the milestones of the activities. We are working,  
3 as I indicated, through our interactions with the NRC on  
4 the annotated outline toward basically facilitating both of  
5 those aspects, the minimization of licensing review issues  
6 and expediting the proceedings.

7 [Slide.]

8 DR. BARTLETT: Now, there are also factors that delay  
9 progress. If national policy changes -- for example, an  
10 attitude was adopted that the program should be slowed down  
11 and we should store spent fuel indefinitely at reactors,  
12 which has been proposed as a bill before the Congress that  
13 would propose to do that -- that of course would affect  
14 everything on the program and would undoubtedly -- the  
15 objective of such would be basically to delay the program,  
16 and specifically to delay the activities at Yucca Mountain.

17 If there is a delay in MRS siting, if we don't manage  
18 to know where we're going by about a year from now, then  
19 that would have essentially a one to one -- there's a  
20 little bit of flex, but not much -- that would have a one  
21 to one relationship or impact with regard to our ability to  
22 begin spent fuel receipt in 1998.

23 If there is significant political or legal obstruction  
24 that forces the program activities to slow down, then that



1 could also affect the program. Of course, that has  
2 happened in the past. As a result of the state of Nevada's  
3 legal test of the program viability, there has been a slow  
4 down in comparison with the progress the program might have  
5 made.

6 If there is difficulty in clearly resolving site  
7 suitability issues -- in other words, if we find that the  
8 data are inevitably fuzzy and difficult to interpret with  
9 regard to whether or not the site is suitable or unsuitable  
10 -- this would have the effect of driving us toward  
11 continuing to try to get more data and stretching out the  
12 activities, the duration and the cost of moving toward that  
13 decision.

14 Of course, that would therefore slow down the end  
15 results of making the determination and then moving forward  
16 if the site is found suitable, and, of course, the program  
17 with regard to disposal would be highly impacted if we do  
18 have to make a finding that the Yucca Mountain site is not,  
19 in fact, suitable.

20 Congress calls for us to come back after such a  
21 finding and get further guidance as to what to do next, and  
22 that would be a Congressional decision.

23 [Slide.]

24 DR. BARTLETT: A few more things that could delay the

1 progress. You'll notice this is a much longer list than  
2 the factors that could aid progress. If there is in fact  
3 difficulty in resolving licensing issues, and again, the  
4 issue here would be technical uncertainty having to do with  
5 resolution of the issues, that, of course, would stretch  
6 out the licensing review process, would cause potentially  
7 extended data acquisition, and, again, delay the program.

8       If in fact we were to experience what I called here  
9 continuing evolution of regulatory requirements, that we  
10 don't have clear identification of the standards to be met  
11 and demonstration of the means for demonstrating compliance  
12 well established, then we could get into a situation where  
13 we have essentially regulatory rationing and we don't  
14 clearly and easily and readily close on the issues  
15 associated with licensing. We have to get that regulatory  
16 framework and the regulatory requirements stabilized to  
17 avoid that.

18       Finally, if we do not have sufficient funding to meet  
19 the goals, to meet the requirements for the work to be  
20 accomplished on schedule, then the program would be  
21 inevitably delayed.

22       [Slide.]

23       DR. BARTLETT: So moving on from that, now let me talk  
24 about the factors that affect the budget strategies and the

1 allocations. I've tried to do this from essentially a  
2 policy point of view.

3 [Slide.]

4 DR. BARTLETT: We have, of course, the ESF situation  
5 as a case study, and I'll be addressing that, but what I am  
6 trying to communicate to you is the policy foundation under  
7 the circumstances that we live.

8 There are a number of factors that do impact effective  
9 strategies and allocations: first and foremost, of course,  
10 the guidance we have from Congress, which is a very narrow,  
11 clearly defined mission, the Secretary's goals to implement  
12 the guidance from Congress and the mandates from Congress,  
13 and, of course, the fact that we do have these contracts  
14 with the utilities.

15

16

17 Those contracts amount to, as I'm sure you are aware,  
18 essentially an agreement of fees paid for services  
19 rendered, and the utilities and the National Association of  
20 Regulatory Utility Commissioners, and the individual PUCs  
21 are expecting the program to provide services in accord  
22 with fees paid.

23 Over \$6 billion has been paid into the program so far.

24 So far, \$2.some billion of that has been expended and the

1 general consensus is that there has been no progress. We  
2 haven't sited an MRS, we haven't determined whether or not  
3 Yucca Mountain site is suitable, and, as you might imagine,  
4 we hear about this a lot.

5 So the very key feature of this factor is this  
6 contractual relationship and the direct relationship  
7 between fees paid, services to be rendered, failure to  
8 render services in timely fashion, and, of course, then the  
9 consequent pressure for program progress from the  
10 constituencies.

11 Now, closely related to that in many ways is our need  
12 to comply with regulatory requirements. Regulatory  
13 requirements for this program are extensive. I think I  
14 have mentioned to you before, we have identified already  
15 over 2,500 specific requirements that we have to be  
16 responsive to.

17 Later on, Carl will delineate some of that for you  
18  
19 in terms of agencies and other things that are involved in  
20 that, but the requirements are extensive, and they include,  
21 of course, the quality assurance activities, assurance of  
22 safety, and all other things with regard to accountability  
23 of the program.

24 That costs money. It costs a significant amount of

1 money to provide assurance of compliance with the  
2 regulatory requirements. It's a major cost factor in the  
3 program. Again, later on, you're going to see just how  
4 significant that is.

5 We also have to comply with the Federal Government's  
6 acquisition requirements, and this has a lot to do with  
7 process and rate of progress because the acquisition  
8 process for things such as casks and tunnel boring machines  
9 under the Federal Government is a fairly complex process to  
10 assure fairness in procurement. So there's a lot of  
11 institutional time associated with that, and we have to  
12 plan for that in our scheduling and our budgeting.

13 The timing of it is important, bringing together the  
14 acquisition and its results, and the program process where  
15 the product of the acquisition is going to be used. It's a  
16 tricky business and it's especially significant for this  
17 program because the things we have to acquire are  
18 expensive, and I'll come back to that, too.

19 We also need to service, of course, the interests  
20  
21 of oversight functions and the interested and affected  
22 parties. We've identified over 200 constituencies for this  
23 program, and as far as I can see, no two of them see the  
24 program the same way. Other than that, it's real simple.

1           But again, this is a major program activity, and,  
2 again, there are significant costs that have to be  
3 allocated to provide those services.

4           [Slide.]

5           DR. BARTLETT: I just mentioned that we have over 200  
6 identified constituencies, and they don't always see things  
7 the same way. Let me give you a broad example.

8           The utilities and the regulatory commissions, of  
9 course, are very interested in achievement of progress.  
10 Intense pressures -- meet the milestones; achieve the  
11 goals.

12           The NRC, and just using an example, not picking on the  
13 NRC, but the NRC is very interested in cautious progress,  
14 because eventually, they have to review our license  
15 application and eventually, as a result of that, to become  
16 the program's advocates to the Commissioners in order to  
17 get the license. So they would like everything done with a  
18 maximum of acquisition of data and analysis to really get  
19 in their comfort zone.

20           The two are fundamentally potentially in diametric  
21 conflict, in a sense -- move forward as fast and  
22 effectively as you can; go as cautiously and thoroughly and  
23 carefully as you can.

24           Of course, throughout our activities, we have to

1 exhibit and apply principles of prudent management. Our  
2 budget strategy is affected by the actual level of funds  
3 provided and the level of funds provided is in turn  
4 affected by, in the Federal budgeting process, the  
5 competition of funds for what's made available.

6 I don't know how familiar you are with the budgeting  
7 process, but it's a quite complicated process. The Fiscal  
8 '92 budget which we started to implement last month, or in  
9 October, was started into motion a year and a half before  
10 then, before the nuclear waste negotiator was even  
11 appointed, before we had any progress with respect to the  
12 court actions, with respect to issuance of permits.

13 The foundation was established well in advance of the  
14 actual implementation. So many things happened in real  
15 time between what we set as a budget, what Congress then  
16 gave us, and then how we would allocate the activities. So  
17 there's a real-time aspect that impacts what is actually  
18 done in addition to the long range budget process itself.

19 In that process, which started, as I said, a year and  
20 a half ago, our funds compete with in a sense all the other  
21 requests for funds in the domestic side activities within  
22 the Department of Energy.

23 The Department receives guidance from OMB as to

24

1 what the total budget allocation should be at the top level  
2 for the Department, and it also gives guidance for each of  
3 the operating units within.

4 So, for example, in a sense, I compete with nuclear  
5 energy and Leo Duffy's environmental restoration and waste  
6 management activities for the allocation of the general  
7 budget levels that have been established by the  
8 Administration, and the adjustments and the variations  
9 between those depends on decisions made, for example, by  
10 interactions between myself and the Secretary, and then by  
11 the Secretary and interactions with OMB.

12 So it's a process that has many, many steps involved  
13 in it, but the important thing here is that the funds that  
14 actually are allocated in the President's budget that's  
15 sent to Congress is determined by a highly interactive  
16 process of the kind I've just outlined for you. Then, of  
17 course, we get into what Congress does to what was  
18 submitted by the President, and that's another entirely  
19 different set of affairs.

20 But the point I'm trying to make is that we are  
21 involved in this trade-off process which is very broad, and  
22 that the levels we finally come out with are dependent on  
23 how that process prevails. This is true at any given time  
24 for any given fiscal year.



1 [Slide.]

2

3 DR. BARTLETT: Okay. Let's get into the nitty-  
4 gritty. Budget allocation factors in action: Why the  
5 start of the ESF construction was delayed.

6 Obviously, everybody comes in and says, "My God,  
7 you've got the most symbolic milestone in the program. Why  
8 don't you throw money at it and take the cuts out of  
9 somewhere else?" Well, we did take the money out of  
10 somewhere else as much as we could. Within the framework  
11 of the things I've outlined so far, what I'd like to do now  
12 is elaborate a little bit on how the action was taken.

13 [Slide.]

14 DR. BARTLETT: The initiating factor, of course, was  
15 that the budget appropriation for Fiscal 1992 was \$30  
16 million less than we had requested and that the President's  
17 budget had requested. As a matter of history, the \$305  
18 million was alive until the House and Senate Conference  
19 Committee -- at the very last minute, the \$30 million was  
20 removed by the Congress.

21 So that year-and-a-half process had sustained that  
22 \$305 request, and then it was removed by the Conference  
23 Committee. So we found ourselves essentially with an  
24 overnight action to respond to the impacts of the action

1 taken by Congress.

2 [Slide.]

3 DR. BARTLETT: Now, in our decision process, we

4

5 considered quite a number of factors, and they all come  
6 into the picture, and this is why I emphasized right up  
7 front that those two goals are of equal rank, because you  
8 will see the impact of that in the decisions that we make.

9 First of all, as we already mentioned and we all know,  
10 the start of the ESF construction is in fact a very  
11 important progress milestone for the constituencies, it's  
12 highly symbolic of progress in site evaluation, and,  
13 closely related to that technically, is pointing at very  
14 significant information with regard to whether or not the  
15 site is suitable, specifically, identification of whether  
16 or not there are fast paths for flow in the Calico Hills  
17 formation underlying the disposal horizon. A very  
18 important milestone.

19 Also, keeping in mind that the goals are of equal  
20 importance, siting of the MRS and the start of spent fuel  
21 receipt in 1998 are also very important critical  
22 milestones.

23 [Slide.]

24 DR. BARTLETT: Just about the time that the budget

1 action was taken, the negotiator's efforts started to  
2 produce results. Within a month after the budget action  
3 was taken and we were acting on it, we had our applications  
4 starting to come in. We now have, as I said, seven  
5 applications, two of which have been funded so far. The  
6 other five were just recently received and the applications  
7  
8 are being processed.

9 So we have potential, very significant potential for  
10 progress toward siting of the MRS in a timely fashion.  
11 Those activities must be serviced in terms of funding. As  
12 you'll see later here, we just can't drop the ball with  
13 respect to that responsibility.

14 We also, as you recall, back in July started drilling  
15 and trenching activity, again very symbolic of progress,  
16 visible, tangible evidence of activity at the site moving  
17 toward site evaluation.

18 We started those activities. We had drill rigs in  
19 action. We had bulldozers in action, and those were  
20 ongoing, and they could be sustained at relatively low cost  
21 and still maintain that visible and tangible evidence of  
22 progress.

23 We have ongoing at the site acquisition of data that  
24 are required as part of the regulatory baseline. That

1 can't be stopped. It is a continuing evolution of  
2 information that is essential, such things as operating the  
3 seismic network and gathering environmental data. So that  
4 has to be funded.

5 [Slide.]

6 DR. BARTLETT: Dr. Deere mentioned in his introduction  
7 the fact that we had already cut our activities with  
8 respect to the waste package design to the bone because  
9 of limitations in funding. We couldn't cut that or  
10 anything else any further because we have to sustain at  
11 least at minimum-critical-mass levels all of the activities  
12 in the program to maintain continuity. So we couldn't cut  
13 back on any of that activity any more than we already have.

14 Now, the ESF activity, as I already mentioned, is a  
15 block of effort; it's not just design and construct the  
16 ESF. Very closely related to it is this activity, the  
17 activities associated with design control, investigation as  
18 you go, the relationship between the design and the impact  
19 on a potential repository system performance. As a result,  
20 there is a package of activities, the design effort itself  
21 and the design support activities, which must be funded to  
22 get sustainability and continuity of the program.

23 In addition, to implement the design, we have to  
24 procure equipment and support services, and so there is

1 actually a very large block of funds associated with the  
2 ESF activities, and that, of course, is a consideration.  
3 I'll detail that a little more, and then Carl will really  
4 detail it for you.

5 Then in addition, of course, we are moving forward  
6 with regard to the program integration. We have the M&O  
7 contractor on board. He is ramping up, and we have to  
8 maintain continuity and appropriate interaction between the  
9 level and types of effort undertaken by the M&O and our  
10  
11 program progress. So that has to be sustained also.

12 [Slide.]

13 DR. BARTLETT: Now, here is actually what we did. In  
14 the proposed budget that went to the Congress a year and a  
15 half before Congressional action, we had indicated for this  
16 package of activities relating to ESF design a funding  
17 allocation of \$35.5 million, and it's all a coherent piece,  
18 as I said. They have to go together. That's the package  
19 for the design and design-related work.

20 What we actually came out with after the \$30 million  
21 cut was taken is an allocation of \$14.5 million to that  
22 activity in this current fiscal year. So we took \$21  
23 million out of it, and that meant that also, as you'll see,  
24 that \$9 million of the cut was applied to other activities

1 within the program.

2 One thing I would point out here, if you look at the  
3 dollar relationships, the monies actually spent on the ESF  
4 design are significantly cut. Relatively speaking, the  
5 activities or the costs associated with repository  
6 interface and the control systems is not cut so much.

7 These are like fixed overhead costs. They are  
8 relatively insensitive to the design level effort. It's  
9 like the analogy I have used for the program as a whole --  
10 it's like running a railroad. If you're going to run a  
11 railroad, first you have to design, build and maintain the  
12  
13 tracks, and you have then the fixed foundation for the  
14 program. Then you can run as many trains as you have  
15 resources on those tracks as much as you want, but you  
16 still have to maintain the tracks.

17 We have these foundations which correspond to the  
18 railroad tracks, much of which has to do with regulatory  
19 requirements, upon which then we can build the activities  
20 of the program as they are funded. So we have to maintain  
21 this at a sufficient level, and then, as the funds are  
22 available, we can expand our activities with regard to  
23 design.

24 [Slide.]

1 DR. BARTLETT: Closely tied to that is the work and  
2 budget requirements to implement the design, and, as I  
3 mentioned, we have to comply with procurement policies and  
4 requirements in the Federal Government. So what we have is  
5 an expectation or potential for procurement of upwards of  
6 \$67 million worth of equipment and support services to  
7 implement the ESF.

8 This was not in the budget proposed in Fiscal 1992.  
9 The basis for this acquisition would be having in place the  
10 design, and so this was to be a procurement in Fiscal '93,  
11 contingent on moving forward with design in Fiscal '92 at  
12 the level as originally planned.

13 In all of this, there is flexibility. As the Board  
14 pointed out in your report, there is opportunity to  
15  
16 consider various alternatives with regard to the tunnel  
17 boring machines. There are alternative ways that we might  
18 achieve the power. So there is flexibility in here, but  
19 the point is that there is a large block of money  
20 associated with procurement. The procurement itself is  
21 contingent on making progress with the design basis for the  
22 procurements. So these again are very closely related.

23 Now, another point I'd like to make at this  
24 opportunity is that \$67 million, \$35 million for the design

1 effort -- this is serious money as a fraction of the money.

2 Now, the point I have made in other venues and I make  
3 here again is that the increments of money essential to  
4 move the program forward are major bucks. The program  
5 elements run roughly in \$50 million increments.

6 Now, relating that to that to the business I told you  
7 about of our program essentially competing with other  
8 programs within the Department for budget allocations, it  
9 says that every time I get \$50 million, someone else is  
10 giving up \$50 million, and when I come in in \$50 million  
11 hunks to move the program forward, this has significant  
12 reverberations within the budgeting process.

13 [Slide.]

14 DR. BARTLETT: Now, what were our options for  
15 absorbing that \$30 million shortfall? One was that we  
16 could defer cask procurement. That was a significant  
17 element of

18

19 the budget. We could slow down the ESF design, which is  
20 what we did, and we could distribute some of the cuts among  
21 other activities, which again is what we did. We exercised  
22 as we thought appropriate both of those.

23 [Slide.]

24 DR. BARTLETT: We could not defer the cask procurement



1 because to do so would essentially mean that we would  
2 commit ourselves to missing the 1998 goal. We would not  
3 take any action that would clearly cause us to miss our  
4 contractual commitment to begin the receipt of spent fuel  
5 in 1998. We did cut those activities to the minimum  
6 necessary, but no action -- and you'll see this in the  
7 policy basis -- we could not take action which would  
8 clearly cause us to miss our commitment to begin spent fuel  
9 receipt in 1998.

10 So we did then retain minimal funding needed for the  
11 storage and transportation activities to meet that goal.  
12 We deferred the ESF-related procurements, but we did retain  
13 the site preparation design activities, which would allow  
14 us to hold the potential schedule delay with respect to  
15 start of underground excavation to one year, assuming, of  
16 course, that in future years, the appropriations will meet  
17 needs -- in other words, the appropriations will catch up  
18 with the cost baseline and schedule baseline that was  
19 established in the ESAAB review as a basis for the program  
20 activities. Then we did distribute and take small cuts  
21 in the

22

23 activities where we do have a little bit of discretionary  
24 budget, but we could not lose, we did not want to lose our

1 minimum sustaining level of effort.

2 [Slide.]

3 DR. BARTLETT: So in a sense, to reiterate, our  
4 rationale was that we must maintain all the activities as  
5 necessary to meet that 1998 goal, and that if we took any  
6 cuts in storage and transportation that would preclude  
7 that, we would do irreparable harm and make it impossible  
8 for us to meet that goal.

9 This would not be very good action now that the  
10 negotiator is being successful, the potential MRS hosts are  
11 looking for us to follow through, and we already know, of  
12 course, that if we take any action that clearly says we're  
13 not trying to meet 1998, we could expect action in response  
14 from the utilities with whom we have the contracts.

15 [Slide.]

16 DR. BARTLETT: Then the other factor in the rationale  
17 was that, as I indicated earlier, there is some flexibility  
18 with regard to the activities leading toward the site  
19 suitability decision. We cannot make that decision as to  
20 whether or not the site is suitable in advance, the timing  
21 of it. We don't know what we're going to find. We will be  
22 iterating our process.

23 So we anticipated the possibility that the delay

24

1 could be accommodated by factors that occur after the  
2 construction actually gets underway, that we could take  
3 advantage potentially of some of the flexibility with  
4 regard to the information and its use pointing toward the  
5 evaluation of whether or not the site is suitable.

6 [Slide.]

7 DR. BARTLETT: So we were able to identify potential  
8 offsets for that delay looking ahead toward the results of  
9 all the activities -- in other words, the determination of  
10 whether or not the site is suitable.

11 First of all, the design itself and the basis for data  
12 acquisition, how we will use the facility, have improved  
13 substantially since the original effort associated with the  
14 site characterization plan. Now that we have ramps rather  
15 than shafts, we will begin getting data sooner.

16 We will have data through all of the geologic features  
17 down to the repository horizon and into the Calico Hills  
18 formation under the repository, and so we will get a  
19 broader range of data, and we'll actually start getting  
20 data sooner than we would have gotten it had we had a  
21 vertical shaft. So there is some accommodation there.

22 We now have a better understanding, through our  
23 performance assessment and drilling acquired activities and  
24 others, drilling acquired data, of the fact that the fast

1 paths are one of the critical issues with respect to  
2  
3 evaluating whether or not this site is suitable, and so we  
4 have a more pointed target for our excavation activities.  
5 We know what we want to do with it once we do it. So we  
6 can, once we get started, get results, significant results  
7 out, hopefully sooner.

8 [Slide.]

9 DR. BARTLETT: In addition, as potential offsets,  
10 again as a result of focusing on essential information to  
11 the suitability evaluation, there's a possibility that we  
12 may need less data than we had originally anticipated. So  
13 as a result of having focused on the critical issues and as  
14 a result of performance assessments, uncertainty  
15 evaluations and sensitivity evaluations, we may be able to  
16 get, again, results sooner even though we start later.

17 In addition to that, now that we have established the  
18 strategy of working with the NRC through the annotated  
19 outline to establish a prioritized and focused effort  
20 toward closing issues, we may be able again to make some  
21 accommodation and gain some advantage with respect to our  
22 progress toward the goals for the Yucca Mountain site  
23 evaluation.

24 So we see all these as opportunities to compensate for

1 the one-year delay, and, again, I have to underline, it's  
2 only a one-year delay if, in fact, future funding allows us  
3 to proceed and to meet all our other requirements

4

5 for the program.

6 [Slide.]

7 DR. BARTLETT: Let me now briefly generalize that as a  
8 basic policy.

9 [Slide.]

10 DR. BARTLETT: Very simply, we want to maximize our  
11 potential to meet the program goals, again emphasizing the  
12 goals, begin receipt in 1998, begin disposal in 2010. That  
13 also implies that we take advantage of any flexibility we  
14 have in the time frame between now and when those goals  
15 come due.

16 We must fund all the effort that's required in order  
17 to meet the regulatory requirements, and in terms of  
18 progress of the program, let me emphasize again the need to  
19 make sure the regulatory requirements just don't keep  
20 growing and changing as the program moves, too. Otherwise,  
21 we never get there.

22 Then when we are faced with any shortfalls in  
23 appropriations, we'll take two actions, basically.

24 [Slide.]

1 DR. BARTLETT: Avoid the loss of continuity of  
2 activities and resources. We just can't afford to shut  
3 down and then try to start up later in any of our  
4 activities. And then, as illustrated by the ESAAB action,  
5 apply the reduction of funding as necessary to activities  
6 where in

7

8 fact we do have some potential for schedule recovery in the  
9 future.

10 Now, with regard to that, let me emphasize again

11 -- I keep coming back to this ESAAB point because it's  
12 very important -- that has identified for the Yucca  
13 Mountain activities in particular a resource requirement,  
14 dollars and time, a time/dollar integral, to get the job  
15 done. The integral has to be fulfilled.

16 If we run through a period where the funding is  
17 falling short, it has to be made up in order to stay on the  
18 objectives with regard to schedule on those milestones. So  
19 we have to compensate for any reductions if indeed we are  
20 going to stay on our program objectives.

21 If we get too much of a continuing reduction under the  
22 requirements in order to hit schedule, then you get into a  
23 position where it's simply not possible to recover. You  
24 can't ramp up. You can't get these \$50 million increments,

1 multiples of them, in a fixed year such that you can just  
2 throw money at the program and compensate for underruns in  
3 the integral. So there is a limit to the practicality of  
4 the progress and the compensations for under-funding of  
5 activities and the rate at which you can compensate in the  
6 future.

7 Through all of this, we must match our M&O ramp up,  
8 and it'll be at steady state in approximately two years,

9

10 but as we ramp up and allocate their activities, they have  
11 to keep pace with the activities, and the activities, of  
12 course, are keeping pace with the budgets. So we're trying  
13 to balance all of this keeping in mind those goals.

14 [Slide.]

15 DR. BARTLETT: Pictorially, what that looks like --  
16 I've mentioned before and I'll emphasize again, we have  
17 this foundation, the railroad tracks, which we must fund in  
18 the program in order to operate, and then we have  
19 discretionary budgets above that, and we have allocated our  
20 discretionary budgets at the minimum necessary to still  
21 achieve that goal, the beginning of spent fuel receipt in  
22 1998.

23 With regard to site evaluation, we have prioritized  
24 and focused the activities pointing towards site

1 evaluation, taking advantage of maintaining the goal with  
2 advantage taken of the flexibility that appears to be there  
3 at this point in time.

4 [Slide.]

5 DR. BARTLETT: A few very brief words on contingency  
6 planning.

7 [Slide.]

8 DR. BARTLETT: This was a constant frequent subject in  
9 the workshops we had with interested and affected party  
10 representatives pointing toward the Draft Mission Plan  
11  
12 Amendment.

13 Continuing concern about contingency planning: What  
14 are you going to do if Yucca Mountain is not suitable? and  
15 various questions of that kind. A great deal of interest  
16 in the subject.

17 I assure you I assured them we do extensive  
18 contingency planning on a continuing basis at both the  
19 strategic and tactical level. It is not, however, a public  
20 process, basically. We are not going to issue public  
21 reports on our various contingency considerations. We have  
22 at present a very narrow, very focused, very specific  
23 mission assigned by Congress, and our job is to attend to  
24 the contingencies associated with achieving the mission as



1 assigned by Congress, but not to fool around with  
2 alternatives to the mission. So we are continually on  
3 programmatic issues doing contingency planning with regard  
4 to our activities.

5 I have simply indicated here basically at the  
6 strategic level, we have addressed things such as delayed  
7 Yucca Mountain access. That was done before and, of  
8 course, we now transfer from the issue of permits allowing  
9 us to proceed to essentially funding to allow us to proceed  
10 in accord with the program plan as has been established.

11 What are the consequence of delayed MRS siting? Well,  
12 as I have already mentioned with regard to that, right

13

14 now, there is very little flex in terms of either schedule  
15 or funds required to meet that 1998 goal, and so what we  
16 look at is essentially the one-to-one correspondence if  
17 it's delayed and the impacts on the date at which we could  
18 begin spent fuel receipt.

19 But I have to say there, with seven expressions of  
20 interest in hand, two more that we know of coming, I am  
21 building my confidence that we will meet that goal of  
22 siting that MRS by a year from now, and then be were on our  
23 way to meeting our goal of 1998 start of receipt.

24 All of our contingency planning is also interactive

1 with the Department's strategic planning; so some of the  
2 activities that we engage in are related to the  
3 interactions we've had with other activities in the program  
4 or in the Department and the kinds of information the  
5 Department requires for us to provide to them, too. That's  
6 family business.

7 [Slide.]

8 DR. BARTLETT: I'd like to very briefly summarize the  
9 budget with regard to Fiscal 1992, and again, let me  
10 emphasize that this number was put into motion a year and a  
11 half ago, almost two years ago now. It was sustained until  
12 the very last minute, when it came out at that.

13 If you look now at the distributions, you find that  
14 the funding going to the first repository, although  
15  
16 it's a smaller pie by \$30 million, is now a larger  
17 percentage.

18 What we did qualitatively is to cut back the MRS and  
19 transportation, as I said, to the minimum necessary to  
20 sustain the 1998 goal, and that's also, of course, being  
21 paced by the progress achieved by the negotiator, but now  
22 our need is to follow through on the opportunities provided  
23 by these candidate hosts to maintain program management as  
24 necessary, maintain technical support as necessary, and

1 this is part of the railroad, of course, that has to be  
2 sustained, part of the tracks.

3 That concludes the remarks I wanted to present to you.

4 We will, through Mr. Milner and Mr. Gertz' presentation,  
5 be giving you more details on some of those factors, and we  
6 are, of course, available now for questions as you see fit.

7

8 DR. DEERE: Yes. I wonder if you would like to take  
9 questions now, if the Board would like to ask questions  
10 now, or if we should get to them later in the afternoon  
11 after we have heard the other presentations.

12 DR. CANTLON: Well, it might be just as well to get  
13 the answers later after we have heard them.

14 DR. DEERE: I think, if it's okay, we might get  
15 questions now, if that's okay.

16 DR. BARTLETT: I'd be glad to.

17

18 DR. DEERE: Okay. Comments? Yes, Warner.

19 DR. NORTH: I wonder if you could tell us about the  
20 Fiscal '93 budget. If this process has a lead time of a  
21 year and a half, obviously, you can't tell us how the  
22 process is going to come out, but maybe you could give us  
23 some idea of what the plan is and what thinking you have  
24 done about the contingencies if you do not get an increase

1 in funds shall we say in the next \$50 million increment  
2 that you'd need for the program?

3 DR. BARTLETT: Well, I really can't tell you anything  
4 about where it stands until the President's budget is on  
5 the table, which is fairly shortly now, and I also can't  
6 tell you about how it got there.

7 There are many, many steps in the process, and the  
8 situation varies as you go through the steps. There are  
9 iterations between the Department, between OMB, iterations  
10 within the Department, and then, of course, ultimately,  
11 after the President's budget is established, we have all  
12 the associated Congressional decisions.

13 What I can tell you is that what we sought, what we  
14 are seeking, is totally consistent with what I have  
15 described here. In my interactions with the Secretary, I  
16 made the point of progress and sustainability of the  
17 program coming in large hunks and the implications of that  
18 with regard to the program, and fundamentally, the point  
19 that if  
20 we don't get the hunks, we don't make the progress.

21 It does no good to have \$10 million increments because  
22 that does not meet the needs of the program, and \$30  
23 million cuts, which if you put that in perspective, if you  
24 look at that distribution, then you'll see this layer in

1 more detail. If you assume that all of the discretionary  
2 funds in the program were essentially to be applied to the  
3 Yucca Mountain, \$30 million on that budget was 50 percent  
4 of the discretionary money to the program.

5 The cost to run our railroad tracks, to run the tracks  
6 to this program is very high because of the regulatory  
7 requirements, so that \$30 million was a very significant  
8 number, and as we balance it with the goals and things I  
9 described, it had the impacts which I have outlined to you.

10 As I said, you'll see more about that.

11 We're doing the same sort of thing, Dr. North, with  
12 respect to the future. We play the contingency game all  
13 the time. We drive poor Carl nuts. What if your funding  
14 is this, that? And the same with Ron. And we are  
15 continually responding to the possibilities, and this does  
16 go on as the numbers vary, as we go through the process  
17 leading to the present. It's a very dynamic process.

18 DR. DEERE: Any other questions? Clarence?

19 DR. ALLEN: You have emphasized time and again the  
20 equal rank of the 1998 and 2010 deadlines. It seems to me

21

22 that in terms of the 2010 deadline regarding Yucca  
23 Mountain, at least we know what has to be done given  
24 adequate funding. Volumes have been written about what has

1 to be done in terms of characterization to either prove the  
2 site suitable or unsuitable.

3 The 1998 deadline depends critically, apparently, upon  
4 this 1992 siting of the MRS. You say you're optimistic. I  
5 fail to understand why you are optimistic if only two of  
6 the study contracts have even been let to date. How can  
7 you be optimistic that by the end of 1982, we will actually  
8 have a site for an MRS chosen?

9 DR. BARTLETT: I said we know where we're going, and  
10 that's very important, that we have identified where we're  
11 going, who the host or hosts will be. I say I'm confident  
12 of that because every one of them is as interested as we  
13 are in knowing where they're going to be a year from now  
14 because they do not want to drag out the process, and we're  
15 not going to allow it to be dragged out and just throw  
16 money at the Federal trough handing out money.

17 We have established and outlined for you the process  
18 associated with this thing. What the potential hosts are  
19 responding to is what we call a Phase I application or  
20 grant opportunity, a grant to evaluate whether or not  
21 essentially they are interested in hosting an MRS. So  
22 Phase I is very short and it's limited funding --

23

24 \$100,000 maximum -- and it's just for them to evaluate the

1 feasibility of proceeding.

2       Then we move into Phase II, which has two components,  
3 and Phase II is the winnowing process. If they determine  
4 that they are interested in proceeding after they have gone  
5 through Phase I, which is very short -- if Mescalero or  
6 Apache have completed it, next week, I will receive their  
7 application for Phase II, and the others are on the same  
8 kind of fast track. They are very interested in progress.

9       In Phase II, as I said, there are two parts. There's  
10 an initial part, where essentially they expand their  
11 determination of whether or not they want to proceed, and  
12 at the end of that, which also has a relatively limited  
13 dollar figure associated with it -- it's not fixed, but  
14 it's relatively limited -- if they want to proceed, they  
15 will be required to enter into negotiations, then they are  
16 serious, and then we start applying serious money to  
17 development, design and the details that go with it.

18       So we have a selection process where, first of all,  
19 they determine whether or not they are interested -- nine  
20 of them we expect so far. We have extended the opportunity  
21 for more people to come into the picture if they want. We  
22 just had a Federal Register notice extending the  
23 applications for Phase I to March 31. Then we will move

24

1 forward with those to this Phase II, this winnowing  
2 process, the first part of Phase II being this essentially  
3 determination on their part as to whether they really want  
4 to go or not, and then those that do will be moved into  
5 more significant funding, on the order of probably several  
6 million dollars, to develop the information with regard to  
7 the site, the design for the site and things of that kind.  
8 They are all interested in getting there in a relatively  
9 short time frame.

10 Now, one of the things that we have to accommodate now  
11 that this is moving so rapidly and effectively is we have  
12 to be able to follow up and apply the monies to follow  
13 through with those activities.

14 We originally had budgeted in this program \$1.097  
15 million for this purpose, and with nine applications at  
16 \$100,000 a piece, the monies now to follow through on Phase  
17 II are going to have to be obtained from elsewhere in the  
18 program, and we are working on that. This will be Fiscal  
19 '92 money.

20 DR. CANTLON: In looking at the 1993, you're talking  
21 about \$50 million increments to move ahead. To what extent  
22 is that number able to be reduced by reducing the size and  
23 scope of the ESF, or is it going from smaller diameter  
24 tunnels, not putting the very large portal development, et



1 cetera?

2

3 Has any thought been given to this modified design?

4 MR. GERTZ: Yes. This is Carl Gertz. John, I'll talk  
5 a little bit about that in detail as I go through it, and  
6 if I haven't answered your questions, we'll bring it up  
7 again. But yes, a lot of thought has gone into that.

8 DR. PRICE: Price here. This march to 1998 appears to  
9 me to be something that is really scuttling any hope of  
10 top-level tradeoff studies, because you're entrained toward  
11 this 1998 date.

12 The GAO study that I'm sure you're familiar with,  
13 raised the question or made the statement that it was  
14 highly improbable that you would be able to reach this 1998  
15 date.

16 Given the consequences of marching so vigorously  
17 toward a 1998 date, which as I would see it, really has a  
18 great impact on systems engineering and making the top-  
19 level tradeoff studies that may be part of a thing when we  
20 understand you're just getting your toolbox ready for those  
21 kinds of studies, would you comment on both the GAO study  
22 and my comments about what the entrainment in this march  
23 toward 1998 is, the consequences of it?

24 DR. BARTLETT: First of all, the GAO study was

1 essentially overtaken by events. If you look at the  
2 process to produce such a study, it was started back in  
3 January of 1990, and it was produced before the negotiator  
4 had had any

5

6 results to report. The effort to complete the report was  
7 completed in June by GAO. We did not yet have any results  
8 from the negotiator.

9 They interviewed the Negotiator something like a month  
10 after he was confirmed, and there is on the record,  
11 available to the record, his indication that in essence he  
12 had to put what he said in context, the situation in which  
13 the information was gathered. And Senator Bryan and  
14 Senator Hollings, the originators of the GAO report, were  
15 looking for, under the circumstances, the kinds of results  
16 that they, in fact, were demonstrated in the report. We  
17 disagree with a lot of that report.

18 DR. PRICE: But the reversal issue of the linkage  
19 status, that's not changed at this point, is it?

20 DR. BARTLETT: As it stands right now, there is still  
21 a scheduled linkage. That is an issue. What is  
22 anticipated is that an agreement negotiated by the  
23 negotiator and taking to the Congress would, in fact,  
24 include as part of that a removal of the current linkage,

1 that that would be enacted into law with Congress ratifying  
2 the agreement.

3 In addition, we have initiatives before the Congress  
4 and legislation in a bill in the Senate and the House where  
5 action has been taken, which would remove the linkages  
6 independent of the agreement with the negotiator.

7

8

9

10 Let me talk about another concept and a failure to  
11 meet 1998, and that is on the part of those who are paying  
12 the fees for the services which are expected to be  
13 delivered.

14 Suppose you were paying these fees and have paid all  
15 that money so far, and now there was no expectation of  
16 fulfillment of the objective for which the fees were being  
17 paid. What would you do? Well, you'd sue. That's what we  
18 anticipate would happen, or a possibility.

19 Another possibility is to stop payment of fees, put  
20 the money in escrow, and don't provide them to the federal  
21 government.

22 There are enormous consequences relating to that  
23 contractual obligation which has been established for our  
24 failure to do everything we can to fulfill that obligation.

1 It's something we simply must do.

2 DR. PRICE: And could you comment on the consequences  
3 to the to-level tradeoff studies and these other things  
4 that might normally go on in an ordered systems engineering  
5 program?

6 DR. BARTLETT: If the funding is not sufficient to  
7 hold the 1998, to hold the ESAAB plan for Yucca, then  
8 they've got to slip, the rate of progress has to slip, and  
9 it's as simple as that.

10

11

12 The basis for decision-making would then proceed with  
13 the rate of progress. What we try to do is balance the  
14 M&O, the top-level studies that you're referring to, with  
15 the status of the program as it is proceeding in accordance  
16 with the funds provided.

17 If, in fact, now Congress steps up to the thing and  
18 says: Yes, you have a solid foundation, and all of the  
19 enablers in the budget process say: We're no longer  
20 worried about permanence and things like that that can  
21 interfere with your progress, then we can move forward and  
22 do those studies on a schedule and at a level and at a  
23 target consistent with the basic program plan.

24 Otherwise, it would have to fit with everything else,

1 consistent with the policy that I outlined earlier.

2 DR. VERINK: I wonder if this 10,000 metric ton  
3 capacity constraint -- I have a throat problem, too -- is  
4 complicating your business arrangements with the power  
5 companies and so on by limiting the amount that can be  
6 taken? How is that going to be handled? How are you going  
7 to avoid suits on that?

8 DR. DEERE: That was Dr. Verink.

9 DR. VERINK: Pardon me. I didn't say. I forgot to --

10 DR. BARTLETT: I'm sorry.

11 DR. DEERE: No. Go ahead. I was just getting his  
12 name into the record.

13 DR. BARTLETT: Oh, I'm sorry.

14 At present, we don't see the 10,000 ton limit as a  
15 problem. We anticipate starting taking spent fuel in 1998  
16 at a rate of about 200 metric tons per year. But we have  
17 an escalating scale, and in the second half of the first  
18 decade, we start to bring in the advanced transportation  
19 casks which are under design now.

20 The reason for the duality in the transportation  
21 system is, we don't expect that we can get those advanced  
22 casks licensed and proven for service in time for 1998, so  
23 we're going to have a collection of current technology  
24 casks, a fleet that will be available for service starting

1 at few hundred metric tons per year, and we'll be operating  
2 at that level and ramping up, ramping up to a level where  
3 we start actually to eat into the rate of production, the  
4 rate at which the spent fuel is being generated, which is  
5 about 2500 tons per year.

6 Now if you look at the logistics of that, it turns  
7 out, at the end of the first decade, you are just about at  
8 10,000 metric tons, getting close to it.

9 You're also, if we're on schedule with disposal,  
10 starting to be ready to move stuff through the system, and  
11 it turns out that you could, if disposal is on schedule and  
12 it matches the rate of receipts, you can maintain steady-  
13  
14 state at a 10,000 metric ton level.

15 I would like to think also if the system is operationg  
16 at that point and operating effectively, that 10,000 level  
17 is originally imposed to make darn sure that the MRS did  
18 not become the de facto repository and just piled up, that  
19 that number is adjusted, and I think a well-operating  
20 system would allow that to be adjusted as necessary.

21 But it is possible to live with the 10,000 limit based  
22 on what we know now in terms of these logistics we expect  
23 for operation of the system.

24 DR. VERINK: It seem that 2010 is coming pretty

1 rapidly, too.

2 DR. BARTLETT: Oh, yes, very much so.

3 DR. VERINK: And the problems of disposal are going to  
4 imply someplace getting started on the EBS stuff in a big  
5 way.

6 DR. BARTLETT: Amen! I talk about flex in getting to  
7 that milestone specifically, getting to whether or not the  
8 site is suitable. There's flexibility in the activities  
9 within that.

10 There is not flexibility in terms of this time/money  
11 interval to get there. That has to be fulfilled. There's  
12 flex in the way in you do it within, but there is not  
13 flexibility in what has to be resourced to the program  
14  
15 to meet that goal.

16 And as you say, if we don't get the resources, we  
17 don't have the resources, we will not make that schedule.

18 If we do, I think we can. And I also think that the one-  
19 year delay, assuming that it's no more than that, is not a  
20 significant factor with regard to making progress toward  
21 the significant milestones for the progress with disposal.

22 I think we can accommodate, but we cannot tolerate  
23 deficiencies in the total resource package in order to meet  
24 the goals.

1 DR. DEERE: I think we will discontinue our questions  
2 now at this time and continue later this afternoon after  
3 we've heard the other presentations.

4 Let's take a coffee break and be back here at about 10  
5 minutes to 11:00.

6 [Brief recess.]

7 DR. DEERE: May we reconvene, please?

8 We will continue with the DOE presentation. The topic  
9 of storage and transportation and budget priorities will be  
10 addressed by Ron Milner from the Office of Storage and  
11 Transportation, DOE/OCRWM.

12 Ron?

13 [Slide.]

14 MR. MILNER: Thank you, Dr. Deere.

15 You mentioned I'll be covering what is basically

16

17 the front end of the waste management system and the MRS  
18 and transportation program.

19 [Slide.]

20 MR. MILNER: I would like to cover a little bit about  
21 the organization of the Office of Storage and  
22 Transportation, the major milestones for the MRS and  
23 transportation program, some of the '92 budget information,  
24 the program priorities for those two programs, and the



1 rationale for those priorities.

2 [Slide.]

3 MR. MILNER: The Office of Storage and Transportation  
4 is comprised basically of two main divisions: the Storage  
5 Division under Vic Trebules, which is responsible for the  
6 siting or support to the Negotiator in this case for the  
7 MRS, its design and development, and the Transportation and  
8 Logistics Division under Jim Carlson, which is responsible  
9 for the transportation system and the logistics, the waste  
10 logistics, and the interface with the utilities.

11 So between those two divisions, they really comprise  
12 the front end of the waste management system from the  
13 reactor interface to the transportation system to storage  
14 and then ultimately transportation to the repository.

15 [Slide.]

16

17

18 MR. MILNER: Some of you may have seen some of the  
19 artist's concept drawings that have been put together for  
20 the MRS, but just to cover briefly what an MRS might look  
21 like, it really looks like a modern industrial park, a  
22 series of low-rise buildings housing the admin facilities  
23 and then the storage and handling area. This particular  
24 one shows a cask storage and a simple spent fuel handling

1 building.

2 [Slide.]

3 MR. MILNER: This is what a concrete cask might look  
4 like.

5 [Slide.]

6 MR. MILNER: And the simple transfer facility. I  
7 might point out, that particular design showed the concrete  
8 casks, but a steel cask facility might look very much the  
9 same. Certainly if something like dual-purposes casks were  
10 used, you wouldn't see a transfer facility, perhaps, on it.

11 [Slide.]

12 MR. MILNER: This particular MRS shows the modular  
13 vault dry storage concept. No spent fuel handling building  
14 or transfer facility.

15 [Slide.]

16 MR. MILNER: Because that particular design  
17 encompasses a simple transfer facility, the transport casks  
18 are offloaded, and the fuel is stored in the fuel elements.

19

20 [Slide.]

21 MR. MILNER: This particular one show horizontal  
22 concrete vaults.

23 [Slide.]

24 MR. MILNER: And a closeup of what that might look

1 like. Fuel is loaded in canisters which are inserted in  
2 the modular vaults.

3 [Slide.]

4 MR. MILNER: Major milestones for the MRS program.  
5 We're currently in the conceptual design phase of the MRS,  
6 looking at a variety of storage concepts, as you have seen,  
7 that could be used at the MRS, doing some tradeoff studies  
8 on those concepts, and we hope to complete that effort  
9 later this spring.

10 As Dr. Bartlett mentioned earlier, our key date really  
11 for the MRS is identification of the host by the end of  
12 this calendar year. We think that date is achievable. We  
13 are very optimistic, at least.

14 The rest of the milestones for the MRS program really  
15 key off that date, all leading to a 1998 waste acceptance.

16 One item I wanted to point out was that the  
17 environmental assessments for the MRS, the environmental  
18 assessment must accompany the proposed agreement that's  
19 submitted to Congress for a proposed site, so that

20

21 particular item is a priority for us.

22 Another item I wanted to point was that in discussions  
23 with the NRC, they have agreed to accept the safety  
24 analysis report in advance of the remainder of the license

1 application. We plan to submit that in '94 to provide a  
2 longer time for review by the NRC. They can be reviewing  
3 the SAR design and other design aspects, begin reviewing  
4 that a full year before the license application is  
5 submitted in '95. So between submittal of the license  
6 application and the planned start of waste acceptance  
7 appears to be a relatively brief period of time,  
8 approximately an 18-month review from the time the license  
9 application is submitted.

10 In effect, they've been reviewing the design for a  
11 full year prior to that.

12 [Slide.]

13 MR. MILNER: On the transportation side, as Dr.  
14 Bartlett had mentioned earlier, we have revised the cask  
15 acquisition program into a two-phase program, Phase I being  
16 procurement of either existing casks or new casks that use  
17 current technology or a combination. And Phase II casks  
18 are the higher-capacity casks which we've had under  
19 development for a few years.

20 So our priorities in that area are to issue the RFP  
21 for the Phase I casks later this spring, and although

22

23 we've slowed the design efforts on the Phase II casks to  
24 allow us time to step back and take a look at the design of

1 those casks in light of the additional information that  
2 we've got and recognizing, I should say, that the RFP for  
3 those casks was issued several years ago. We've learned a  
4 lot in terms of reactor interface situations since then,  
5 and we wanted to step back and take a look at those casks  
6 relative to that new information.

7 So we've slowed that effort, but we still hope to  
8 complete the design of those casks by the end of the fiscal  
9 year. You would then award procurement of the Phase I  
10 casks around the time that we're identifying the MRS host;  
11 following from that, certificate of compliance of the Phase  
12 II casks in '94, concluding the procurement of the Phase I  
13 casks in '96; full-scale fabrication of the higher-capacity  
14 Phase II casks in '97; all leading to a system which would  
15 be capable of supporting the MRS operations in 1998.

16 [Slide.]

17 MR. MILNER: Just briefly the budget numbers in the  
18 MRS transportation area and related activities. Our budget  
19 request for '92 was about \$61 million. What we came out  
20 with was about \$40.4 million, although that really didn't  
21 put us in too bad a shape, since we had Fiscal Year '91  
22 carryover funds. So we really have an availability of  
23 about \$50.2 million for this fiscal year.

24

1 [Slide.]

2 MR. MILNER: I think most have seen these drawings  
3 before, the two high-capacity casks or what we're calling  
4 Phase II casks which we've had under development. This is  
5 the 100-ton rail cask, capable of carrying 21 PWR  
6 assemblies or 52 BWR assemblies nominally.

7 [Slide.]

8 MR. MILNER: Two legal weight truck casks which are  
9 under development. This one is the GA-4 for PWR  
10 assemblies, and the other is the GA-9 which would carry  
11 nine BWR assemblies.

12 [Slide.]

13 MR. MILNER: Program priorities for '92 in the MRS.  
14 The overall objective, certainly, of the MRS program is to  
15 have a facility which is operational and capable of  
16 accepting waste beginning in 1998, not only to fulfill the  
17 Secretary's commitment to begin accepting fuel in '98, but  
18 also to uphold our commitment under the contracts with the  
19 utilities to begin accepting fuel at that time.

20 So in '92 specifically our priorities relative to that  
21 objective is to complete our conceptual design of the MRS,  
22 provide siting support to the Negotiator and volunteer  
23 hosts, provide grants to potential volunteer hosts, and as  
24 Dr. Bartlett mentioned earlier, we've got a total of seven

1 applications for feasibility studies for the MRS. Two  
2  
3 grants have been awarded, one to the Mescalero Apache in  
4 New Mexico, the other to Grant County, North Dakota. We  
5 are currently reviewing the remaining five applications and  
6 hope to act on those in the near future.

7 Those are all Phase I grants. We would expect several  
8 more Phase I grants in the near future, as well as several  
9 Phase II grants over the next several months.

10 Also since the licensing timeline is critical to the  
11 MRS work, we want to begin work on the safety analysis  
12 report and the environmental assessment to support the  
13 siting effort.

14 [Slide.]

15 MR. MILNER: Finally, we must complete the MRS project  
16 plan and project management plan and other documentation  
17 which is necessary to support the ESAAB process and gain  
18 approval to begin Title I design, which basically pretty  
19 much forms the basis for the SAR design.

20 [Slide.]

21 MR. MILNER: The rationale for those priorities, again  
22 siting is the critical near-term milestone for the MRS, so  
23 our priorities are really focused on those activities which  
24 support siting. Again, the grants support the negotiator's

1 environmental assessment activities. Personally, I think  
2 the conceptual design input is also a very critical factor  
3 in the MRS siting effort, so we're

4

5 placing priority on completing the conceptual design and  
6 certainly submittal of the SAR to NRC.

7 [Slide.]

8 MR. MILNER: In the transportation area, it's  
9 important not only to have the hardware in place to begin  
10 transportation operations in 1998, it's also very important  
11 that the appropriate institutional and operational climate  
12 is in effect to support those operations. So our  
13 priorities, particularly in '92, are geared towards that.

14 We want to issue the RFP for the complementary casks,  
15 the Phase I cask capability; complete the final designs and  
16 submit the safety analysis report for packaging for the two  
17 Phase II casks, the higher-capacity casks, to NRC; maintain  
18 our program efforts on burnup credit. Now burnup credit is  
19 important not only to design of the higher-capacity casks,  
20 but could also be important to the repository effort, as  
21 well as other technical issues that we want to work on.

22 Since the institutional environment is very important,  
23 we need to continue our work on the institutional planning  
24 and other issue resolution activities.



1 [Slide.]

2 MR. MILNER: Under Section 180(c) of the Nuclear Waste  
3 Policy Act, we are required provide emergency response  
4 training assistance to jurisdictions through which the  
5 waste  
6 will be transported. We've embarked on basically an  
7 interactive reiterative public process to develop our  
8 strategy for how we're going to provide that assistance.

9 We very recently issued a draft of what I would call a  
10 plan for a plan on how we're going to develop that  
11 strategy, looking for public comments on that, and then  
12 begin the final stages of implementation of developing the  
13 strategy. Certainly, we have to conduct the transportation  
14 analysis to support the MRS environmental assessment, and  
15 under the transportation area, support the delivery  
16 commitment schedule process, and I'll talk a little bit  
17 about the delivery commitment schedules in a minute.

18 [Slide.]

19 MR. MILNER: The rationale for the transportation  
20 priorities, certainly the acquisition of Phase I casks is,  
21 I believe, necessary to ensure that we have an adequate  
22 transport capability in 1998, and our schedule shows that  
23 we need to proceed with that acquisition and to issue the  
24 RFP this fiscal year to allow start of waste acceptance in

1 '98.

2 Also to facilitate the waste acceptance rate ramp-up,  
3 since the Phase I would be a lower capacity, smaller  
4 capability in the early years to accept waste, we need to  
5 continue development of our higher-capacity casks to  
6 increase that acceptance rate.

7 Again, we must support the institutional climate

8

9 to facilitate operations and develop our 180(c) strategy to  
10 provide emergency response training assistance.

11 [Slide.]

12 MR. MILNER: Lastly, in the waste acceptance area --  
13 and this is an area which is the direct interface between  
14 the Department and the utilities, developing the protocols  
15 and the schedules for how we will accept waste and when --  
16 one item that is slightly different from those particular  
17 activities is the fees that the utilities pay.

18 As a result of a court decision, we were required to  
19 change the basis on which we charge the fee to the  
20 utilities from net generation to generated and sold. So  
21 one of our priorities for this fiscal year is to issue the  
22 final rule changing that basis. I'm happy to say that we  
23 completed that last year, or December 31st to be exact.

24 Our three other priorities this particular fiscal year

1 are really interrelated: publishing the '92 acceptance  
2 priority ranking; the '92 annual capacity report; and begin  
3 work on delivery commitment schedules.

4 Now these three reports or activities are really very  
5 directly interrelated. The annual capacity report, the  
6 ACR, has been published now for several years. That lists  
7 by year the capacities that the waste acceptance system,  
8 the waste management system, would accept in a given year.

9 The APR, the acceptance priority ranking, which  
10  
11 we've just recently published our first one, lists the  
12 specific utilities in priority order and the quantities  
13 from each utility that would be accepted.

14 So those two tied together, then, form the basis for  
15 the utilities' preparing delivery commitment schedules,  
16 which is the identification of the specific spent fuel that  
17 the utility wishes to ship to us. It's then incumbent upon  
18 the Department to review those DCSs, delivery commitment  
19 schedules, and approve or disapprove, based on the  
20 protocols that have been established.

21 And that concludes my remarks. I'd be happy to answer  
22 any questions.

23 DR. DEERE: Perhaps I'll start off the questions.

24 MR. MILNER: Yes, sir.

1 DR. DEERE: What type of flexibility do you have in  
2 the transportation and the cask program to accommodate  
3 future changes that might come about, for instance, in  
4 drift storage versus in-place storage, tripurpose cask?

5 MR. MILNER: I think we have a lot of flexibility,  
6 particularly given the time differential between shipment  
7 from the reactor to the MRS and subsequently approximately  
8 12 years later shipment from the MRS to the repository. I  
9 think there is certainly enough time in there to make  
10 changes to the transportation system, should that be  
11 necessary.

12

13 DR. DEERE: Dennis, you may have more questions on  
14 that line.

15 DR. PRICE: But the twelve-year delay that you're  
16 describing, how does that affect if you had a universal  
17 cask as your thing? I don't quite see what advantage you  
18 gain by saying you've got twelve years at the MRS. A  
19 universal cask which would be useful to store onsite, store  
20 at the MRS, and even emplace at the repository, what does  
21 twelve years at the MRS -- I didn't understand your point.

22 MR. MILNER: Okay. I was speaking simply for  
23 transportation from the MRS to the repository. I think Dr.  
24 Deere's question was that if there were some specifics of

1 the repository that might change the transportation system,  
2 we might want to change the from the MRS to the repository  
3 casks, using different casks than you use to the MRS.

4 Now universal casks, certainly that is still be looked  
5 at as a potential for the system in general. Whether or  
6 not it's used for early stages of the system, if it should  
7 be decided to go to a universal cask, you could, beginning  
8 at whatever point in time that occurred, start utilizing  
9 universal casks for any waste that had already been shipped  
10 to the MRS, could be loaded into a universal cask at the  
11 MRS.

12 To some extent, what type of storage and so forth is  
13 going to be used at the MRS is not up to -- it certainly  
14 has got volunteer host input involved in that.

15 DR. PRICE: But you say if you should decide to go to  
16 a universal cask, but really the way in which the 1998 date  
17 is set and you're moving toward it, that pretty well  
18 dictates conventional casks at least being very thoroughly  
19 accommodated by this system and diminishes the possibility  
20 of a real fair look at all cask options, does it not? I  
21 should form that as a question rather than a statement.

22 MR. MILNER: No, I don't think it does actually.

23 DR. PRICE: I'm surprised at your answer.

24 [Laughter.]

1           MR. MILNER: I think there's been a pretty fair look  
2 at casks at this point in time. But one thing I think we  
3 have to recognize is that not all reactors could handle a  
4 large universal cask, which would likely be a rail cask.  
5 There would still have to be some accommodation for many,  
6 many reactors unless you use the very small, very  
7 inefficient universal cask to load those reactors that  
8 aren't real capable. So you would still need some  
9 marshalling yard, if you will, to make a transfer to  
10 universal casks.

11          DR. PRICE: But I haven't seen the tradeoff studies  
12 really that support the statement you just made.

13          MR. ROBERTS: I think there's a -- John Roberts --I  
14 think there's a more fundamental question here, though,  
15  
16 and that is, we have to get ultimately a license to  
17 dispose, and I think Carl could, of course, go into great  
18 detail on the technical issues and so forth. But it is  
19 difficult in melding, if you will, various activities and  
20 various regulatory requirements a la Part 71, Part 72, Part  
21 60, particularly when Part 60 still has some work to go on  
22 it, to bring these together.

23          And indeed back in, I guess it's about '88, the  
24 Commission itself when it was pushing along this line for

1 compatibility recognized that and basically settled for, in  
2 terms of compatibility, the ability to get fuel directly  
3 out of dry storage off of reactor sites as a phased  
4 objective which vendors are trying to accommodate through  
5 various strategies of design.

6 But I think my point being that until we have some  
7 idea of what will be acceptable, and indeed NRC itself  
8 cannot yet define that, I think -- until we have gone  
9 through the process of excavation and determined what the  
10 circumstances are and what will be acceptable for a  
11 repository, I don't think we have a good prospect of  
12 development of such universal casks.

13 Now that's not to say that in subsequent times as we  
14 have defined these things, you would not say, well,  
15 improvement can be made to the existing system, and it  
16 would be much more efficient and so forth. But from where  
17 we sit  
18 now trying to get to our objectives of getting the system  
19 into operation and the large set of unknowns involved, it's  
20 just, I don't think, really optimistic to say that I can,  
21 from where I'm sitting now and at this time in 1992, get,  
22 you know -- do a study and do it competently, if you will,  
23 to get to a result, end result, when I have not yet defined  
24 what my repository is and what the impact is on my

1 universal cask.

2 DR. PRICE: From what you're saying, it sounds like  
3 timeliness is greatly of issue and very perplexing with  
4 respect to what is going on. And with respect to these  
5 top-level types of studies that we're talking about, as was  
6 described at the last meeting of the Transportation System  
7 Panel, I think the DOE person said you're behind the power  
8 curve.

9 Now to a person who's been a pilot, that's not a very  
10 desirable place to be, behind the power curve, because the  
11 next consequence is a crash.

12 [Laughter.]

13 MR. ROBERTS: What I say is, you have to know what the  
14 power curve is before you can even begin to design to meet  
15 that. We are not, I think, at a mature enough stage, and  
16 one can well argue that until we get a license for a  
17 repository and have fully defined what is available to us  
18 and perhaps even some performance data within that,

19

20 repository to project ahead in the absence of such  
21 knowledge is kind of intellectually arrogant, if you will,  
22 in the sense that we just don't have, you know -- these are  
23 not activities, at least in the repository sense, where we  
24 have the experience and the base of information to make a



1 leap.

2 As I say, there are vendors that are attempting to do  
3 things. There is at least one dual-purpose transportation  
4 storage cask in development, and NRC has an application  
5 under both 71 and 72. But the leap to Part 60, given that  
6 we have never had a repository, and we are still in the  
7 process, as Dr. Deere has pointed out, haven't gotten down  
8 there, to make that plan ahead of time is going to be  
9 risking a lot, if you want to be serious about it.

10 I think your point is taken, that the timeliness of  
11 this is at issue. As I said, the Commission itself looked  
12 at this idea in '88 and backed away, because they  
13 recognized that the timeliness was just not there, and I  
14 don't think it will be there, as I say, for years to come.

15 DR. PRICE: But you are proceeding on a plan and a  
16 design, and it's pretty well just determined by date. It  
17 sounds to me like the design is determined by regulations,  
18 and the design is determined by the fear of lawsuits and  
19 lawyers. And I would suggest that that isn't the right  
20 basis for a design.

21 MR. ROBERTS: Well, we have -- number one, I think  
22 the basis of the regulations is the public health and  
23 safety and Part 60 isolation of waste for the required  
24 time. So I think those are not non-germane.

1           But I think the point is that what we're saying also  
2 is that we are trying, given the funds that we have and the  
3 limitations we're operating under, to gain the information  
4 that we can get to a design basis. If we don't have the  
5 information, if we don't develop that, we are not in a  
6 position to make the design assumptions that would be  
7 necessarily correct.

8           MR. PETERS: Dr. Price, if I may -- Frank Peters --  
9 part of what you say I agree with, that many of the  
10 decisions that have been made to this point vis-a-vis cask  
11 technology are, in fact, driven by the 1998 contractual  
12 commitment. There's no question about that.

13           In our view, from the analyses that have been done so  
14 far, we don't believe that there's any capability, other  
15 than currently available, certifiable cask technology, to  
16 meet at least the initial starting requirements for the MRS  
17 in the transportation mode.

18           What I would point out, and I think you're certainly  
19 aware of it, is that the MRS will not be filled in the  
20 first year nor the second year nor the tenth year.  
21 Basically you have a long period of time during which  
22 transportation activity will be moving into the MRS, and  
23  
24 then ultimately when the repository opens, moving out to

1 the repository.

2 I think more importantly we're probably dealing with -  
3 - Carl, check me on the numbers here -- but as I recall,  
4 we're dealing with about a 30-year period during which the  
5 repository will be filled at the current design levels,  
6 assuming that we are able to accept fuel into the  
7 repository in the 2010 timeframe.

8 I think there is sufficient time to deal with the  
9 potential of three-way casks or other kinds of technology  
10 that may emerge in the future considering the regulatory  
11 uncertainty here. And even though we may have somewhat of,  
12 let's say, an uncertain startup in the context of an  
13 overall systems capability running at its optimum, at least  
14 under our current thinking be able to get started and also  
15 have the time to be able to develop any additional  
16 technology and capability that may, in fact, be better for  
17 us, better for the system over the long haul.

18 DR. PRICE: I would just like to make a point of  
19 clarification. I don't think that we, as a Board, are  
20 recommending any of these alternatives. What we're really  
21 concerned about is that the alternatives get a good look  
22 and that the schedules don't determine the loss of viable  
23 alternatives if they exist.

24 MR. MILNER: And I think we're proceeding on that

1 course. We haven't, that I'm aware of anyway, taken any  
2 actions which would scrub any alternatives that we might  
3 want to look at.

4 One thing we have to recognize, though, is that one of  
5 the key drivers of the system really is the reactor  
6 interface. What are the physical constraints at the reactor  
7 site in terms of loading a cask or in terms of casks it can  
8 handle?

9 So we proceeded with that sort of information in mind,  
10 and, in fact, one of the main reasons we've stepped back a  
11 ways on the Phase II casks was to review those designs in  
12 light of additional information in that regard.

13 Certainly the MRS facility can be engineered to  
14 accommodate not only that front-end part of the system, but  
15 also the back end, the repository. And we have to proceed  
16 on a basis as to what we think the repository may or may  
17 not be, and as additional information is gained here, I  
18 think we can adjust.

19 DR. DOMENICO: Dr. Domenico, Board member.

20 In view of the tight schedule, do you anticipate or  
21 have you seen any signs of any difficulties between a given  
22 entity such as an Indian Nation or a county that may want  
23 to act as a host for the MRS and the state in which that  
24 entity may reside?

1           Has anything -- I mean, we have some experience  
2  
3 with WIPP and the State of New Mexico, and I would  
4 anticipate there may be similar problems down the line for  
5 this project.

6           MR. MILNER: I guess we've seen press reports coming  
7 out of New Mexico relative to the Mescalero Apaches. I  
8 don't know exactly what the situation is there. Certainly  
9 in the case of Mescaleros, they are a sovereign nation and  
10 would react accordingly.

11          DR. DOMENICO: What does that mean? Did you answer my  
12 question?

13          [Laughter.]

14          MR. MILNER: That means lands under their jurisdiction  
15 are not necessarily subject to state jurisdiction.

16          DR. DOMENICO: I see.

17          MR. MILNER: Obviously there has to be a very close  
18 working relationship and coordination for such a project to  
19 work. But I'm certainly not an expert on Indian law or the  
20 laws governing a reservation.

21          DR. LANGMUIR: In one of your overheads, you discuss  
22 the waste acceptance priority ranking schedule which is to  
23 be published this year. In that context, we're all  
24 interested in thermal loading issues. And my question has

1 to do with what the priority says about the age of spent  
2 fuel being taken from the different power plants.

3

4 MR. MILNER: That priority is based purely on the  
5 provisions of the contract, which say we would accept the  
6 oldest fuel first.

7 DR. LANGMUIR: The oldest first.

8 MR. MILNER: Yes.

9 MR. GERTZ: If I could elaborate a little further on  
10 the subject of universal casks, et cetera, and try to put  
11 things into perspective from a repository point of view.

12 Certainly we have not closed out any alternatives,  
13 whether it's drift disposal, emplacement in boreholes.  
14 Those are still alternatives that we're looking at,  
15 although we have reference cases.

16 But I can see a system, perhaps, that received 7000 or  
17 10,000 metric tons early in the life cycle to meet our  
18 contractual needs and utility needs, and then the other 90  
19 percent of the repository could be transported by universal  
20 casks, if a system study shows that universal casks is the  
21 way to go.

22 Obviously as Ron pointed out, you have to make that  
23 change then at the MRS. What went to the MRS in a standard  
24 transportation cask would then be transferred to a

1 universal cask to a repository.

2       So I don't think we're precluding that option by the  
3 initial acceptance. But it's not a perfect world; 100  
4 percent of it wouldn't get there in a universal cask. But  
5  
6 maybe 90 percent would, and maybe that would be an  
7 effective systems answer to it.

8       DR. PRICE: Well, looking at either end of the system,  
9 first of all at the repository, the type of emplacement and  
10 the type of cask may have some implications about the size  
11 of the tunnel and some other things, and will these tunnels  
12 already have been accomplished?

13       I'm not sure what that tunneling schedule would be and  
14 determination would be with respect to something like that.

15       And the other side of the thing would be, how does  
16 this work with the utilities where maybe the cask selection  
17 in their dry storage, in their designs and so forth, if  
18 they had knowledge, timely knowledge, about the system,  
19 they could help to optimize the system to some extent?

20       MR. GERTZ: I'll let Ron answer the second part of  
21 that. But for the first part, I think, as John Roberts  
22 points out, we do have to get underground, develop some  
23 information, and then proceed with a license application, a  
24 designed and engineered barrier system in concert with the

1 geologic system.

2 At that point in time, we would then make some  
3 conclusions about what type of emplacement we'd have.  
4 Although we'll have 14 miles of exploratory drifts, it  
5 still take about 100 miles of emplacement drifts to handle  
6 70,000

7

8 tons.

9 So I think the idea is to get underground, develop a  
10 licensing concept, a system that a regulator will accept  
11 and then move on with what makes the most sense, be it  
12 borehole or drift emplacement or whatever. But I think we  
13 need to gather some information underground before we come  
14 to that conclusion.

15 MR. MILNER: The second part of the question, given  
16 the successes of the negotiator thus far, it looks highly  
17 likely that waste acceptance will begin several years  
18 before we've even identified the repository site, selected  
19 it, that is. So I think we have to proceed with at least  
20 the front end of the system, given the best knowledge we  
21 have as to what a repository may be, but recognizing that  
22 that system would start operation before we have a  
23 repository site selected.

24 Secondly, on the oldest fuel first basis of waste



1 acceptance, the majority of reactors in the early years  
2 that we would be accepting waste from probably would not be  
3 capable of handling universal casks, so we would still need  
4 to make a transfer at some point should we go to a  
5 universal cask later.

6 DR. PRICE: And by the way, the oldest fuel first, as  
7 I understand it, does not mean the oldest fuel first as  
8 shipped.

9

10 MR. MILNER: That's correct. That's correct.

11 DR. PRICE: So that's kind of a misnomer.

12 MR. MILNER: Yes, that's correct. The oldest fuel  
13 first is simply allocating a place in the queue; that's  
14 right.

15 DR. PRICE: Yes, that's right. So with respect to the  
16 heat load and mixing, the answer you gave to Dr. Langmuir  
17 does not mean that what the utility will ship will be the  
18 oldest fuel first.

19 MR. MILNER: That's right. That's right. That purely  
20 gives their place in the queue, and the delivery commitment  
21 schedules that I mentioned, which conceivably we could  
22 start getting delivery commitment schedules from the  
23 utilities as early as this month, would then start to  
24 identify that specific fuel that they want to ship in those

1 given years. At that point, we'll start to know what fuel  
2 we're going to be seeing.

3 DR. DEERE: Dr. Allen?

4 DR. ALLEN: But isn't it true, Carl, in a more general  
5 way that the more we allow the schedule to slip at the  
6 front end -- it's already slipped on the ESF; it's my  
7 hunch that it's going to slip on the MRS -- but we  
8 adamantly maintain we're going to meet the eventual  
9 deadlines, we thereby simply reduce our flexibility to make  
10 changes down the line. We start our tunneling on a fast-  
11 track basis, as  
12 John Bartlett suggested.

13 Doesn't that imply that it's going to be more  
14 difficult to give careful consideration to many of the  
15 things that this Board has felt is important, such as  
16 thermal loading problems, engineered barriers?

17 All we're doing is, we're essentially reducing that  
18 flexibility and making it much easier in the long run to  
19 say: Well, let's just do things the way we planned five  
20 years ago.

21 MR. GERTZ: I don't necessarily agree with you, Dr.  
22 Allen. I think our initial excavation, our initial site  
23 characterization activities, are just that, trying to  
24 gather information. And because we would have a 25-foot,

1 let's just say, diameter drift in the exploratory studies  
2 facility does not necessarily mean that the 100 miles of  
3 tunnels that would follow on that would be 25-foot  
4 diameter. If in-drift emplacement is appropriate, it would  
5 be whatever diameter would be appropriate for in-drift  
6 emplacement.

7 If we can determine that from the studies in the  
8 exploratory studies facility, then I don't think anything  
9 we do in the exploratory studies facility locks us into our  
10 final design. We have to consider it to make sure it  
11 doesn't impact waste isolation, and we have to assure that  
12 before we start that. But I don't view it as an  
13 irrevocable commitment as you may have implied. I think we  
14 have a lot

15  
16 of flexibility after we get underground and determine  
17 what's there.

18 DR. ALLEN: But you would agree, though, that the  
19 shorter we make this whole thing, the less flexibility we  
20 have.

21 MR. GERTZ: The less time we have to look at options.  
22 Yes, sir, I will agree with that.

23 I'll also just -- and I'll talk about it in my  
24 presentation -- but certainly you come to a point where if

1 it's a 1000 man-hours job, you can't do it sometimes with  
2 1000 men in one hour.

3 [Laughter.]

4 DR. DEERE: I guess what prompted my question, you  
5 have Phase I and Phase II. They all seem very definite,  
6 and you have dates with them, and that's the end of it. So  
7 you sort of wonder where the flexibility is.

8 We might feel better if you had an analysis, if it's  
9 starting in 1999 or something like that, of a need for a  
10 Phase III, which is really what we're saying. It's going  
11 to be related to what the final configuration is at the  
12 repository, and that is not known at this time and won't be  
13 for many years.

14 But I don't think it should be a sudden change: Oh,  
15 we've got to go to a new cask. But it should be something  
16 that is in everyone's mind and in the program,

17

18 that it will be an analysis of the desirability or the  
19 need.

20 MR. MILNER: In effect, that's been our program plan  
21 for some time.

22 DR. DEERE: Yes.

23 MR. MILNER: We have focused certainly on the front  
24 end of the system, from reactor to MRS, but it has been the

1 program plan to look at yet another generation of casks  
2 that would be really the long-term basis for the system.  
3 And while there are no dates that have been given on the  
4 schedule, that certainly is a part of the program plan.

5 DR. DEERE: It should be somewhere on the list.

6 MR. MILNER: I am guilty of focusing on 1998.

7 DR. DEERE: I'm very sure. Additional questions from  
8 the Board?

9 [No response.]

10 DR. DEERE: Staff?

11 [No response.]

12 DR. DEERE: We will now open to any questions, I think  
13 not only for your presentation, but also Dr. Bartlett's, if  
14 that's okay. We have about another 20 minutes available.  
15 So it's open to -- yes, Bill?

16 DR. BARNARD: I have a question for Dr. Bartlett. On  
17 your last viewgraph, you have a piechart comparing the  
18 requested funding and the actual funding for 1992, and if

19

20 you compare the slices of the pie for first repository, the  
21 money that you actually got is \$6.5 million less than what  
22 you requested. But in an earlier viewgraph, you said that  
23 \$20 million of the ESF money was lost because of the \$30  
24 million budget cut.

1           So can you explain the difference between the \$20  
2 million and why the 6.5 isn't 20?

3           DR. BARTLETT: Let me offer you an opportunity to  
4 write down some numbers.

5           [Laughter.]

6           DR. BARTLETT: And there's one short answer also which  
7 affects this, and it's not reflected in these numbers, and  
8 it's still evolving, and that is the opportunity to use  
9 carryover.

10          But what we're working here with is the  
11 appropriations, okay. There are four categories. I'll  
12 give you a small table, and I'm sorry we don't have this  
13 visually, but it can tell you -- the four categories are  
14 the first repository, the MRS, transportation, program  
15 management and technical support -- in other words, the  
16 items that are identified in the pie.

17          The allocations that went into the requested fiscal  
18 '92 budget, the first repository, 172.2 -- these are in  
19 millions -- the MRS, 32.2; transportation, 38.8; program  
20 management and support, 61.7.

21

22          What we came out with on the basis of the \$30 million  
23 cut is: for the repository, 165.6; for the MRS, 16.2; for  
24 transportation, 33.7; and for management and support, 59.6.

1 And the differential there in round numbers is the \$30  
2 million.

3 Now there is an addition, a still possible  
4 opportunity, to apply carryover funds, and Sam can speak  
5 more directly to this. But these funds have been  
6 sequestered, and they're not necessarily available to us,  
7 and we're still early in the fiscal year, so we don't know  
8 firmly yet whether they're available and how they will be  
9 applied.

10 DR. BARNARD: Yes, I agree with your numbers. They  
11 pretty much match up with the ones that I did based on your  
12 piechart. But the actual funding for the first repository  
13 is \$6.5 million less than what you thought you were going  
14 to get; is that right?

15 DR. BARTLETT: Yes.

16 DR. BARNARD: But in a previous viewgraph, you  
17 indicated that the \$35 million for the ESF work was now  
18 14.5. Well, that's \$21 million difference. Why isn't the  
19 \$6.5 million \$21 million?

20 MR. ROUSSO: Can I try and answer some of that? Sam  
21 Rousso.

22 Part of it, Bill, is really a -- it's not just of  
23 the immediate numbers, but of the view, as John had  
24 explained earlier, of the large block of funding, this \$50

1 million block that you need to proceed and continue to  
2 proceed with major tunnel boring, machine support  
3 structures, the design effort for the ESF.

4 With the cut and with the change in events that took  
5 place once the budget was received, namely that we had some  
6 identified MRS interest shown. We had permits to do new  
7 surface-based work, which we proceeded to do in the summer.

8 That drained funds, so that there was a change in  
9 emphasis within the repository work as a result of that and  
10 as a result of trying to adjust that cut to support the  
11 effort that Ron was going to do in the MRS.

12 So it's not just that those dollars can be looked at  
13 in a closed package, shift for shift. Your numbers are  
14 exactly right, but it's that the structure of the program  
15 had to be adjusted with the totality of the numbers  
16 available, the carryover available, and what we see coming  
17 down for the next few years.

18 If that \$50 million block is not sustainable in '92,  
19 '93, '94, then all these other factors come into play to  
20 adjust the program to proceed as best we can and maintain  
21 that balance between the MRS and the repository.

22 DR. DEERE: Any questions from the audience?

23

24 MR. FRISHMAN: Steve Frishman, State of Nevada.



1 Thank you, Don. I knew we'd meet like this again.

2 [Laughter.]

3 MR. FRISHMAN: In listening to John's presentation,  
4 first of all I'm compelled to, at least one more time,  
5 point out that there is a tremendous amount of inaccuracy  
6 in the statements that are made about the causes of delay  
7 in the past and how it has now shifted to another.

8 The current perception, as laid out by John even  
9 today, which is an incorrect one, is that the program was  
10 permit-limited up until this time, and now all of a sudden  
11 it has become budget-limited instead.

12 Well, I think it's fairly clear that there's a GAO  
13 report out there that talks about when the Department of  
14 Energy was ready to begin any work at Yucca Mountain. That  
15 report says not until at least February 1991.

16 We now have an indication that the Department is  
17 finally through, four years after the approval of the '87  
18 amendment, the Department finally has acceptance of its  
19 quality assurance program, and that's been the holdup all  
20 this time.

21 The Department could not go forward without that, and  
22 they only had limited permission to do the little bit of  
23 work that they did last summer. And I think it's time to  
24 get over this nonsense of passing blame around when, in

1

2 fact, the Department was not ready to go to work, and they,  
3 themselves, even know that.

4

5 Now there are a few other things that I think need to  
6 be pointed out, and that's that if you continue to look at  
7 the program and where the limitations appear to be, where  
8 the promises are, the fact that it's schedule-driven, from  
9 John's presentation I think you can see that most of the  
10 factors that would keep the program from going forward are  
11 still factors that are out of the Department's own control.

12 And this is somewhat by design.

13

14 The Department can't afford for it to be its own fault  
15 that it's not making progress. Just start looking at the  
16 factors involved. They're saying: we need all of the  
17 funding we asked for, or else we can't do all these good  
18 things that we said we want to do and that you have, in  
19 some part -- you, the Board, have in some part been  
20 responsible for at least suggesting they be looked into --  
21 saying, as Carl Gertz put it lately: we need the insurance  
22 of preempting the state, so maybe in the future we won't  
23 delay the program.

24

25 Also, as John indicated, I think you indicated very  
26 clearly, John, in your presentation to the NRC a couple  
27 weeks ago, the idea that you're going to essentially get

1 everything that you want from the regulator. And what I  
2 see as one of the major pieces that you were hanging on  
3 this

4

5 morning and I've seen in the past is this idea that the  
6 annotated outline is going to lead to what is referred to  
7 as early resolution of issues.

8 Well, early resolution of issues is right now not  
9 accommodated in the licensing process, and what I'd like to  
10 know, at least in this instance from you, John, what  
11 indication do you have that the NRC is willing to engage in  
12 some type of alteration of the licensing process that  
13 would, in fact, allow closure of technical issues prior to  
14 license application? I don't believe it's there right now.

15 MR. ROBERTS: John Roberts. We're not talking  
16 closure of issues. Obviously issues don't get closed until  
17 you get a license and perhaps in some cases contingent  
18 later.

19 I think this is a mischaracterization of the annotated  
20 outline which was originally suggested by the NRC. The  
21 annotated outline is a process -- and it's been used in  
22 industrial licensing before NRC before -- for development  
23 of the safety analysis report in an attempt to frame and  
24 hopefully resolve issues on a technical basis with the

1 staff in order not to simply hit, if you will, a cold  
2 welcome at the door. It certainly, as many people -- if  
3 there are any people who have been involved with regulatory  
4 and utilities before know that you communicate with the  
5 regulator. You do not walk in and say -- hand him a large  
6 set of volumes and

7

8 say this is my application. I've been working on it for  
9 the last X years.

10 No, the annotated outline is an orderly process of  
11 presenting to the technical staff of the NRC what we are  
12 doing and keeping them informed and seeking their guidance.

13 MR. FRISHMAN: Well, I appreciate the patronizing  
14 answer, but there's a lot more to it.

15 One is, the annotated outline is, at least in part,  
16 intended to lead to topical reports. Topical reports have  
17 been indicated by the Department all along as being what  
18 they expect to be the vehicle for early closure of issues,  
19 and then with the hope that there would be some  
20 administrative mechanism to keep those issues from being  
21 opened, reopened on a technical basis, within a licensing  
22 process.

23 Now we have been trying to find out ever since the  
24 words "early closure of issues" came up, in fact in about

1 1983, trying to find out what the concept is that the NRC  
2 and the Department as applicant may agree upon as the  
3 meaning of the closure of issues.

4 What do you think closure of issues means when you  
5 say it.

6 MR. ROBERTS: I'm not saying closure of issues.

7 MR. FRISHMAN: Well, everybody else in the program is.

8

9 MR. ROBERTS: Well, I think that the ultimate closure  
10 of issues can only come, as I said, basically as a result  
11 of the completion of a licensing process. I think, you  
12 know, colloquial use perhaps has been done. But the fact  
13 is that the NRC does review topical reports. They have  
14 done this in NRR and NMSS, and those documents are used  
15 extensively. But they do not, as you seem to be trying to  
16 -- or maybe you don't grasp it -- are not a legal closure  
17 of an issue. They are not the issuance of a license, and  
18 any NRC Staff member, I think, would tell you that straight  
19 out.

20 MR. FRISHMAN: Okay. And you never intend that it be?

21 MR. ROBERTS: They do, however -- they do, however,  
22 lead typically to some kind of letter of approval from the  
23 NRC, which is usually caveated with a statement that the  
24 staff has examined these issues and finds, you know, the

1 presentation an acceptable means and doesn't plan to  
2 reexamine this issue unless -- and then usually there is a  
3 series of caveats, like the regulation changes,  
4 circumstances change, or some other factors of significance  
5 change.

6       However, the point I made is simply this, that any  
7 responsible applicant is going to try and address things,  
8 particularly in a complex issue like this where this is the  
9 first time both NRC and we are viewing a repository

10

11 application. It is years in the making, and for us not to  
12 aggressively seek to engage the NRC and for them not to, as  
13 they suggested an annotated outline originally with respect  
14 to development of the format and content Reg Guide on their  
15 part, for them not to engage us would not be, I think, an  
16 appropriate set of behavior for either of us.

17       MR. FRISHMAN:       Well, this discussion on that  
18 relationship will continue at another time and another  
19 place, I'm sure.

20       Another observation that I think some of us were well  
21 aware of, but I think it needs to be pointed out, that  
22 while the Board is rather intense in its suggestion that  
23 budget priorities should be changed and the underground  
24 facility started immediately, what this deferral really has

1 done is it's deferred Title II design of the ESF for a  
2 year. That's the major action that has tilted everything  
3 else.

4 Now if we start looking at the reason for that, it's  
5 relatively simple. A year and a half ago when the  
6 Department laid out its budget proposal for FY '92, it  
7 didn't know it was going to have to do that. It didn't  
8 know it was going to have to redesign the ESF.

9 What we're dealing with is the deferral of something  
10 that was not contemplated at the time. And there was  
11 contingency money that would have been eaten up by  
12 procurements to implement this new plan.

13

14 So I think the lesson that's to be learned here --and  
15 I think there is reason for maybe some caution in talking  
16 about how fast it ought to get going -- the fact is, there  
17 was a design out there for an ESF that was not satisfactory  
18 to the Board, at least in the explanation of its basis.  
19 There was a design out there that other people were  
20 questioning, had been questioned in at least two DOE  
21 documents, one of which had to be redone because it did not  
22 yet describe an adequate design basis.

23 So what we're looking at is, in simplest terms, an  
24 original ESF that the Department now has backed away from,

1 walked away from officially in lieu of a better design,  
2 when a year and a half ago, they didn't even think they  
3 were getting into this.

4       So to rush now and be concerned about not immediately  
5 implementing that, if you look at the budgeting process,  
6 it's essentially impossible anyway. The Department could  
7 have twisted everything around and said: Uncle, okay,  
8 we're going to pour all our money into doing that. But  
9 they don't gain anything by doing that.

10       If they are really serious about determination of site  
11 suitability, there's an awful lot of surface work that can  
12 be done, still should be done, and is being totally ignored  
13 in the program.

14       And I would like to just suggest to the Board that  
15 you may want to at least spend some effort in listening  
16 very carefully to the later presentation of the status of  
17 surface-based activity, the thinking that is behind that,  
18 what are the real questions that are trying to be  
19 addressed, and whether it really serves you or anyone else  
20 to be so adamant about getting underground and leave the  
21 major questions that can be addressed from a surface  
22 evaluation, even of existing data, maybe directing where  
23 some new data ought to be collected or even looking very  
24 hard at existing data.



1           It may serve the whole program better, because it's  
2 clear the Department is going to proceed in that way, at  
3 least for a year, and they certainly could use the benefit  
4 of your thinking about what they've got right in front of  
5 them right now, rather than continuing this sort of  
6 wrestling match over when you get underground.

7           I have one final point. John, I heard your statement  
8 about contingency planning and your explanation of it not  
9 being a public process, and maybe by your own definition of  
10 "public process", that may be correct. But it certainly  
11 does not serve any of the 200-some constituents that you  
12 say that you've counted up for you to make contingency  
13 planning essentially a secret process.

14           Now I think this is one of the things that came out  
15 very clearly in your meetings prior to developing the  
16  
17 mission plan amendment. People want to know about  
18 contingency planning. The constituents want to at least  
19 know whether what they have said about contingency planning  
20 is even affecting your thinking. And I don't think hiding  
21 behind the fact that the Act does not require contingency  
22 planning is sufficient. I think all of the constituents  
23 want to understand at least what your thinking about in the  
24 way of contingency planning, including some things that are

1 not authorized in the Act at present but you may, in fact,  
2 discover you're going to have to deal with anyway.

3 That will be all for now.

4 DR. DEERE: Thank you. Additional comments?

5 MR. HAYES: Larry Hayes, Technical Project Officer,  
6 USGS.

7 I feel compelled to express my at least personal  
8 belief as to why the project was permit-limited in '91.

9 It's my position that the Survey could have done  
10 considerably more work in '91 in the field activities than  
11 we did do. We had resources. We had money, and we had a  
12 QA program that would have allowed that work. We could not  
13 do the work because we did not have air quality permits to  
14 do our drilling or our trenching, and I'll give you a few  
15 examples.

16 We had some instrument calibration holes that we  
17 needed to drill out at our hydrologic research facility in  
18  
19 order to develop and calibrate instruments that will be put  
20 into some of our deep holes. We could not drill those  
21 holes when planned, because we didn't have the air quality  
22 permits.

23 We had the resources and the QA program to deepen  
24 Trench 14. We could not do that because of permits.

1           We did a lot of prototype testing out at Apache Leap  
2 in Arizona.    We did it there because we didn't have  
3 permits.

4           Thank you.

5           DR. DEERE:    Thank you.    Additional questions or  
6 comments?

7           [No response.]

8           DR. DEERE:    There are now available additional copies  
9 of Dr. Bartlett's presentation, and as you leave for the  
10 lunch break, why you're welcome to pick them up.

11           We will then adjourn and come back at 1:00 o'clock.

12           [Whereupon, at 11:50 o'clock, a.m., the meeting was  
13 recessed, to reconvene at 1:00 o'clock, p.m., this same  
14 day.]

15

16

17



1 that's a given. We agree with you. There's no doubt in  
2 that conclusion.

3

4 We're funding-limited now, as Steve appropriately  
5 points out, and we need to get on with the program.

6 [Slide.]

7 MR. GERTZ: This, in effect, says the same thing on  
8 page 15 of your report. The \$30 million budget cut  
9 certainly did cause us to refocus this year, but even at  
10 that point, we were on the limit of doing what we could do,  
11 of getting more done. So we need the funds.

12 [Slide.]

13 MR. GERTZ: And said another way, if we're going to  
14 demonstrate federal resolve towards moving this country  
15 forward in addressing a pressing environmental issue, we're  
16 going to need three checkmarks.

17 We're going to need litigation, and we're pursuing  
18 successful litigation. Eventually, I believe we'll need  
19 legislation to separate science from political posturing.  
20 We want the science to go on for ten years without being  
21 subjected to any political posturing that may occur. We  
22 want to get on with the job.

23 But once we have those things, we then need, as John  
24 pointed out, OMB and Departmental support. We compete

1 across the Department for funds. We need their support to  
2 obtain adequate resources. And then the third step will be  
3 the Congressional support of full funding.

4 All those things are necessary, because without  
5  
6 all of the above, this program will become stalled. And  
7 right now, we believe there is a Congressional mandate to  
8 get on with the studies.

9 [Slide.]

10 MR. GERTZ: Here is the way I'm going to structure  
11 today's presentation.

12 First I'm going to talk a little bit about the  
13 regulatory requirements, not just NRC requirements.  
14 They're only a small part of what causes us to expend  
15 resources. There is a multitude of regulatory requirements  
16 that we're subjected to as we carry on our site  
17 characterization studies. So I'll talk to you a little bit  
18 about that.

19 I'll talk to you about our view of a balanced site  
20 characterization program, talk to you about the question  
21 you asked: what is the cost to do this whole job, to do  
22 site characterization to 2001. I'll talk to you about the  
23 baseline that we've got approved by the Energy Secretary's  
24 Advisory Acquisition Board.

1           Then we'll talk about some of the considerations.  
2 We've looked at a couple ways. A year or six months ago, I  
3 talked to you about our traditional work breakdown  
4 structure. Today I'll start the discussions based on fixed  
5 costs versus test and design cost to try to present to you  
6 a little bit different perspective. But we will go through  
7 some of what we're doing across the WBS, so you'll

8

9 understand what we're doing at Yucca Mountain this year.

10           We'll talk about funding impacts. And John, here  
11 we'll answer some of your questions of what do we do if we  
12 get limited funds, or if we get more funds, or if we stay  
13 level. And we have some ideas that are being discussed. I  
14 wouldn't classify them as contingency yet, but there are  
15 certainly ideas being discussed as to what to do and where  
16 we go, and then I'll try to draw some conclusions over it  
17 all.

18           [Slide.]

19           MR. GERTZ:       Let's now talk about regulatory  
20 requirements. You've heard about them. You'll hear more  
21 about them. Here's just some of the key ones.

22           Our program is driven by complying with regulatory  
23 requirements. We know about the Waste Policy Act as  
24 amended. We have NEPA, the National Environmental

1 Protection Act, the Clean Air Act, the Mining Safety and  
2 Health Act, OSHA. We have to operate in accordance with  
3 all of the OSHA rules. RCRA, the Resource Conservation  
4 Recovery Act. We have to be careful what we do with  
5 diesel fuel oil, with other used hazardous materials. We  
6 have the American Indian Religious Freedom Act, the  
7 Historic Preservation Act, the Nevada revised statutes and  
8 on and on and on, a multitude of regulatory requirements,  
9 statutory requirements. We consider this part of the  
10 regulatory

11

12 framework.

13 [Slide.]

14 MR. GERTZ: In the more pure regulatory sense, we have  
15 the NRC regulations, the EPA regulations, DOE's 960, NRC's  
16 quality assurance, and codified MSHA and OSHA and the 40  
17 CFR other environmental regulations from EPA.

18 [Slide.]

19 MR. GERTZ: We have, in addition to that, some key DOE  
20 orders, DOE orders on project management, on design  
21 criteria. In addition to complying with all of the  
22 regulatory requirements of the NRC and the other federal  
23 regulations, we have a multitude of DOE orders that we must  
24 comply with. It's very extensive. There's been lots of



1 activity at the DOE sites, looking at what DOE has been  
2 doing over the last 20 or 30 years. They've come up with a  
3 multitude of observations that DOE needs to get on with the  
4 job of complying with these orders.

5 John points out there are 2500 requirements in some of  
6 the regulatory statutes. My colleagues running some of the  
7 other DOE programs tell me there are about 27,000  
8 requirements in some of these DOE orders.

9 Some are very small, very inconsequential, but some of  
10 them cost time and resources. We must meet those  
11 requirements.

12 As a result of reviewing what's happening at DOE  
13  
14 sites with the Tiger Team investigations for health,  
15 safety, OSHA, et cetera, we have to make sure that we're  
16 complying with the DOE activities, with the DOE orders.  
17 It's not a small consideration at all in carrying out the  
18 program.

19 A simple thing like this, occurrence reporting. We  
20 have to make sure we have a 24-hour reporting system to  
21 report any occurrence that goes on on the site where we  
22 dovetail with the Nevada Operations Test Program, but it's  
23 still an activity that requires resources.

24 [Slide.]

1           MR. GERTZ:   Just the example of some of them, the  
2    Endangered Species Act, I didn't have on the slide.  You're  
3    recognize Trench 14.  It's been deepened, but this fence  
4    around it is not an OSHA requirement for safety; it's a  
5    requirement for Endangered Species, so a desert tortoise  
6    can't get into the trench.  Not only do we have to slope  
7    trenches, so if they get in and fall upright, they could  
8    get out, but we're trying to prevent them from going in and  
9    falling upside down and thus, in effect, create an  
10   incidental take.

11           Another area of desert tortoise protection is, when we  
12   put the new power lines in, we have to use special power  
13   poles, so ravens can't nest on them.  That's a requirement  
14   that we've made with the Endangered Species people.  That's  
15   what we have to do.  It's part of our

16

17   biological opinion.  These are all little costs that add up  
18   and add up and add up.

19           [Slide.]

20           MR. GERTZ:  A simple thing, in days gone by if you had  
21   equipment that you needed to steam clean, you just went out  
22   there steam cleaned it, and the residue would go into the  
23   desert or wherever; it would go into your street.  But now  
24   due to RCRA, you've got to collect it; you've got to treat

1 it; if it becomes hazardous, you've got to dispose of it at  
2 an appropriate hazardous place.

3 An example is Oak Ridge, Nevada -- excuse me -- Oak  
4 Ridge, Tennessee. In Oak Ridge, Tennessee, they're having  
5 to collect water off their parking lots, because as it  
6 rains, it picks up the drippings from the vehicles, and  
7 they have to treat that water out of the parking lots. We  
8 don't have quite that issue yet in Nevada, but it's part of  
9 what this country has set up in a regulatory framework.  
10 It's part of doing business in this country.

11 [Slide.]

12 MR. GERTZ: I will go through more of the regulations,  
13 but I just wanted to set the stage a little bit of the  
14 multitude of regulations that we have to comply with, and  
15 we're observed by the GAO, by the IG, by many other  
16 entities as to how we're doing with these regulations.

17 [Slide.]

18

19 MR. GERTZ: Let me switch now to a little bit about  
20 how we're trying to carry out a balanced program while we  
21 meet the regulations. Certainly the site characterization  
22 plan is our baseline. It was completed in accordance with  
23 the Waste Policy Act. It's been reviewed by the public and  
24 external oversight groups, the NRC, the EPA, USGS

1 independently of those people working on the project and  
2 have the program to be adequate.

3 Detailed study plans are being prepared. Many have  
4 already been accepted, approximately almost 20 by the NRC,  
5 and we have controls in place to change the plans. Should  
6 we not need some tests, we can change the baseline; should  
7 we need additional tests, we can change the baseline.

8 [Slide.]

9 MR. GERTZ: This has set up a balanced program that  
10 the Secretary has emphasized in '89, because we are  
11 committed to an early evaluation of the suitability of  
12 Yucca Mountain. In the '89 report, he envisioned two  
13 years of surface-based testing perhaps before we start ESF.  
14 Unfortunately for many reasons -- and I will take issue  
15 with Steve, like Larry did -- individual participants could  
16 have begun work sooner at Yucca Mountain. Comprehensively,  
17 we couldn't have done at, as the GAO said, but individual  
18 participants could have started work.

19 But we weren't able to. But that's gone past us  
20  
21 now. Now the fact is, we are resource-limited, and we want  
22 to look at some of these activities related to suitability.  
23 John talked about the unsaturated zone, hydrology, fast  
24 flow paths, if you will, volcanism, tectonic impacts on

1 isolation, potential repository horizon. Do we have the  
2 right horizon; can we move it up?

3 These are areas that we need to look at as part of our  
4 early surface-based testing.

5 [Slide.]

6 MR. GERTZ: The Secretary also noted -- and I am  
7 absolutely committed to it -- that an effective evaluation  
8 of the site is going to require both. We have to have the  
9 surface-based tests; you have to have the underground.

10 Being a civil engineer, I'm probably as eager to get  
11 underground as many of you are. I think that's kind of the  
12 test, to be underground.

13 So we're committed to that, surface and underground  
14 tests. But limited budgets and the need for the program to  
15 show demonstrated progress towards addressing scientific  
16 issues -- as John pointed out, we have many constituencies.

17 Some of them don't believe we're making progress. I think  
18 we've been making progress all along, but we have to have  
19 some kind of demonstration of that towards addressing  
20 scientific issues.

21 One course of action, which is the one we've

22

23 chosen for '92, is to focus on surface-based testing, not  
24 to the exclusion of the underground test program, but

1 because of limited resources, these packages are discrete.  
2 The costs are smaller. We can get specific things done.

3 If we need to change the test program, it's certainly  
4 less severe if we're in a surface-based mode. We can add  
5 drillholes, subtract drillholes, add trenches, subtract  
6 trenches, do those kind of things a little more  
7 economically than to change the underground exploratory  
8 studies facility.

9 [Slide.]

10 MR. GERTZ: Now I'm going to address the big picture.  
11 John alluded to it, and we think it was a major milestone,  
12 to get the ESAAB approval for not only start of Title II  
13 design, for not only start of the broadbased surface-based  
14 testing, but an endorsement of our baseline, cost and  
15 schedule.

16 [Slide.]

17 MR. GERTZ: The schedule baseline is 2001, and this is  
18 what they approved. I'll show you a working schedule a  
19 little later. This schedule was based on the facts in hand  
20 in August and September. But that was 2001 with the  
21 critical path through ESF, main test level drifting, in  
22 situ testing, waste package design starting up here, and  
23 performance assessment of the system and

24

1 eventually license application in 2001.

2 [Slide.]

3 MR. GERTZ: That schedule represents this kind of a  
4 funding profile. That number on the right hand side as you  
5 look at it is \$6.3 billion total project cost. That  
6 includes all the things funded by the Yucca Mountain site  
7 characterization project. It includes substantial monies,  
8 about a billion dollars, to the state and affected parties  
9 for oversight and potential benefits, about \$100 million a  
10 year when we get up to speed to the state.

11 You can extrapolate, and you can see it's four or five  
12 hundred million a year to keep on this schedule once we get  
13 going. It's not a small amount of money. It's a major  
14 commitment of resources. But the Secretary of Energy said,  
15 yes, I understand the program, or his Board did; I  
16 understand what needs to be done. You've laid out a plan.

17 The costs have been independently estimated by people  
18 outside the program. Stone & Webster did an independent  
19 estimate. They spent six months on it. They did a  
20 bottoms-up on the new ESF ramps. We know the ramps cost  
21 more than the shafts; however, should Yucca Mountain be  
22 suitable, they would be incorporated into the repository  
23 probably.

24 That independent estimate was within 4 percent of our

1 TPC. We didn't look in depth but only sampled the  
2  
3 scientific studies. So they will be continuing their  
4 estimates of the scientific studies, and they'll be  
5 reporting to Department management on how the scientific  
6 part of the program, studies part of the program, if it's  
7 still online with 6.3.

8 But in the meantime, that's our endorsement. That's  
9 our baseline program. That's the kind of funding profile  
10 we'll need to proceed forward.

11 [Slide.]

12 MR. GERTZ: Even at this time in 1992, we've started  
13 to be concerned about our critical path in 2001, because  
14 some of the milestones that were on the other schedule had  
15 to be changed. We didn't start the ESF, or we won't start  
16 it this year, as we thought we would.

17 So things do have to be changed, and it's going to go  
18 through a controlled change process. That's what change  
19 control and baseline is all about.

20 [Slide.]

21 MR. GERTZ: Let me point out a couple of other things.  
22 The project is different from other DOE projects. We all  
23 know it's the first project DOE has ever licensed. It's  
24 also the first repository that the NRC has licensed.



1           There are necessary costs for working an environment  
2 created by the Waste Policy Act and other laws in the  
3 country, and I don't want to at all just pick on the  
4  
5 regulatory requirements of the NRC, because I believe costs  
6 of regulatory compliance with the other suite of laws  
7 probably are as cumbersome, if not more cumbersome. Maybe  
8 "cumbersome" isn't the right word, but it just costs money  
9 to do business.

10           Certainly we're working with NRC compliance and  
11 licensing activities. We have an unprecedented 10,000-year  
12 timeframe, to prove something for 10,000 years, even though  
13 it's just reasonable assurance, not absolute assurance, is  
14 a unique undertaking. Intensive public outreach  
15 activities. The law provides for that. It's specific. It  
16 says: Make sure the public is informed and involved.

17           We have interactions with oversight boards, not o only  
18 with boards like yourself, but state, counties, GAO, if you  
19 would like to call them an oversight board, the IG.

20           The state, as noted, is adamantly opposed to the  
21 scientific studies and the repository development itself.  
22 We've had to go a through a cumbersome permit and  
23 litigation process. It is expensive to do business that  
24 way. We're working our way through that system.

1           The activity we're doing onsite, drilling holes,  
2 excavating trenches, collecting samples, is the kind of  
3 quality assurance construction control that's done during  
4 building a plant.       We're doing it during site  
5 characterization.   Many plants had to do investigations  
6 like this before their license was docketed.   They had a  
7 different program to follow.   We're following a process  
8 after a plant would be docketed.

9           And it's appropriate, and the scientists and engineers  
10 have bought into the system.   You know, years ago people  
11 were saying, gee, we don't know if we can do it, or what  
12 about it, but I'm really proud of the people that have got  
13 their programs approved.   They're working in the field, and  
14 they're complying with the quality assurance requirements.  
15       That's a thing of the past, I think.   It costs money, but  
16 we're doing it.

17           We have a mandated socioeconomic environmental  
18 monitoring program.   We've given grants to affected parties  
19 to participate in the program, and we have multiple,  
20 diverse contractors to ensure scientific credibility.  
21 We're trying to find the best suite of scientists and  
22 engineers to accomplish our goal.

23           That will all be integrated by the M&O.   Robby will  
24 talk to you more about that tomorrow.   But we're out there

1 trying to see if Yucca Mountain is safe, if it's suitable,  
2 with the best scientists that we can find.

3 [Slide.]

4 MR. GERTZ: Let me now kind of jump a little bit to  
5 funding allocation considerations. John touched on some of  
6 it, and I'm going to present it in a couple ways.

7 First, I'm going to show you about allocations that  
8 emphasize characterization and design and then other fixed  
9 costs. Fixed costs we'll examine in a little bit of  
10 detail.

11 Then later I'll go back to allocations emphasizing our  
12 project management accounting practice, our WBS. I'm not  
13 going to go through all ten third-level elements, but I'm  
14 going to emphasize about three of them, and I'm going to do  
15 that pretty fast.

16 So before I do that, I thought I might get you to just  
17 get ready for a fast-moving activity by telling you a  
18 little story about my avocation. I know you have to hear a  
19 sports story when I give a presentation.

20 I was fortunate enough to officiate the state high  
21 school football championship in Nevada, and it was on TV  
22 and all that kind of stuff, and I was the referee with the  
23 hand signals and everything. And about in the midst of the  
24 second quarter, I thought everything was moving pretty

1 good, and they had a roughing the passer, and sure enough,  
2 I threw my flag; after the play was over, stopped play,  
3 went over, put on the microphone, you know, and said we had  
4 roughing the passer against the defense, first down, went  
5 down the field, got set up for the play. There's about  
6 6000 people in the stands, and as I said, statewide TV.  
7 The quarterback gets up under center. I mark it ready for  
8 play, and he gets  
9 up under center, 42-35, and I'm watching it, and all of a  
10 sudden over the loudspeaker comes: "there's still a flag  
11 on the field." Well, I forgot to pick up my flag.

12 [Laughter.]

13 MR. GERTZ: Well, I had another flag, because you do  
14 that every once in awhile, so I don't pay much attention.  
15 The quarterback looks at me, and he goes 43-42. Here comes  
16 the public address announcer again: "there's still a flag  
17 on the field."

18 So I stop play, trotted back, picked up my flag, put  
19 it my pocket and got on with the game.

20 I'm going to move a little fast through here, so if I  
21 drop my flag, you've never hesitated to stop me before. So  
22 please do.

23 [Slide.]

24 MR. GERTZ: One of the most important points I want to

1 make is our design and test program has to be based on a  
2 firm foundation. You can't get on with the test program,  
3 with the design program, unless you have a firm foundation.

4 A firm foundation is indispensable to carrying out the  
5 activities above this line.

6 A firm foundation includes support facilities and  
7 equipment. I'll go into some of the details of that.

8 It includes compliance and regulatory support, and  
9 that's not limited to just NRC compliance. There's lot of

10

11 other compliance involved here.

12 It includes management and administration and  
13 financial and technical assistance.

14 Now we've broken these down into broad categories, so  
15 you can get a feel for it. It's a little different than  
16 our WBS accounting, but we thought maybe this would help  
17 you understand how we're doing business.

18 That supports this kind of discretionary activity.  
19 Drilling and trenching and the activities associated with  
20 it this year will be about \$21 million. Non-surface-  
21 disturbing tests, the ongoing studies, be it seismic  
22 information collection, rainfall collection, whatever,  
23 about \$23 million. And waste package, ESF, and repository  
24 design all lumped together, about \$16 million.

1           That's one of the ways that we're spreading that  
2 money, and I'll go through these in detail to help you  
3 understand how we look at it and what's included in those  
4 numbers.

5           [Slide.]

6           MR. GERTZ: Let me talk about some analogous cost  
7 situations.

8           If you're operating a nuclear plant today, less than  
9 10 percent, maybe 10 percent of the personnel or so, are  
10 directly involved in operating the plant, the operators as  
11 they're called. INPO puts out a survey that says here's  
12

13 how many operators are involved in a plant. In normal  
14 plant operation, even they're running and producing power,  
15 less than 10 percent of the people are operators. The rest  
16 of them are support personnel -- scientists, engineers,  
17 maintenance, whatever it takes to keep the plant online.

18           Another analogy -- and I certainly encourage you all  
19 to go over to Sellafield in Europe if you haven't been  
20 there, because they've started their repository  
21 investigation program -- they brought some North Sea  
22 drilling equipment; they brought some North Sea crews in.  
23 But operating in a regulatory environment, it's costing  
24 them \$10 million for a deep drillhole.

1 I was surprised at that number, but in order to  
2 operate in a regulatory environment, not just nuclear  
3 regulatory, but environmental regulatory, before they  
4 constructed their drillpad, they had to clear the entire  
5 area and put a membrane underneath, whatever it looks like,  
6 12 acres or so to make sure that diesel fuel oil or  
7 whatever wouldn't find its way to the watertable. It's  
8 part of doing business.

9 Their entire program -- I talked about \$6.5 billion  
10 for our site investigations -- their program -- and keep in  
11 mind, it's only for low and intermediate-level; it's not  
12 for high-level waste -- their entire program looks to be  
13 about \$3 billion, as I understand it, before they start

14

15 putting waste underground. And that's for low and  
16 intermediate-level.

17 So there are some analogies. We're kind of, I like to  
18 think, in the ballpark of what it takes to do business in  
19 this kind of framework.

20 And John, of course, pointed out -- and I certainly  
21 think it's one of the best analogies -- is railroad  
22 support. No matter how many trains you run -- whether it's  
23 one, five, ten -- you still need a signal network,  
24 appropriate safety, roadbed, right-of-way, safety costs,

1 personnel costs for all those people. If you can run six  
2 or eight trains, your cost per train certainly goes down.  
3 You just run a few trains, the cost per train is a little  
4 higher. But if you intend to run trains, you've got to  
5 keep that up.

6 And we certainly intend to get on with the site  
7 characterization program, so we need to keep up our base  
8 support.

9 DR. PRICE: Carl, on the previous slide you showed, I  
10 think you showed 70 percent of your costs were fixed.  
11 You've got required and discretionary, and I'm not sure  
12 about the terminology.

13 Is 70 percent of your cost in this program defined as  
14 fixed?

15 MR. GERTZ: "Fixed" may be one word. You know, we  
16 call them "required". If you're going to do this kind of  
17 work, you need to run an environmental program. If you're  
18 not going to drill, I don't have to run an environmental  
19 program, but if I'm going to drill or disturb earth, I have  
20 to spend \$6, \$8 million on the areas I'm going to disturb  
21 to get environmental background information.

22 So I guess I think that that's probably appropriate to  
23 call them fixed.

24 DR. PRICE: It seems like a very high number.



1           MR. GERTZ: Like I say, let's go back to the analogy  
2 chart. I've talked to the -- I was over at Sellafield,  
3 talked to the investigators there. They only have one  
4 drill working over there, and I don't know how many people  
5 they have on the rig. It's a 24-hour rig, not too many,  
6 but they have a lot of people supporting that one drilling  
7 operation going on simultaneously, I think probably not  
8 unlike the 75 percent/25 percent that we were showing.

9           That nuclear power plant, if it's not producing power,  
10 those 90 percent of people, those other 90 percent, still  
11 have to stay around to keep the plant in order, unless  
12 they're going to go for a shutdown. If they're going to  
13 start up again, they have to keep it in shape. And much  
14 like the railroad, if you're going to shut the train down,  
15 you don't need any fixed costs or minimal fixed costs, but  
16 if you intend to run a train, you have a certain amount of  
17  
18 fixed costs.

19           And I'm going to go through each of those categories,  
20 so you get an idea of what's in there.

21           DR. PRICE: Does the railroad industry operate on a 70  
22 percent fixed cost basis?

23           MR. GERTZ: I don't now whether its fixed or required  
24 costs, but they may, you know. I'd be it doesn't cost too

1 much to run one train, but I bet it does cost a lot to keep  
2 the infrastructure to support that train.

3 And I think -- I don't know about exact numbers, so  
4 therefore I'm not conversant enough to get into a debate on  
5 70 percent or 50 percent. But I want to give you the  
6 concept of required costs.

7 [Slide.]

8 MR. GERTZ: Let's go through the categories. We're  
9 going to go through support facilities and equipment.  
10 That's about \$16 million.

11 That includes the sample management facility. We have  
12 to take care of the samples we have, have to be able to  
13 operate as new samples are coming in.

14 A field operations center. We have to support what's  
15 going on in the field with OSHA-type support, with  
16 coordination, with nurses, with whatever safety  
17 responsibilities you need, with buildings, warehouses,  
18 providing information in areas, and as we go to  
19 information,  
20 information resources management, records, document  
21 control. You've got to have a well-documented history of  
22 the documents you're using.

23 You have to have office facilities. We're in the  
24 Valley Bank Center right now with about 700 people.

1           And you have to have vehicles. And that's just kind  
2 of one group of activities that I've alluded to. It  
3 doesn't include some facilities like the hydrologic  
4 research lab. We consider that part of the scientific  
5 investigation. That's not even a fixed cost.

6           So there's discretion as to where you put them. We've  
7 decided to show this particular category this way.

8           And I guess now might be an appropriate, Don -- I know  
9 you're having a meeting in October out in Las Vegas, and I  
10 certainly encourage you all to visit the site. It's been  
11 almost three years, or it will be three years by that time  
12 since you've been out as a board. I know some of you  
13 individually have been there. And we'd sure like to take  
14 you to the site and show you some of those facilities and  
15 what's going on, and so you can get a hands-on view by  
16 walking around and seeing it. So we'd sure like you to  
17 plan a day or two of touring the site and the facilities to  
18 get a feel for what we're doing.

19           [Slide.]

20           MR. GERTZ: The next category below the line in  
21 the firm foundation -- and, you know, we had a sample  
22 management facility before, but it wasn't very good in the  
23 early '70s, late '70s, so we had to upgrade it.

24           Compliance and regulatory support. I'm going to go

1 through this list. \$76 million.

2 You've got to have a sound quality assurance program.

3 You've got to be ready to go to work. There's no doubt  
4 about it. We're there. We've accomplished it. But it  
5 does cost money to get on with it.

6 Systems engineering. We have to develop requirements.

7 We have to do the top-level systems studies as well as the  
8 project-type system studies.

9 Configuration management. You've got to have change  
10 control. You have to understand what your baseline is and  
11 how you change the baseline. That includes document  
12 control and other things. These are fairly simple  
13 definitions of some very complex subjects or at least  
14 detailed subjects.

15 Technical database management. All the data we're  
16 collecting out there we're putting in a database, whether  
17 it's a geographic information system, a GIS run by EG&G,  
18 whether it's a systems engineering and properties database  
19 that originally had been run Sandia, will now be run by the  
20 M&O. We've got to keep track of the database.

21 We have to continue to do performance assessment.  
22 Shortly this month, we'll be producing our first total  
23 systems performance assessment, or next month. It's in  
24 internal review right now.

1           Performance assessment also dictates how we do other  
2 activities. It supports ESF drilling and other design  
3 activities.

4           Site characterization planning and reporting. We have  
5 to produce semi-annual progress reports as to what we're  
6 doing in the program. That's part of the law.

7           We have to have a detailed planning package when we go  
8 out to work. Russ will talk to you some more about that.

9           Certainly we have interactions with the NRC, with you  
10 all, for regulatory review, not an extensive amount of  
11 money but absolutely necessary, necessary to get on with  
12 the job.

13           And environmental compliance and studies. We have to  
14 meet certain environmental requirements for background  
15 information in order to comply with the Clean Air Act, the  
16 Clean Water Act, eventually NEPA. We're eventually going  
17 to have to develop an EIS, should Yucca Mountain be  
18 suitable.

19           [Slide.]

20           MR. GERTZ: There are some more of these things in  
21 this category.

22           I lumped transportation in here. Last year, we

23

24

1 spent about \$1 million on transportation. This year we're  
2 only spending \$100,000 on transportation. We'd like to  
3 look at another rail route. We will in outyears, but we  
4 only concentrated on one in the last year. We just didn't  
5 have enough money to do more on that.

6 We have to maintain the socioeconomics and Payments  
7 Equal to Taxes. We have to work with the counties and  
8 calculate what payment they should receive.

9 Public outreach program as mandated. We'll talk more  
10 about that. The tours, the information offices, other  
11 information activities.

12 Land acquisition. Well, we don't have to buy any  
13 land, but we do put seismic stations and other monitoring  
14 stations on BLM land and Forest Service land. We have to  
15 make sure that's coordinated appropriately outside of our  
16 current right-of-way.

17 Managing records. We have a local records center. We  
18 have a central records center. We're trying to figure out  
19 a better way to do it. This reflects a consolidation of  
20 some of them, three of them into one, but it is a costly  
21 activity to keep track of the paper. Somebody told me we  
22 processed a million pieces of paper last year at the  
23 project level and kept track of them, a million pieces of  
24 paper.

1           Everybody has to be trained, and you have to be  
2 trained in everything from general site orientation, when  
3  
4 you go out to the site that you know what to do when you  
5 see a desert tortoise, do you know the appropriate OSHA  
6 responsibilities before you walk in a trench. You have to  
7 be trained. You have to have objective evidence that  
8 you've accomplished that training for those kinds of things  
9 and also for the regulatory aspects of the program. If  
10 you're going to do quality-affecting work, do you have  
11 appropriate procedures in place? Have you read the  
12 procedures? Have you either gone to classroom training on  
13 them?

14           And project control. Project control, cost schedule  
15 control system, call it what you want. We spend a lot of  
16 money, \$180 million or so, probably close to a million  
17 dollars a workday. We have lots of people concerned about  
18 how we're spending that money.

19           You have to have an accounting system, a cost schedule  
20 control system that can document that.

21           You all probably have heard about Inspector Generals  
22 or IGs. The IG looked at some of our activities. They  
23 spent 18 or 16 months looking at our activities, and I'll  
24 read from a letter that they sent to John here.

1           They reviewed \$227 million expended across the  
2 program, which was 74 percent of what was spent in 1990.  
3 This assessment consisted of tracing costs through the  
4 accounting systems, identifying organizational controls  
5 over cost centers, as well as reviewing the controls,  
6 procedures,

7

8

9 and practices relevant to these internal controls, and the  
10 best line that I think out of this is, quote: "Our review  
11 did not disclose any material internal control  
12 deficiencies."

13           It costs money to keep track of what we're doing. It  
14 doesn't come for nothing, but it's essential in the way we  
15 do business. It's just absolutely essential.

16           And as a sidelight, our technical people are now  
17 starting to use the process for management, for making  
18 tradeoffs, for assessing contractor process. We're just  
19 starting to use this as an everyday management tool, and  
20 we're improving on that.

21           [Slide.]

22           MR. GERTZ: We are still in the area of required or  
23 fixed infrastructure costs. Choose your words, so to  
24 speak. Let's talk a little bit about management and



1 administration.

2 This is called participants' general management.  
3 That's where the staffs that are the top-level management  
4 at the laboratories working on a program, such as Larry  
5 Hayes, such as Tom Blejwas, are charged their time.  
6 They're not principal investigators, but they're  
7 coordinating the principal investors' work across their  
8 particular laboratory or federal agencies, as well as some  
9 of the DOE management and contractor management. General  
10 management charges to

11

12 there.

13 And then we have the normal administrative services.  
14 When you're employing 1100 people full-time equivalents,  
15 you certainly have personnel costs, contract  
16 administration, reprographics, clerical support, mail  
17 distribution. Some contractors include them in overhead;  
18 some are direct charge. But that's the basis that we're  
19 using for this presentation is about \$14 million in that  
20 area.

21 [Slide.]

22 MR. GERTZ: And Congress appropriated these particular  
23 dollars for financial and technical assistance. This year,  
24 they said state and local governments will get \$9 million.

1 There are ten counties now involved as affected local  
2 governments.

3 We've estimated that our Payments Equal to Taxes to  
4 Nye County and the State of Nevada will be about \$3  
5 million. Our procedures are now in place to start making  
6 those payments. We may have even issued our first  
7 preliminary check, or we're very close to that, to Nye  
8 County. And Congress did say university funding, make sure  
9 they're participating to the extent of about \$3.5 million.

10 Yes.

11 DR. CANTLON: John Cantlon. To what extent are those  
12 purchases of services as opposed to financial

13

14

15 assistance?

16 MR. GERTZ: Okay. These, in effect, are not purchases  
17 of services. This is, here's \$5 million to the State of  
18 Nevada for oversight. We don't watch what you do anymore.

19 You just provide a certification at the end of the year  
20 that you spent that number in compliance with the Waste  
21 Policy Act. The same thing to the counties. Here is your  
22 money, Nye County; make sure you're oversight-certified at  
23 the end of the year, that your oversight program is in  
24 compliance with the law.

1           So it's almost kind of hands-off, and I think that's  
2 appropriate, because we're looking for independent  
3 oversight from these activities.

4           As we get to the university funding, some of that, in  
5 effect, is services for us. Some of it is just money that  
6 we're providing them to get onboard, so they can provide  
7 services in the future.

8           Congress just appropriated this money the last two  
9 years in that kind of a way, so we're working our way  
10 through that. Much of it is going to the University of  
11 Nevada for transportation, the University of Nevada-Las  
12 Vegas for transportation. Other activities are included in  
13 that.

14           So if I understood your question, some of this might  
15 be services. The rest of it is just payment for

16

17

18 oversight.

19           [Slide.]

20           MR. GERTZ: Let me talk -- and I'll present this just  
21 in a little bit different way. You can present numbers.  
22 You can break them down. You can do lots of things. But  
23 that's our budget for 1992.

24           That's a little different from what you see in the

1 piecharts, from what Bill was asked about, because it  
2 includes a small amount of unfunded work that we carried  
3 over at the project, and John allocated some additional  
4 carryover from other parts of the program, so we could  
5 carry out the program we have in place this year.

6 So that's where we're at, is \$182 million to spend  
7 this year.

8 You just start ticking them off, and I went through  
9 these things, and you come up with about \$60 million left  
10 for testing and design. That's kind of the firm foundation  
11 that you need to do testing and design. And I could  
12 separate these into smaller categories, and we just put it  
13 together this way to try to present an example of how we  
14 view it.

15 Now you might say, gee, why don't you just cut all  
16 these 10 percent? Then you'll have some money to do this.

17 Let me tell you, of about \$4 million of project  
18 carryover I had available to put across the program, I had  
19 asked my Division Directors -- Russ Dyer, Wendy Dixon, Ted  
20 Petrie -- how they might want to spend it. Did they have  
21 any requests for that \$4 million? Keep it in mind that  
22 we're only going to do limited drilling and limited ESF,  
23 but do you need to bolster these programs to be more solid  
24 in these programs?

1           They came up with about \$26 million of requests for  
2 that \$4 million.     And that's not expanding anything.  
3 That's just trying to be a little more hardhitting in some  
4 of these areas.

5           In my view as the Project Manager, these are minimal.  
6     Transportation is an example.     We're down to one person  
7 just keeping track of the inquiries we get about it.  
8 Hopefully in future years, we'll continue what I thought  
9 was a very good program of rail access conceptual designs.

10          But with the funding that we had to go around, that's  
11 how we thought it was appropriate to spend it, and they  
12 have been scrutinized many, many times.     We've spent long  
13 hours at the Project Office and with our Technical Project  
14 Officers going back and forth about what it costs to do  
15 this, why, and where we're going to allocate the money

16           [Slide.]

17          MR. GERTZ:   After you get the firm foundation, then  
18 you get to do things that are a little more visible.  
19 Drilling and trenching, \$21 million; non-surface-  
20 disturbing,  
21 that's the activities of collecting existing data, be it  
22 seismic, be it climatological, be it rainfall.

23          Existing holes.   Keep in mind, we have 200 drillholes  
24 out there existing.   We have 100 existing trenches.   This

1 is before we started our new work. And we had 600  
2 different types of monitoring stations. So there's lots of  
3 stuff that continued to go on, even though we couldn't get  
4 on the mountain with new work. This represents new work.

5 [Slide.]

6 MR. GERTZ: In the design area, we certainly were  
7 focusing on the ESF. I'll talk more about that a little  
8 bit later.

9 About \$5 million, a little bit more than that, on the  
10 waste package.

11 And repository, in effect, is just the interface  
12 drawings where the repository interfaces with the ESF. Our  
13 regulatory requirements require that we continue to do  
14 that. It also includes some rock mechanics studies. I  
15 was at Colorado School of Mines last Thursday looking at  
16 some of the work they're doing, and that's where that  
17 happens to be funded, is out of repository.

18 So that's our major design activities.

19 [Slide.]

20 MR. GERTZ: You might wonder where are your

21

22 priorities and why did you decide to do this and that?

23 This is going to be my list of priorities, how we're  
24 spending the \$182 million. John, of course, has concurred

1 in this. It's part of his guidance to us.

2 One thing, we're looking at the initial site  
3 suitability. Let's review the data in hand. Let's develop  
4 some procedures for determining suitability. Let's get  
5 that peer reviewed. We have 14 independent peer  
6 reviewers, and totally only one of them had ever worked on  
7 any part of the project before looking at that, so that's  
8 an activity that's continuing this year.

9 We're going to initiate and continue surface-  
10 disturbing activities, be it drilling, be it trenching or  
11 whatever. Russ will talk to you more about the stuff we're  
12 doing in '92, so I won't dwell on it, but it's those kind  
13 of type things.

14 We'll continue our surface-based site characterization  
15 that's not disturbing, be it the monitoring type  
16 activities.

17 [Slide.]

18 MR. GERTZ: We are working on ESF Title II design. It  
19 began in October 1991.

20 We'll continue to maintain a sound quality assurance  
21 program. Now is not the time to back off. Now that we've  
22 worked on it and educated everybody and have them  
23 following procedures and documenting what they do  
24 appropriately, we want to continue emphasis there.

1           We have to maintain a sound environmental program.  
2   The laws require that we collect a certain amount of data  
3   and do certain things, be it the Historic Preservation Act,  
4   the American Indian Religious Freedom Act, whatever.

5           And we're going to continue to conduct performance  
6   assessment. That's going to set the stage for the program.

7   That, in effect, revolves around a term that John used.  
8   It's called "the engine of evolution", what you do with  
9   data and how you assess that data.

10          We will continue a project control system. With all  
11   the oversight I have, that we have in the project from the  
12   GAO, from the IG, as I said a 16-month IG report. The GAO  
13   has almost full-time people looking at the program, lots of  
14   time in Las Vegas. We need to make sure we know what's  
15   happening to our costs, who's doing what, are they on  
16   schedule, are they doing what they said they were going to  
17   do.

18          [Slide.]

19          MR. GERTZ: In addition to that, we're not going to  
20   zero out, but we're going to conduct a minimal waste  
21   package, EBS, near-field environment waste form  
22   characterization program. We would like to do more. At  
23   one time, we thought before we got the \$30 million cut we  
24   were



1

2 going to put some more money in it, not to get it exactly  
3 where we wanted, but certainly get it above where it is  
4 now.

5 But we're going to continue that program. We have to  
6 maintain the roads and the buildings. The Yucca Mountain  
7 site characterization program is now responsible for  
8 maintaining a lot of roads on the NTS, roads that only we  
9 use, in essence, that are ours -- buildings, records  
10 centers, and whatever.

11 We will continue to conduct the institutional outreach  
12 programs. We've found that's been very successful. The  
13 citizens of Nevada who have come tour the mountain have  
14 interesting thoughts about the study. They, in essence,  
15 support it.

16 And we will work at the transition of the M&O into  
17 project activities. Some activities, they have -- Robby  
18 will talk more about that tomorrow. They're right on line,  
19 going full-bore in such as performance assessment. They're  
20 integrating and providing technical direction in that area  
21 right now.

22 That's kind of our priorities for '92, and that's kind  
23 of how we spread them through the firm foundation, as I'll  
24 call it.

1 [Slide.]

2 MR. GERTZ: And as I said, this is kind of an  
3 accounting system that we just put together for this

4

5 presentation to give you a view of it.

6 What I'd like to do now is to go through not the  
7 entire WBS on every fourth level. I did that for you in  
8 June. You've got that for reference, if you want. But I'd  
9 like to go through a couple of the things in more detail,  
10 what we're doing in site (indicating), and that will be  
11 represented by some clear viewgraphs, what we're doing in  
12 regulatory and institutional, and what we're doing in ESF.

13 Many of the things in project management I just  
14 covered when we talked about fixed costs or when we talked  
15 about required costs.

16 Certainly in the backup, you have backup material for  
17 all these work breakdown structure elements, if you'd like  
18 to see what's in there at your convenience. Or if you want  
19 me to go through it, I'll do that, too.

20 And also in the backup, there's a list of activities.

21 As an example, I just used the USGS, of a list of  
22 activities that they did last year in typed form that you  
23 might want to flip through at your convenience.

24 But with that, I'm going to go through site, and I'm

1 going to do it a little bit different. I'm going to talk  
2 about the regulatory framework, why we're doing it We're  
3 not just -- you know, some people might accuse us of doing  
4 science for science's sake. Absolutely not true. What  
5 we're trying to do is meet the mission of studying

6

7 Yucca Mountain in accordance with the regulatory framework  
8 that we've been given in which to operate.

9 [Slide.]

10 MR. GERTZ: You saw my 182 before here. Here's the  
11 182 broken down this time by the accounting system, by the  
12 WBS. This is what we manage to; this is what we plan to;  
13 it's what we track to. You recognize the categories. Some  
14 of them really are not as explanatory as they could be.  
15 That's really site characterization.

16 Test facilities, in effect is the operations centers  
17 and other things out in Area 25 and maintaining the  
18 buildings.

19 Project management we broke down into subcategories,  
20 and that's the financial and technical assistance.

21 Bill, you were out of the room, but in partial answer  
22 to your question, this 182 includes a minor amount of  
23 project carryover and some other program carryover that  
24 John applied to the program, so we could at least get these

1 things done this year, and we didn't have to further cut  
2 that.

3 But John will tell you, I think he's -- and Sam will  
4 tell you, I think they're out of discretionary carryover  
5 about right now. They sure don't have much left.

6 And if you do, John, I'm willing to talk to you

7

8 more about it.

9 DR. BARTLETT: I know, John.

10 MR. DYER: It is not in the discretionary category.

11 [Laughter.]

12 MR. GERTZ: It's not in the discretionary category,  
13 okay.

14 [Slide.]

15 MR. GERTZ: Let me talk a little bit about site, some  
16 of the site activities right now.

17 [Slide.]

18 MR. GERTZ: Before I do that, though, I want to set  
19 the stage about how our program was derived, just a little  
20 bit of background, is that we looked at the regulatory  
21 requirements, be it the NRC requirements, the EPA  
22 requirements, the DOE requirements, developed guidelines,  
23 looked at the technical criteria and the standards.

24 As a result we asked ourselves some questions. What

1 do we need to know? How do we have to answer these  
2 questions? They were called issues, both performance of  
3 the geologic barriers and design issues for the engineering  
4 barriers.

5 And from those two, we then developed a  
6 characterization program of what data do we need in order  
7 to answer these questions to meet these regulatory

8

9

10 requirements. That's fairly simplistic, but that's kind of  
11 how the program was developed when we put together the SCP  
12 years ago, and that SCP has kind of withstood the test of  
13 time. It's kind of been reviewed by everybody, and it says  
14 this is a sound program.

15 There are some things in there we hope to reduce.  
16 Erosion happens to be one area that I'll talk about there.

17 Maybe we don't need to do the erosion tests. We think we  
18 may have enough data. Some areas we may have to expand.

19 [Slide.]

20 MR. GERTZ: Just a little different perspective of it.

21 This lists some of the regulations, emphasizing on 960,  
22 Part 60, and 40 CFR 191, and it lists some of the  
23 regulations such as subsystem performance objectives, and  
24 it says: here's the issue. Will the waste package have

1 appropriate containment? What's the engineered barrier  
2 system release rate? What's groundwater travel time? And  
3 then what programs -- geohydrology, geochemistry -- will  
4 try to answer that issue? What will answer that question?

5 That's the way we put together the program. But once  
6 again, what we're doing is based upon regulatory  
7 requirements.

8 [Slide.]

9 MR. GERTZ: There are a couple requirements that I  
10 have to highlight right now, and I'll go this just once,  
11 but

12 certainly 10 CFR 60.15 requires that the characterization  
13 activity impacts, they be limited and that the excavation  
14 be coordinated with the repository. We just can't go out  
15 and excavate. We have to make sure it's coordinated with  
16 whatever the future repository design might look like.

17 Then 60.21 requires an evaluation of alternative  
18 repository design features, alternative ways of doing  
19 things in the context of limiting the impacts to the site  
20 in the context of limiting waste isolation. You have to  
21 look at alternatives to study the site, and you have to  
22 look at them to see how they would affect waste isolation.

23 That's kind of a simplistic statement about what we  
24 need to do, but that requires lots of analysis, lots of

1 work.

2 Both surface-based testing and ESF excavations must be  
3 included. It doesn't matter. It's not just underground.  
4 But if we're using water to control dust, we have to have a  
5 performance assessment on our use of water to assure it  
6 doesn't affect waste isolation. We have to have that  
7 documented. We have to have objective evidence of it, so  
8 that we can assure that we're not affecting waste isolation  
9 by putting water on the site to control dust.

10 Because of these and other requirements, we need to do  
11 careful planning. We need to do the evaluations prior to  
12 doing any testing or excavating. It's just part of doing  
13 business.

14 [Slide.]

15 MR. GERTZ: These are the two I highlighted, 10 CFR  
16 60.15, 60.21.

17 Here's the others that are just up here for your  
18 perusal. In essence, it lays the framework for our test  
19 program. And that's what we are in, the 1.2.3 Site now,  
20 the site investigations program.

21 [Slide.]

22 MR. GERTZ: Here is just another list of it, and it  
23 goes on and on about performance of particular barriers  
24 after closure, about criteria, about what you have to do

1 for the geologic repository operations area. Even though  
2 we're just studying the site, we have to determine what  
3 effect that may have on the geologic repository operations  
4 area. So we have to have a conceptual design of that.

5 General requirements for performance confirmation, you  
6 have to keep in mind, after we characterize the site and  
7 should it be suitable, can we do some confirmation tests  
8 beyond license application and all the time maintaining a  
9 quality assurance program within the requirements.

10 [Slide.]

11 MR. GERTZ: Let me just briefly talk about -- now I'm  
12 going to switch and go right to the WBS categories. This  
13 happens to be what we call 1.2.3.1. We call it

14

15 management and integration. It's an accounting place where  
16 we put what I'd call miscellaneous activities -- the early  
17 site suitability study, the costs involved with that are  
18 placed here. Surface-based testing prioritization. Calico  
19 Hills was done in there to support some of these things.

20 It's where when a principal investigator has to go off  
21 and do project control, he charges it to here. When he has  
22 to do some management activities, he charges it to here.  
23 So a PI normally is charging to the scientific, work he's  
24 doing, but there are certain things he needs to do to be a



1 manager besides being a PI. This is the category they  
2 charge, including developing the test planning and job  
3 packages.

4 [Slide.]

5 MR. GERTZ: With that, though, I'll now move on and  
6 provide you some pictures. As I said, you haven't been to  
7 the site for awhile, and I really encourage you to come to  
8 the site in October, if you could. But I'm going to go  
9 through some of the things in 1.2.3, and actually we'll  
10 start with 1.2.3.2, which is geology. Certainly we're  
11 working on the structural and stratigraphic non-disturbing  
12 work. We're trying to computer model what's happening out  
13 there, what's the stratigraphy, what do the faults look  
14 like. It's activities ongoing by the USGS.

15 [Slide.]

16

17 MR. GERTZ: We are continuing surface-disturbing  
18 activities at Midway Valley and Trench 14. There's Dr.  
19 Stuckless doing some sampling last summer at Trench 14, and  
20 we'll talk more about that a little bit later.

21 [Slide.]

22 MR. GERTZ: We move on. We will be doing new surface-  
23 based testing activities for the ESF. But we've got a  
24 systematic drilling program. It's just meant to point out

1 that we have to integrate the drillholes to make sure they  
2 don't interfere with the proposed ESF design. The ESF is  
3 the red areas in the main drifts at the repository level.

4 Also if you get a chance at the break, you might look  
5 at these two pictures. You can't see them now, I know  
6 that, but one is an aerial straight-down view, and the  
7 other is a perspective, and overlaid on that we have the  
8 new ESF design, so you can get a feel for how it underlies  
9 the topography out there. And they're really kind of  
10 interesting pictures, and they'll provide you a little bit  
11 of vision as to what the ESF, which is in red there, looks  
12 like.

13 Also we have a model outside for those of you who  
14 haven't seen our ramp concept in model form.

15 [Slide.]

16 MR. GERTZ: We have a 53-station seismic network. We  
17 need to understand seismic events and what effect they  
18  
19 may have on the repository. USGS is upgrading that network  
20 right now. We'll essentially have everything in place here  
21 this year that we're hoping for, and then we hope to work  
22 out something with the University of Nevada system and Jim  
23 Brune where they will do the monitoring for us of this  
24 system and contribute to the project in that way.

1 [Slide.]

2 MR. GERTZ: And we support issue resolution, and I  
3 heard the debate about issue closure. This is not issue  
4 closure. Issue closure is a licensing term, but we'd like  
5 to at least get a technical consensus.

6 Have we learned about all we can about certain issues,  
7 and can we set it aside for awhile, not continuing  
8 gathering data just for data's sake. And this happens to  
9 the vein deposits in Trench 14 after we've deepened it. A  
10 little later on, I'll even show you another view of that  
11 after we've deepened it more than that. That was our first  
12 July deepening activity.

13 [Slide.]

14 MR. GERTZ: And Dr. Crow is working on volcanism,  
15 which isn't on this chart, but it's certainly an ongoing  
16 activity.

17 [Slide.]

18 MR. GERTZ: I have it. 1.2.3.3, we go from geology to  
19 hydrology. We have lots of holes out there that

20

21 I told you about. We continue to monitor that unsaturated  
22 zone, neutron, logging neutron measurements. We also  
23 monitor stream flow, debris, other things that are  
24 happening.

1 [Slide.]

2 MR. GERTZ: Certainly, we're looking at the saturated  
3 zone hydrology. We know there's a hydraulic gradient north  
4 of Yucca Mountain. We need to understand that better. Not  
5 our first drill hole, not our second, but maybe our third  
6 will be up in that area to help further understand the  
7 hydraulic gradient north of the proposed repository area.

8 So, that's continuing. We have lots of wells that  
9 we're continuing to monitor water levels in.

10 [Slide.]

11 MR. GERTZ: This is the saturated zone. We're trying  
12 to develop models for the regional flow system. This  
13 happens to be one model depicted here. John Czarnecki is  
14 one of the PI's that's working on that, but that's ongoing  
15 activity, absolutely necessary when it comes to predicting  
16 waste transport and the capability of Yucca Mountain for  
17 waste isolation.

18 We're doing ground water geochemistry. We're sampling  
19 water and making sure we understand the geochemistry of  
20 that particular water, water in the water

21

22 table. As I said, I'm just going to highlight some of  
23 these.

24 [Slide.]

1           MR. GERTZ: We continue in the hydrology area. This  
2 is even further deepening. Where you saw Emily standing at  
3 this level, IV, well, we've deepened that trench even  
4 further, and it appears to us that these banks seem to be  
5 decreasing or almost becoming eliminated in that area.

6           We believe the Trench 14 issue should be proceeding  
7 towards issue resolution. That's not to say the theory  
8 about upwelling water is heading towards issue resolution.

9           That will need a lot more investigation, but we'd like to  
10 at least address issue resolution at Trench 14.

11           Russell will talk more about it, but he'll show you  
12 some drilling pictures in Alan Flint's program. I guess I  
13 need to talk at this a little bit about -- if you haven't  
14 heard Alan Flint talk since he's been out drilling, you've  
15 really missed something, because his enthusiasm and his  
16 dedication to the work, I think, speaks well for the whole  
17 project.

18           We move from preparing and planning now into  
19 implementation. Lots of things are going on and people are  
20 gathering data and doing things and I think the morale of  
21 the scientists is the best it's been in the four years that

22

23 I've been on the project right now. This happens to be  
24 handling some of the cores from the infiltration holes that

1 we've just been drilling at the hydrologic research  
2 facility which is across from the sample management  
3 facility is a very nice facility.

4 [Slide.]

5 MR. GERTZ: Geochemistry, I don't have any viewgraphs  
6 for you, but at Los Alamos, we're continuing to keep track  
7 of the geochemistry and the zeolites and the activities in  
8 the area of interest, in the area between the repository  
9 and the water table and the upper areas of the water table.

10 They're doing laboratory experiments, modeling. I  
11 know you all participated with us in a workshop last  
12 September on that, developing computer codes for the  
13 effects of both vulcanism, tectonics and radionuclide  
14 transport. That's part of the geochemistry program, about  
15 \$4 million.

16 [Slide.]

17 MR. GERTZ: Let me now talk about the drilling itself.  
18 The scientific investigators like Alan Flint happen to,  
19 the way we do business, charged to 1.2.3, but the drilling  
20 done by the drillers, by the REECOs' and by the Raytheon  
21 geologists' supporting them, charges to 1.2.5.

22 This year, we're going to spend about \$14 million in  
23 that area. Now, you remember that I said drilling and

24

1 trenching was going to be \$20 million, well, that's because  
2 it includes the scientific investigation people. But \$14  
3 million here in drilling, that's some of the ongoing  
4 things, not new drilling, but ongoing borehole monitoring.

5

6 We're doing some geophysical measurements in some  
7 existing boreholes. We're working on reworking some the  
8 holes in the C-well complex. We're maintaining  
9 instrumentation, relining some boreholes. We want to make  
10 as much use as we can out of the existing boreholes.

11

12 [Slide.]

13 MR. GERTZ: We're also doing architect engineer  
14 activities for drilling. You have to design a pad, you  
15 have to assure the pad doesn't compromise waste isolation.

16 This happens be a pit and we're getting ready for what we  
17 call Well JF-3, which will be wet-drilled. It's off the  
18 repository block and it's our monitoring well for our water  
19 permit with the state.

20 As part of our water permit negotiations, the National  
21 Park Service required we add an additional well between  
22 Yucca Mountain and Amargosa Valley and we monitored the  
23 level in that well. We just started drilling on that hole  
24 right now.

1 [Slide.]

2 MR. GERTZ: We will operate the sample management

3

4 facility. That's going to support core analysis. That

5 just goes on and on. We support drilling with the LM-300.

6 That's our new drill rig. We hauled it down from Salt

7 Lake City. It's just coming on to the Nevada Test Site, on

8 its way to Yucca Mountain. It's in here, suspended over

9 the road carrier.

10 It does operate by itself, once we get it onsite. Russ

11 will show you the schedule on that, but we'll be drilling

12 March or April, or first deep, dry core holes. We're

13 pleased to be moving on with that operation.

14 [Slide.]

15 MR. GERTZ: Climatology, we're doing several things in

16 keeping abreast of what's happening in the field there.

17 That's a little difficult to see, but that's some rat

18 middens, the principal investigator, I think, is John

19 Whitney from the USGS looking at rat middens, trying to

20 find out the debris in the middens so they can determine

21 what previous climatological regime was.

22 This is just close to Yucca Mountain. It's been age-

23 dated and it's about 12,000 years old, so here we have a

24 fairly substantial rat midden, pack of rat middens, so to



1 speak, and it's lasted about 12,000 years in that  
2 environment without deteriorating too much. It has  
3 provided some interesting past climate data.

4

5

6 [Slide.]

7 MR. GERTZ: Russ will talk to you more about this, but  
8 in essence, we're -- this is our surface-disturbing  
9 activities, drilling and things. As I said, we're doing  
10 the unsaturated zone. We'll be doing some trenching in  
11 pits. We'll be doing, eventually, some geophysics, and  
12 I'll just let Russ fill you in more about that. That kind  
13 of summarizes the drilling program.

14 [Slide.]

15 MR. GERTZ: Let me now talk just a little bit about  
16 the ESF. I've moved from the drilling program. There's  
17 one more viewgraph I wanted to show you, if I have it here.

18 [Pause.]

19 MR. GERTZ: It's probably in the regulatory one.

20 Let's talk about the ESF.

21 This I do a little different. We've had lots of  
22 discussions about the ESF. So, I'll just kind of highlight  
23 the things we're doing this year for the money that's being  
24 spent.

1 [Slide.]

2 MR. GERTZ: Once again, design control is kind of the  
3 term John uses to make sure we're compliant. It's the term  
4 the NRC uses.

5 We've got to assure, we have to assure we're

6

7

8 complying with all their requirements, and these are just  
9 some of the same things you saw for surface-based testing,  
10 but it underlies our performing activities.

11 These are general design criteria, underground  
12 facility design criteria. It's all right out of the regs.

13 [Slide.]

14 MR. GERTZ: Back to performance confirmation, design  
15 testing, and the quality assurance program. I guess what  
16 I'm trying to point out to you is that there are regulatory  
17 bases for what we're doing.

18 [Slide.]

19 MR. GERTZ: We have to assure the regulator we're  
20 compliant with that basis.

21 Once again, in management integration, 1.2.6.1, this  
22 is completing requirements, it's doing some studies, it's  
23 finalizing the number of TBMs for use in the ESF. We've  
24 talked to you about the ESF. This is one of the studies

1 we're doing, both diameter and number of TBMs.

2 If we had a perfect world and all our resources, what  
3 is the right number? I'll talk to you later on about some  
4 ideas if we don't have full resources, what may be some  
5 options, completing the appropriate plans that go along  
6 with this design.

7 [Slide.]

8 MR. GERTZ: Along with that, we have to complete  
9  
10 our safety analysis report of designated items. We have to  
11 do value-engineering in compliance with the DOE order. We  
12 have to support performance assessment.

13 We have to do our shallow drill holes at the portal  
14 site and design support for our portal mapping and testing.

15 [Slide.]

16 MR. GERTZ: That leads to a site preparation package,  
17 which would be some trade-off studies, 17 drawings and 10  
18 specs, and surface utilities, which will be some trade-off  
19 studies, 37 drawings and 58 specs.

20 We're getting ready so that, come November, we can  
21 start some road and pad work. That site prep includes soil  
22 storage design, waste water disposal, electrical substation  
23 work, things that you normally expect to do in surface --  
24 in site prep.

1 [Slide.]

2 MR. GERTZ: In addition to that, we're going to have  
3 to do some surface facility work. Surface and portal  
4 facility deliverables include many analyses, some drawings,  
5 and some specs.

6 We have to design the portal high wall sufficiently  
7 for blasting -- so, our site prep will include the portal  
8 high wall; complete our pad design sufficient for blasting  
9 and grading -- come November, we want to get on

10

11 there; design of our first access facility layouts, what  
12 kind of buildings we're going to have, and the envelopes  
13 within the buildings.

14 [Slide.]

15 MR. GERTZ: Some of you have seen this before, but  
16 certainly, in '92, we will be working on the first access  
17 site prep. That's our design activities which soil and  
18 rock surveys and shallow drill holes feed into that. We'll  
19 be doing a number of TBM studies.

20 We'll now be starting our electrical upgrade. In '93,  
21 we hope to then be getting on with the major Title II  
22 design and finishing the electrical upgrades and doing the  
23 construction here, first access construction.

24 [Slide.]

1           MR. GERTZ:    You've seen these before.    That's our  
2 major concept.    I just want to remind you we're still  
3 looking at 14 miles of tunnels.    Our reference design is  
4 still a 20-foot, 5-foot diameter ramp and drift and 16- or  
5 18-foot diameter at the Calico Hills level.

6           [Slide.]

7           MR. GERTZ:    Typical support facility with the portal  
8 entrance -- when I talk about roads and pads, what we're  
9 kind of designing is all this, including whatever cutout we  
10 need there.

11           We're not penetrating the hill.    This was the  
12  
13 north one.    This would be Exile Hill.    The south one would  
14 be Boundary Ridge.    We're not penetrating it, but we will  
15 be constructing that pad and starting that in November.

16           [Slide.]

17           MR. GERTZ:    That pad, of course, will be the entry  
18 point to a ramp, and off that ramp will be another ramp  
19 down to the Calico Hills.    That happens to be the cross-  
20 section of the north area.

21           It certainly provides an opportunity for the  
22 scientists, geologists, engineers to get underground, look  
23 at in situ structures in place.

24           [Slide.]

1           MR. GERTZ: That happens to be the south one, less of  
2 a grade, also taking off down to the Calico Hills.

3           If you come to Yucca Mountain now, as you drive up the  
4 road, you can see the place. As the road goes up to the  
5 mountain, it crosses right under where the south ramp would  
6 be, and we now have that marked with a spot, so you can  
7 even see that the ramp is X feet below here, proposed ramp.

8           [Slide.]

9           MR. GERTZ: These are just the drawings that are on  
10 the board. So, you can look at those. You can't see much  
11 off this view, but that's a perspective looking to the  
12 southwest.

13           This would be the north portal here, Exile Hill

14

15 there

16           [Slide.]

17           MR. GERTZ: This is looking down on it with the north  
18 ramp here, the south ramp here. In red is below -- is the  
19 Calico Hills ramps. In black is the proposed repository  
20 drift area.

21           [Slide.]

22           MR. GERTZ: Let me move on now to the third WBS item,  
23 and then I'll move on to the rest of the presentation.  
24 This is regulatory, institutional, environment.

1 [Slide.]

2 MR. GERTZ: In this area, we're really looking to the  
3 Waste Policy Act. It's created a structure for us to work  
4 within. It's created lots of requirements. It's created  
5 the Nuclear Waste Technical Review Board, participation of  
6 states, consultation.

7 So, in this particular funding category, there's lots  
8 of requirements, Nevada revised statutes, lots of things  
9 that are driving the program.

10 [Slide.]

11 MR. GERTZ: Just to set the framework, Congress did  
12 create the Waste Policy Act. It did create a system of  
13 regulators, a system of oversight and also an opportunity  
14 for benefits should a state cooperate with the scientific  
15 investigation.

16

17 It also creates the opportunity for a waste  
18 negotiator, as you heard Ron and John talking about with  
19 the MRS, but that's the major elements of the repository  
20 part of the program.

21 Regulatory-driven: that's the framework for the  
22 program.

23 [Slide.]

24 MR. GERTZ: 1.2.5.1, that's our management and

1 integration account. That's where the people charge for  
2 special studies, special projects or when they're doing the  
3 non-scientific work.

4 [Slide.]

5 MR. GERTZ: 5.2 is licensing. That's support for  
6 technical regulatory meetings with the NRC, National  
7 Academy of Science, ACNW, NWTRB -- many, many meetings.  
8 I'll show you how many in a second.

9 We also conduct study plans, reviews here.

10 We support issue resolution process, support site  
11 suitability study and prepare -- that means licensing input  
12 into the site suitability study, not the site suitability  
13 evaluations -- and prepare our progress reports. Comes out  
14 of this account and their statutory requirement.

15 [Slide.]

16 MR. GERTZ: In '91 we chartered about this many  
17 meetings with the Technical Review Board, 14 with the NRC,  
18 22 with the ACNW and we expect similar or increased level  
19 as time goes on.

20 [Slide.]

21 MR. GERTZ: I'm going to show you some more pictures  
22 now about some of our environmental compliance activities.

23 We have to have annual reports, be it for programmatic  
24 agreement on historical properties or environmental



1 protection implementation plan.

2 We have to continue to get permits, whether it's  
3 injection, well permits, for each drill hole or for a suite  
4 of drill holes.

5 We have to continue to work with the state on that.

6 We have to implement a hazardous waste management  
7 program to assure that we are meeting regulatory  
8 requirements of RCRA, tracking systems -- just support  
9 other activities.

10 [Slide.]

11 MR. GERTZ: Anywhere we're going to build a road,  
12 drill a hole, dig a trench, we have to do a pre-activity  
13 survey. That includes an archeological survey, a  
14 terrestrial ecosystem survey and a radiological survey.  
15 It's required, we can't do anything until we do that.

16 This is just staking out some areas before we

17

18

19 started to do some surface-based testing so the proper  
20 surveys can be done.

21 [Slide.]

22 MR. GERTZ: We have to meet the requirements of our  
23 biological opinion that is an agreed to document with the  
24 Fish & Wildlife, or else they can stop us from working out

1 there. We're working with a little desert tortoise there.

2 [Slide.]

3 MR. GERTZ: We need to do our reclamation studies.  
4 Should we disturb an area, we have a commitment to replace  
5 it so before we disturb an area we study the flora, fauna  
6 in the area so that we can replace it appropriately.

7 [Slide.]

8 MR. GERTZ: We do far field radiological samples and  
9 monitoring. That's one of our monitoring stations, one of  
10 several monitoring stations in the area.

11 [Slide.]

12 MR. GERTZ: We keep track of the climate with our 60  
13 meter tower. I assume we'll probably have a second 60  
14 meter tower in the area, have some 10 meter towers. We  
15 maintain our meteorological monitoring.

16 [Slide.]

17 MR. GERTZ: That's just another view of the tower.  
18 That's our commitment for air quality, particulate control,  
19  
20 the things we have to do to comply with the permit that the  
21 state has given us for surface disturbance.

22 [Slide.]

23 MR. GERTZ: Other activities include working with the  
24 Native Americans. We have 16 tribes in the area that we

1 consult with. This is a "rock ring" as they call it; we  
2 have asked the Native Americans what it is. They are not  
3 real sure.

4 It could have been a foundation for one of their early  
5 dwellings. It could have been a circle for some kind of  
6 ceremonial fire but we even moved a road to avoid that.  
7 It's part of the process we have to go through.

8 [Slide.]

9 MR. GERTZ: We do other things, have different  
10 environmental plans, water resources network, monitor  
11 reports per our EFAP and environmental field activity  
12 plans, reclamation plans. We keep track of those.

13 [Slide.]

14 MR. GERTZ: We do archeological data gathering, have  
15 an extensive program, over \$500,000 a year, half a million  
16 dollars a year looking at the archeological aspects of the  
17 region, taking artifacts, doing whatever is necessary to  
18 implement data recovery, doing mitigation analysis  
19 including artifact inventory storage, et cetera, to comply  
20 with this federal regulation.

21

22 [Slide.]

23 MR. GERTZ: I have already alluded in this accounting  
24 system we have transportation as 1.2.5.5. We are not doing

1 much this year. We did do a comprehensive design,  
2 conceptual design of this route. In the future we'll look  
3 at that route and this route and other routes should they  
4 become viable candidates for transportation to Yucca  
5 Mountain.

6 [Slide.]

7 MR. GERTZ: By statute we have to keep track of what's  
8 happened in socio-economics in the area including a  
9 monitoring plan, doing profiles, keeping track of our  
10 payment equal to taxes program and continue to support a  
11 radiological monitoring program in the area.

12 Just for what it's worth, right now 95, 96 percent of  
13 the people working at Yucca Mountain live in Clark County,  
14 4 percent in Nye.

15 [Slide.]

16 MR. GERTZ: The last area of 1.2.5 is communications  
17 and liaison -- provide support for state of Nevada  
18 interactions, be it with the state legislature, state  
19 office or whatever.

20 We operate an information office, one in Beatty, one  
21 in Las Vegas, perhaps one in the near future in Pahrump.

22 [Slide.]

23

24 MR. GERTZ: We support update meetings. Once again we

1 had 22 of these meetings around the state. We have six a  
2 year or so. Every six months we have a series of three. We  
3 involved the public. At the last meeting we had 500 people  
4 showed up in Las Vegas.

5 We spent the first hour and a half or two of the  
6 meeting with the people talking to the scientists. There  
7 were problem 30 scientists working on the program around  
8 the room, for them to one on one interact with.

9 Second part of the meeting was spent in an open  
10 question and answer session, moderated by an independent  
11 moderator and we are going to continue to do that every six  
12 months.

13 [Slide.]

14 MR. GERTZ: We have a tour program that's been  
15 extremely successful.

16 We put an ad in the paper; we ran it one day and we  
17 had 1200 people call up within 10 days. We have been  
18 talking 400-500 people a month out to the mountain, usually  
19 on a Saturday, usually eight or ten buses. They have a  
20 chance to talk to the scientists and see the facilities,  
21 see the sample management facility, see the hydrological  
22 research facility, see the field operations center.

23 [Slide.]

24 MR. GERTZ: Of course we're working with different

1 civic communities, Boy Scouts, Girl Scouts, what have you,  
2 as requested and we have other special request tours  
3 including Monday the Chairman of the NRC, Chairman Selin,  
4 is going to be out to the site and just another normal day  
5 in the week, Thursday, we have a group of 40 to 50  
6 Congressional representatives coming out to the site.

7 We keep busy in this area too.

8 [Slide.]

9 MR. GERTZ: You have probably seen this before, if you  
10 have heard me talk, but this is my view, not a scientific  
11 sampling at all but it is a sampling of those people who  
12 went to Yucca Mountain.

13 Over 2,000 people have responded to this survey; 90  
14 percent of the people believe DOE should study Yucca  
15 Mountain after they have seen the mountain and after they  
16 have talked to the staff; 7 are undecided; and 4 percent  
17 said don't conduct the studies.

18 Many were undecided or opposed to the study prior to  
19 taking the trip and we'll continue to keep track of what's  
20 happening as the tours continue.

21 [Slide.]

22 MR. GERTZ: Let me talk a little bit now about funding  
23 impacts.

24 [Slide.]

1           MR. GERTZ: We have alluded to it but let's answer  
2 the question straight out: why are we emphasizing surface-  
3 based testing in the near term?

4           Well, one, funding's inadequate to sustain a full ESF  
5 program. We can only partially do it and we have to do  
6 that at the expense of a surface-based testing program so  
7 even if the design were completed in '92, we might not have  
8 '93 funds to do what we wanted to do.

9           Surface-based testing provides continuity. We have  
10 crews that have learned to work in a regulatory  
11 environment. They are moving from one hole to the next.

12           It's provided an opportunity for the scientists and  
13 engineers to work in the requirements and regulatory  
14 framework.

15           Certainly many people are concerned about insufficient  
16 visible progress towards addressing technical issues,  
17 scientific issues. The surface-based program provides us  
18 progress towards addressing the issues.

19           Russ will show you a videotape of Alan Flint. You  
20 know you all would like us to get underground. Well, we're  
21 not getting underground with a real big hole but Alan  
22 Flint's tape will be interesting.

23           If we don't demonstrate some progress we might reduce  
24 our support for further funding, so we feel it's essential

1 to get on to solve some technical issues.

2           Hopefully that will build the base so that we can  
3 move forward in the future.

4           [Slide.]

5           MR. GERTZ: As I alluded to, diversion funds to the  
6 ESF could delay acquisition of surface data and without  
7 some visible progress our constituencies may not be very  
8 supportive.

9           [Slide.]

10          MR. GERTZ: Let's talk about future funding, where  
11 we're going.

12          We talked to you about the baseline. It's an approved  
13 cost baseline. It approves the suite of tests that we need  
14 to determine site suitability and prepare a license  
15 application.

16          I told you it was verified with four percent by the  
17 cost estimating team and that was bottoms up on the ESF  
18 sampling on the scientific program and they are going to do  
19 more scientific program, independent cost estimating, for  
20 this budget year.

21          Reductions in fundings will delay scheduled  
22 activities. There's no doubt about that. If you reduce  
23 funding, the scheduled activities will be delayed.

24          Whether it will affect 2001, 2010 is yet to be



1 determined but some activities will be delayed.

2 Early favorable findings could result in reduced work.

3

4 As I pointed to in one area, on erosion, we think  
5 perhaps we don't have to do some of the tests that we  
6 thought based on the analysis we have and we're working on  
7 an issue report on that.

8 So if we have some favorable findings perhaps we can  
9 reduce some of the work and make up some of the time.

10 [Slide.]

11 MR. GERTZ: Let me talk to just general funding  
12 impacts. What if we had 180 or 200 million a year? What  
13 kind of program would you run with that?

14 There's lots of options. Bottom line is, one, you'd  
15 have significant schedule delay. There's no doubt about  
16 that. I'll show you this a little bit later.

17 What if we had increased funding? Well, you have  
18 heard John and I concur, a majority of it would go to ESF,  
19 not all of it but a majority would go to ESP.

20 We would concentrate on waste package development and  
21 repository design activities would be expanded to meet our  
22 regulatory requirements for a geologic repository  
23 operations area and the support activities would have minor  
24 growth.

1           You'd only need to do environmental activities for the  
2 areas you are going to do surface disturbing. You don't  
3 need to develop a desert tortoise programs or new flora and  
4 fauna programs but you have do your pre-activity surveys.

5

6           Decreased funding? We'd probably further defer the  
7 ESF waste package repository activities.

8           We'd reduce surface-based activities significantly and  
9 we might have to begin reduction in support facilities.

10          That is the bracketing, you know, how much is  
11 increased, how much is decreased. Who knows? There's all  
12 kinds of options but let me just talk to you.

13          [Slide.]

14          MR. GERTZ: If funding were diminished, the technical  
15 progress would be delayed. There's just no doubt about it.

16          Site suitability determination, because we're  
17 convinced you have to be underground to do site suitability  
18 determination, would be delayed. Couldn't do both, and  
19 perhaps license application would be delayed -- in fact,  
20 not perhaps, it would be significantly diminished over the  
21 years. That's a certainty.

22          If it was significantly diminished, we think we'd lose  
23 some key scientific personnel. Contributors would go on and  
24 do other things. They would work in other areas.

1           Perhaps they would come back but right now we have a  
2 strong scientific consensus across the program of people  
3 working on the program who understand it, have created a  
4 wealth of knowledge the scientific program. We wouldn't  
5 want to lose that.

6

7           If we are not able to comply with the federal or state  
8 law, we're just not going to do the work. It's just that  
9 simple. There is no -- this department in this day and age  
10 you comply with laws, regulations and orders, or else you  
11 don't do the work and you can look across to the Department  
12 of Energy, be it Rocky Flats, Savannah River or whatever,  
13 there aren't too many facilities operating.

14           I think this program had a sound basis to start with,  
15 that we laid a lot of framework, some of it due to being  
16 regulated by the NRC, some of it due to starting over and  
17 looking at what's needed, so we have a sound program and we  
18 don't want to diminish that at all.

19           If we are not doing work, if we are not out there  
20 doing day to day work, gathering data in accordance with  
21 the QA plans, then perhaps NRC's acceptance would be  
22 withdrawn because there would be a lack of implementation.

23           Their initial letter said your plan's okay but we want  
24 to see implementation before we give you the green light.

1 Well, they did see implementation. They have given us  
2 the green light in many areas, so with reduced funding we  
3 wouldn't want to get a red light or have to go redo that.

4 [Slide.]

5 MR. GERTZ: Let me talk a little bit about this.

6

7

8

9 \$200 to \$300 million a year simply will not support a  
10 license application by the year 2001. There is an approved  
11 baseline. Here's what we'll get in '92. It's less than  
12 our approved baseline, the approved baseline that we just  
13 got taken care of. We're going to have to perform a change  
14 control analysis and see if we can get back on schedule and  
15 get our activities done or defer some dates.

16 If that continues, we just won't have the time. We  
17 just won't have the money to do it. If it continues this  
18 way, you can't go vertical too much and get over there. I  
19 alluded to it. A thousand manhour job sometimes can be  
20 done by one man in a thousand hours, sometimes by a  
21 thousand men in one hour, but not all the time. So we need  
22 to pay attention to what's going on.

23 [Slide.]

24 MR. GERTZ: Let me switch a little bit to ideas being

1 discussed for the Yucca Mountain project. I wouldn't  
2 classify them as contingencies per se. You might want to  
3 describe them as that. But there are certainly ideas that  
4 we are thinking about.

5 What if we don't get the funds we need? What are we  
6 going to do?

7 [Slide.]

8 MR. GERTZ: Here are four concepts I'm going to talk  
9 about. First of all, if we have limited funds, maybe

10

11 we put off the ESF for a while and look at a prototype test  
12 and engineering facility. We can get underground. It'll  
13 be in perhaps Busted Butte area. But maybe we can afford  
14 that, or maybe we can do just a limited underground pilot  
15 program. Would that help? Can we even do it? Or could we  
16 emphasize the full ESF scope but take a little longer, or  
17 could we address the sequenced ESF approach, not unlike  
18 what you all discussed with us in our last meeting in Las  
19 Vegas.

20 [Slide.]

21 MR. GERTZ: But before I go through these concepts,  
22 let me talk about some programmatic concerns. First of  
23 all, we need to be consistent with existing commitments.  
24 We have committed to a certain program with the regulator,

1 with the oversight communities, with the affected parties,  
2 and in effect, that program has been accepted. We have to  
3 make sure we comply with the requirements for evaluation of  
4 impacts. If we do any of these alternatives, we need to do  
5 our impacts analysis.

6 We have to have consistency with existing land access  
7 agreements. We don't want to negate anything we have in  
8 the air quality permit area, or whatever along those lines.

9 Monitoring program -- the same way.

10 All of them probably are increased total costs because  
11 it'll be interfaced with, or parallel to, or a replacement  
12 of the existing test program, but we're still

13

14

15

16 committed to do the existing program at this time, and we  
17 want to make sure we have all our design control in place.

18 We want to make sure what we did in the ESF alternative  
19 study is not negated by doing some alternative that hasn't  
20 been properly analyzed.

21 [Slide.]

22 MR. GERTZ: First of all, though, before I go through  
23 these four, I want to say I think we have a sound program.

24 I think we have a fine ESF design. It needs to be looked

1 at as far as diameters, number of TBMs and things like  
2 that. But I think we're generating support, and I hope the  
3 program we have is the one we'll implement.

4       These are just some ideas that we're thinking about,  
5 just to let you know that we're thinking about ideas, and I  
6 don't want them at all to be accepted or thought of as  
7 we're rushing down this area, or that area, or that. It's  
8 just almost brainstorming is how I talk about them, in case  
9 something happens in the future that we're not happy with.

10       First of all, we could do a test and engineering  
11 facility. It would be multipurpose underground. It would  
12 also be a visitor orientation facility. One area would be  
13 at Busted Butte. It would be outside the potential  
14 repository block, so we wouldn't have so many regulatory  
15 concerns. The geologic conditions would be similar to the  
16 repository horizon -- densely welded, devitrified tuff. It  
17 would be a nice area to do some prototype testing. I'd  
18 like to make this part of the program no matter what we do,  
19 even if we continue with our program.

20       The data obtained would complement data later obtained  
21 in the ESF, but it wouldn't replace doing an ESF. This  
22 concept involves -- there is the repository block, and  
23 Busted Butte is down here. Here is the access road to the  
24 mountain, and it would be right in this area. There is

1 some interesting geologic interface, and perhaps we'll do  
2 it as part of the program, not as an alternative.

3 [Slide.]

4 MR. GERTZ: Another idea is early access via small  
5 diameter tunnels, very small diameter tunnels below the  
6 contact of the bedded tuff and upper Topopah Spring, above  
7 the lower Topopah Spring, Calico Hills, take a look at the  
8 Ghost Dance fault, take a look at some other north/south  
9 structures. It's another way of doing business.

10 [Slide.]

11 MR. GERTZ: We haven't done a lot of engineering on  
12 it, but in section, it would come in from Solitario Canyon  
13 site and it would go right under the bedded tuff, and it  
14 also looked at the interface just above the Calico Hills,  
15 and it'd go over the Ghost Dance fault. Certainly, you'd  
16 have to have some ramps for safety concerns for two  
17 accesses, and you probably still, under our current plan,  
18 would have to do an ESF too because -- this is not meant to  
19 be a replacement of ESF, but it might be an easy, early way  
20 to get underground. It might not be, too, but it's  
21 something that we're looking at.

22 [Slide.]

23 MR. GERTZ: Another way would be what if we have some  
24 assumptions. We're never going to get more than \$200



1 million a year. That's all the country can afford for this  
2 program. What if that's an assumption? Well, we would  
3 fund ESF at about \$70 million a year. Surface-base testing  
4 would be funded about \$7 million a year after ESF. Where  
5 is the rest of the money going? It's to maintain the fixed  
6 cost or the foundation. Potential consequences. Fourteen  
7 years to complete the ESF, ten years to complete the  
8 surface-based testing, and, as I said, it would be a serial  
9 approach.

10 It would be this kind of simple diagram: Do all your  
11 ESF work, finish in 2007, and then get back on the surface-  
12 based testing program. If you only had \$200 million a year  
13 and you knew that's all you were going to get forever and  
14 ever, that's one approach.

15 [Slide.]

16 MR. GERTZ: Another approach is what we call the  
17 sequenced ESF approach that our staff is looking at right  
18 now. First of all, sequenced construction has always been  
19 a part of our ESF program. Even though it had four TBMs,  
20 we were going to sequence the different construction  
21 packages. But we're also examining the sequence that you  
22 all talked about in some detail in Las Vegas. The Ghost  
23 Dance fault would be an early target of exploration. It  
24 would be above the repository horizon.

1           We'd also then get to the Topopah Springs in Calico  
2 Hills. The North Ramp would be a form of a "J" tunnel to  
3 the Topopah Springs, south "J" to the Calico Hills, and the  
4 upper drift would have a potential -- we would drift from  
5 the North Ramp to the Ghost Dance.

6           [Slide.]

7           MR. GERTZ: Schematically, it would be something like  
8 this with a modified "J" ramp to the Calico Hills, "J" ramp  
9 to the repository level, and a drift off this access into  
10 the Ghost Dance fault area and into the interface of the  
11 upper Topopah Spring. That's certainly one ESF  
12 configuration that if we had limited funds and only had one  
13 or two TBMs, we could start out on this way.

14           It would then still take longer to get the job done  
15 because you would have to finish the work. But as I said,  
16 some of the studies say maybe, you know, two TBMs might get  
17 it done almost as quick as four TBMs. If that's the case,  
18 we'll implement something like that.

19           [Slide.]

20           MR. GERTZ: I have a couple of conclusions. I've  
21 spent a lot of time going over the program. It's a  
22 complicated program. There's lots going on every day, so I  
23 want to once again invite you out to see what's going on.

24           [Slide.]

1           MR. GERTZ: Present funding level, what we have today,  
2 is just not sufficient to implement a comprehensive site  
3 characterization program, one that works on surface-based  
4 testing aggressively and ESF aggressively. We just don't  
5 have that funding today, so we had to make some calls in  
6 1992.

7           That's what we've tried to explain to you, the calls  
8 we've made in '92, not only for John's program over-all but  
9 for the calls we've made within the Yucca Mountain project.

10          [Slide.]

11          MR. GERTZ: If the present funding trends continues  
12 there is no doubt, and that's just repeating what you have  
13 said in your report, the date for a license application  
14 could be delayed. It depends how long this trend continues.  
15 If it starts turning around, perhaps we wouldn't have a  
16 delay.

17          We are going to continue to evaluate options. We'll  
18 actively look at sequenced ESF approach. We're going to  
19 look at many other things. We want to keep working on our  
20 options. We don't want to close out any options but we  
21 have a baseline program that we are trying to get done and  
22 we want to make sure it meets all the regulatory  
23 requirements and it accomplishes the need of the program  
24 but requires a strong foundation, lots of railroad track

1 bed, lots of railroad infrastructure.

2 With that, I'll sure take some questions but before I  
3 take some questions, I need to show you one thing.

4 John Bartlett talked about the train and  
5 infrastructure and I have here a little train and I want to  
6 emphasize in your mind that even though I am going to move  
7 the train back to here and it just costs a little bit for  
8 this part of the engine, there's a lot of costs in the  
9 infrastructure or in the foundation.

10 [Sounds of train whistles and chugging.]

11 MR. GERTZ: So I'll move it back and as the train goes  
12 along the track we need to keep a sound foundation for it.

13 [Laughter.]

14 MR. GERTZ: With that, I'll take any questions that  
15 you might have.

16 DR. BARNARD: How much did that cost?

17 [Laughter.]

18 MR. GERTZ: That's in the fixed costs.

19 [Laughter.]

20 DR. DEERE: Thank you, Carl. Don Deere here.

21 I think one of the reasons that we wanted this  
22 discussion on the presentations that you made today was  
23 that we had this cut in \$30 million and it seemed to us  
24 like a major part of the program suddenly stopped and yet

1 there was \$175 million spent and yet what we really wanted  
2 done wasn't being done, and you sort of wonder how long can  
3 this go on?

4 There has to be progress moving forward and the  
5 difference between the situation we're in and your train  
6 track, you make the capital investment and it's high but  
7 from then on all you have is a little maintenance work.  
8 You don't keep that and fund it every year.

9 Well, this is being funded every year. Unless  
10 progress is being made, I think in one of your last  
11 viewgraphs you did show where if the funding is not coming  
12 forward you are going to have to cut.

13 MR. GERTZ: We'll have to do something if it's not  
14 going to come.

15 DR. DEERE: There is no use maintaining a big  
16 capability for all of the things that have to be done --

17 MR. GERTZ: If the nation is going to make a decision  
18 that they don't want to fund this program sufficient to  
19 carry it out, we're going to have to do something different  
20 to carry it out the way it was set. You're right.

21 But if the program is still viable in its present  
22 form, you're right, there's yearly QA costs, yearly project  
23 control costs, yearly sample management facility costs and  
24 they do all mount up. In some ways it's still similar to a

1 railroad. You've still got to keep up your signals and  
2 you've got to keep up all those things yearly even if you  
3 are not running the train.

4 It costs money to put them in in the first place but  
5 it still costs money to keep them up -- not as much though,  
6 once you get them there. This is pretty costly to keep up,  
7 this kind of program.

8 MR. ROBERTS: There are some other implications I just  
9 might add. This has bounced back and forth here and you  
10 have raised it yourself -- John Roberts.

11 In the Nuclear Regulatory Commission -- there are a  
12 couple of people in the audience from the Commission here  
13 today -- but I've worked on waste confidence, both issues,  
14 when I was there and it is the Nuclear Regulatory  
15 Commission that expanded the original condition and  
16 subsequent Court of Appeals ruling that said that the real  
17 issue was not storage but was disposal and the failure to  
18 dispose, the change in national policy, is one of those  
19 implications that would raise questions obviously in the  
20 NRC's mind as to its waste confidence conclusions and that  
21 would directly impact the licensing and operation of all  
22 civilian nuclear power reactors.

23

24 The Commission I think would be forced if there were a

1 national policy change or some implication that funding was  
2 not going to be supplied in some timely fashion that, for  
3 example, as Carl noted, if you draw this out, the license  
4 application could potentially not go in until 2017 and that  
5 automatically kicks out the last confidence conclusions of  
6 the Commission that a repository would be available within  
7 the first quarter of the 21st century and that was a  
8 assumption that Yucca Mountain might not be a suitable  
9 site.

10 So there are some severe implications to a change in  
11 national policy that would really have to be addressed by  
12 both Congress and the Nuclear Regulatory Commission, I  
13 think. This is where we are.

14 MR. GERTZ: Don, I want to emphasize, you know, that  
15 as we do the day-to-day management of the project with my  
16 staff we look at these things very closely.

17 We have worked hard to get money into Russ's program  
18 to do the drilling that we are doing out there because we  
19 think that is just essential is make some progress towards  
20 these technical issues in the field.

21 In fact, not all the time do we work night and day,  
22 but at JF-3 we even started working in the evening, trying  
23 to finish that hole -- get it back on schedule, so  
24 literally and figurative we're working night and day to try

1

2

3 to solve some technical issues.

4 DR. DEERE: That wasn't the date of the eclipse?

5 [Laughter.]

6 MR. GERTZ: Pretty good! Thank you. No, it wasn't.

7 DR. LANGMUIR: Carl, on one of your overheads you  
8 showed that, suggested that with further funding cuts you  
9 might be forced to lose some key scientific contributors,  
10 in your words, and discontinue some work, some key work.

11 From what I understand about what is going on now,  
12 that's already happened. This year you've made some cuts  
13 which did just exactly that, so that in areas which include  
14 geochemistry of the engineered barrier system and  
15 modelling, thermodynamics of radionuclides and near field  
16 geochemistry, you aren't doing much of anything this year.

17 That's already happened. I just wonder how you  
18 decided those priorities relative to other work that you  
19 have chosen to fund.

20 MR. GERTZ: In a word it is very difficult to decide  
21 those priorities because there's a lot of good work going  
22 on out there by a lot of people and we in effect sat down  
23 with my technical staff and went over some pro's and con's  
24 and what would ensure progress in the future and what areas



1 could we try and maybe catch up on a little later.

2 DR. LANGMUIR: Can you catch up if the staff, if

3

4

5 the persons involved are no longer involved in the program?

6 Can they go elsewhere and get other kinds of funding?

7 MR. GERTZ: Not as efficiently as you could if you had  
8 them on the program and I guess it comes down -- and you  
9 hit the heart of some of the discussions we had because  
10 that's just the discussions we had.

11 You know at Livermore what we have done to that staff  
12 with the engineered barriers. Los Alamos, we've reduced  
13 that staff.

14 I mean the fact of the matter is this year -- I am  
15 trying to paint an optimistic picture that we're doing  
16 things, but we also laid off between 100 and 200 scientific  
17 and support personnel across the project, even in the light  
18 that we are doing some things.

19 The reasons we did that I guess is it became a  
20 discussion as what's best to ensure we can get the program  
21 moving in the future?

22 DR. LANGMUIR: But if these folks were needed to get  
23 you a license ultimately because of their activities,  
24 doesn't that extend the time required for licensing?

1 MR. GERTZ: Yes, it may and our judgment there was we  
2 hope we could re-acquire some of them. If not, we're going  
3 to have to train some others. We hope that we can attract  
4 in the future some world class scientists into those areas  
5 and if we don't we will suffer some delays.

6

7 You do appropriately point out that what I said  
8 actually has occurred in some areas. My implication there,  
9 it occurred in -- more widespread across the project but I  
10 don't dispute at all what you said.

11 That has occurred. We hope that we'll be able to  
12 recover those people.

13 Our waste package program, for those of you who know  
14 the history, went from \$20 million to \$16 million, and now  
15 it is down to \$5 million right now.

16 DR. DEERE: We have noted that.

17 DR. PRICE: Carl, Dennis Price.

18 MR. GERTZ: Yes, Dennis.

19 DR. PRICE: Maybe you can straighten me out a little  
20 bit. When you showed me \$182 million and I asked you the  
21 question about fixed versus discretionary costs, it was  
22 about two-thirds fixed or required and one-third  
23 discretionary, and then when you had the slide where you  
24 had \$200 million a year, then you had \$70 million ESF, SBT

1 \$70 million, and then you said the rest went to fixed, that  
2 sounds like you've completed reversed. Now you have a  
3 little less than one-third fixed and about two-thirds or a  
4 little less than two-thirds any other way. Do you  
5 understand what I'm saying?

6 MR. GERTZ: No, I don't.

7 MR. DYER: Carl, this is Russ Dyer. Carl, what  
8 he's talking about is there was a period of time where we  
9 put all of the discretionary funds into ESF, put all of the  
10 surface-based testing on hold until we finished ESF. So it  
11 would be \$70 million to ESF, zero to surface-based testing  
12 until ESF was finished, and then you would fund surface-  
13 based testing.

14 DR. PRICE: But having put them all on hold, your  
15 fixed costs still are two-thirds then as compared to the  
16 total amount of funding.

17 MR. GERTZ: Yes.

18 DR. PRICE: And then on this, your fixed costs are  
19 about one-third with respect to the total amount of  
20 funding. MR. GERTZ: I think they are still two-third. On  
21 the \$200 million a year program, we take \$70 million and  
22 put it on something, either surface-based or ESF. The  
23 other \$130 million support that \$70 million.

24 Maybe I didn't articulate that very well. It's not

1 doing \$70 million of ESF and \$70 million of surface-based  
2 testing at the same time; it's doing one focus and doing  
3 all that for 14 years and then doing the other one. So I  
4 think that's relatively consistent, then. \$70 million out  
5 of \$200 million is about one-third. Did that --

6 DR. PRICE: That clarifies.

7 MR. GERTZ: Okay. Great. Yes. I wish I could spend  
8 \$140 million and do \$70 on ESF and \$70 on surface-  
9 based testing, but we couldn't find a way to do that.

10 DR. DEERE: Bill Barnard.

11 DR. BARNARD: Carl, getting the program to the point  
12 where it is today, you have made certain assumptions about  
13 future funding requirements, and it's now clear that  
14 perhaps some of those assumptions might not prove to be  
15 true. How are you going to gauge the intent of Congress  
16 over the next ten years in determining what you're going to  
17 do with the program over the short term?

18 MR. GERTZ: I can only hope that -- you know, I only  
19 assume that Congress passed a law and amendments act that  
20 said study Yucca Mountain and they meant for us to do that,  
21 and they meant for us to do it in the regulatory regime  
22 that they also set up by passing other laws.

23 Now that some of the hurdles or obstacles to our  
24 progress have been removed, be it permits through

1 litigation or perhaps legislation, be it assuring our QA  
2 plan is in place, land access, endangered species, now that  
3 those obstacles have been removed, and this is the first  
4 year that they're going to see something with most of the  
5 obstacles removed, perhaps they will then make the third  
6 checkmark and support the funding.

7 If they don't, we'll have to look at some alternative  
8 programs in the future. As John said, it's just about that  
9 simple. This program costs what that profile

10

11 shows for the work that we have estimated doing. If we  
12 don't get that kind of funding, we have to look at some  
13 other way to get the work done, which will affect the end  
14 dates. If you can predict Congress more than a month, that  
15 would help us.

16 DR. BARNARD: No, I can't.

17 MR. GERTZ: In fact, we would maybe solicit your  
18 support. I thought your fourth report was excellent in  
19 pinpointing some of our problems, and we have not been  
20 maybe very successful in getting funds from Congress, and  
21 perhaps with your support, we can be a little more  
22 successful. Hopefully, some of our demonstrated progress  
23 will lead us to success, too. We're looking for all the  
24 help we can get, and that's why I have that checkmark that

1 says, "DOE needs help," and we need it in three areas.

2 DR. BARTLETT: John Bartlett. I might comment on the  
3 means. We now have, I think, I hope, a means and a content  
4 for communicating the status and the issues of the program,  
5 and they are very significantly different than they were  
6 even just a year ago, because we do have the permits that  
7 have allowed us to restart the surface-based activities; we  
8 have progress through the Office of the Nuclear Waste  
9 Negotiator with respect to the MRS. So we go to the  
10 appropriation hearings before the Congressional  
11 subcommittees this year in a very different posture than we  
12  
13 have before. So our opportunity to present that as a basis  
14 now for getting the sustained support from the Congress,  
15 at least making the case for it, is substantially more solid  
16 than it has been in the past, and we will be, of course,  
17 taking that opportunity, as we go into the hearings season  
18 coming up in March, and providing, I hope, then the  
19 foundation.

20 Now, whether that can or will be sustained as the  
21 Congress goes through its annual machinations under this  
22 system, of course, remains to be seen, but at least we have  
23 a more solid foundation for the future that we will be  
24 presenting to them this year.

1 DR. CANTLON: John Cantlon. In looking at the funding  
2 system, you have a dedicated source of funds here which  
3 comes off of the ratepayer. Those funds actually are  
4 accumulated larger than your annual expenditure, so that  
5 there is an actual existing pool of unexpended funds.

6 To what extent do you get full support from the  
7 utility industries behind your program of looking ahead  
8 with a little more alacrity?

9 DR. BARTLETT: The utilities are very cognizant of the  
10 issues. Currently, the fund has accumulated over \$3.7  
11 billion. The revenues to the fund annually are on the  
12 order of \$600 million. So under immediate past practice,  
13 the Congress essentially has allowed us to spend only about  
14 half of what the revenues are, and, of course, there is a  
15 great deal of criticism that the program isn't making  
16 progress. Utilities are very cognizant of this issue, as  
17 you might imagine.

18 They are also cognizant of the fact that, as a matter  
19 of fact, as Steve Frishman said, this is one of the issues  
20 that is beyond our control, and it's controlled by external  
21 parties in this case.

22 What it will take to sustain the progress of the  
23 program now that we have a solid foundation is the  
24 sustained support of all the parties who are in fact

1 interested in assuring that the program proceeds to fulfill  
2 the mission that Congress has set for it.

3 MR. GERTZ: Yes. I would just add one other note to  
4 what John says along those lines. We are almost to the  
5 point where the fund is earning more money in interest per  
6 year than we're spending on teh studies. Sam, is that  
7 about --

8 MR. ROUSSO: Not quite.

9 MR. GERTZ: Not quite. Okay.

10 DR. BARTLETT: Well, if I might add an addendum --  
11 still John Bartlett -- the Act, the Nuclear Waste Policy  
12 Act as amended has set up through the contracts as the  
13 mechanism a classic fee for services rendered situation.  
14 What fundamentally happens is the Federal budgeting process  
15  
16 intercepts that, and so the implementation of the agreement  
17 is subject to the vagaries of that process and everything  
18 else that affects it as it stands right now.

19 MR. GERTZ: I was going to answer your question.

20 DR. CANTLON: I would appreciate that. I thought it  
21 went into the general fund.

22 MR. GERTZ: No. It goes into the nuclear waste fund,  
23 and it's audited and we have to invest it, and Congress  
24 can't use it for anything else except to offset the



1 deficit, and that's an important use in this day and age.

2 DR. DEERE: Warner, you had a question.

3 DR. NORTH: Carl, you've given us a lot of detail  
4 about the Fiscal Year '92 numbers. I wonder if you have  
5 some material you could share with us that would show us  
6 the next level of breakdown of what I'll call the \$5  
7 billion here to the end cost for the total project. You've  
8 given us the ramp over time, and I am inferring that the  
9 order of \$120-plus million a year go for the equivalent of  
10 maintaining the railroad tracks. I'm wondering if you have  
11 a breakdown, though, that would allow us to see in general  
12 where the rest of the \$5 billion goes in broad categories.

13 MR. GERTZ: Yes. In fact, part of the independent  
14 cost estimate included much more detailed estimates of  
15 that. But we can provide to you our third-level breakdown  
16 through the year 2001, and you can see how much we're  
17 spending like

18

19 in site. We may even -- Vince, do we have it at the fourth  
20 level, too, through 2001? The third level is all we have  
21 right now. But that is broad categories, and --

22 DR. NORTH: And if you have along with that some  
23 indication about how those costs might change, I presume,  
24 in the upward direction if one were to look at some of the

1 exercises you've been through, that you stop short of  
2 labelling contingency plans.

3 MR. GERTZ: Yes. We haven't addressed that other than  
4 the fact that ideas or contingency plans appear all -- as  
5 long as you have the baseline program, whatever you do in  
6 that contingency plan is added to the base program, and  
7 other than the one that says \$200 million a year for 30  
8 years, or whatever it is, we do have some rough order of  
9 estimates of what the added cost would be.

10 DR. NORTH: Would it be fair to say that an awful lot  
11 of these costs are dictated by the need to get to certain  
12 locations? In other words, not so much the cost of running  
13 the test to the margin; but rather, you've got to get so  
14 many miles of drift excavated and so forth.

15 MR. GERTZ: Maybe not as emphatic as you say because  
16 the cost of testing is not inexpensive either. The testing  
17 cost are expensive. But, you're right, 14 miles of tunnels  
18 -- the only reason we're doing 14 miles of tunnels is to  
19 get some tests done in that area. And that's a

20

21 smaller proportion -- the 14 miles of tunnels.

22 On the other hand, more than half the program is based  
23 on surface-based testing. And that, essentially, is just  
24 getting a rig to a site and drilling a hole and then

1 analyzing the core and whatever geophysical logging you're  
2 going to do after that. And the holes are all laid out and  
3 they've all been agreed to.

4 DR. NORTH: So, if you could determine that certain  
5 tests are not necessary, translating that into implication  
6 for cost is not all that difficult?

7 MR. GERTZ: It's very easy. That's because our cost  
8 basis is based on 243 drill holes and what's the cost to  
9 each one of those holes, and 14 miles of tunnels, and  
10 what's the cost of that entire construction process. So,  
11 that's right. That's one of our goals. As I said, the one  
12 area that's coming to light right now is erosion, where  
13 there's a couple of tests we won't have to do.

14 We have, in our cost baseline, the price for those  
15 tests.

16 DR. NORTH: So, if you could look at performance  
17 assessment that might be in place hopefully in the next  
18 couple of years, perhaps you might conclude that some other  
19 areas of testing -- you were being overly conservative and  
20 you might be able to scale back and save money?

21 MR. GERTZ: Certainly, that's one of the goals of  
22  
23 early site suitability evaluation and our prioritization,  
24 and eventually of tying that in with the Performance

1 Assessment Program.

2 John, you're very close to that subject.

3 DR. BARTLETT: That's absolutely right. What we're  
4 hoping for, as part of this flex I was talking about, is  
5 that, in fact, the interaction between performance  
6 assessment and iterative progress will make the process  
7 somewhat more efficient as we go along, as we learn, and  
8 apply our learning to the definition of what work we think  
9 we need to do to get to resolution of some of the  
10 information needs of the programs. So, we're anticipating  
11 that. And you'll see some of that now when Robby Robertson  
12 talks to you about how the M&O is going to exercise their  
13 responsibilities.

14 DR. CANTLON: Let me raise a question. As an old  
15 budget manipulator myself, I am sort of struck with this  
16 kind of thought, that as you look at the "competition"  
17 between surface-base testing and getting underground, you,  
18 as managers, are caught with the dilemma that your current  
19 staff and so on is really much more supportive of a  
20 surface-based approach. If you go underground, you've got  
21 big equipment acquisition costs, you've got a largely non-  
22 staff group of people that will be the big money consumers,  
23 and you've got an internal tough management problem that

24

1 actually influences that choice. It isn't just a cold look  
2 at underground -- how much information can you get per unit  
3 of invested dollar? But, you also have the tough personnel  
4 management problem. Is there any truth to that?

5 MR. GERTZ: As the Project Manager, I guess, John,  
6 I'll have to disagree with you. Because I'm probably more  
7 interested in getting underground than most anybody on my  
8 staff. Because I think that's absolutely essential. But,  
9 I'm also interested in providing and keeping up with John's  
10 guidance and making sure we have continuity of the program.  
11 I don't want to focus everything underground -- and if the  
12 program dies because we didn't get there. And I'm not  
13 saying that would happen.

14 But, I think what we're looking after is a  
15 comprehensive program, as laid out in our baseline. It  
16 includes a sound scientific program surface base that we  
17 have going and, in parallel, a sound underground program  
18 that includes the resources necessary to procure those  
19 things. It only becomes a trade-off because there's  
20 limited budget. There's not a trade-off when we get up  
21 there.

22 DR. CANTLON: But limited budgets are real, and  
23 they're the real world.

24 MR. GERTZ: Yes.

1 DR. CANTLON: The ideal -- obviously, you'd protect  
2 parallel thrust. And all I'm asking is, as you look  
3 at those parallel thrusts, and you now have to make a tough  
4 choice, budget-constrained choice, as to what extent are  
5 you truly free? To what extent do you have the typical  
6 management problem of sustaining people?

7 MR. ROBERTS: John Roberts. I think Carl and John can  
8 probably answer this better, but I'd just like to switch  
9 the emphasis again, that was pointed out I think by Carl.  
10 If you start cutting back and you start limiting  
11 implementation, and you start dissolving teams, you  
12 jeopardize QA programs, you jeopardize regulatory  
13 compliance, you lose your corporate memory, if you will, of  
14 activities, because you introduced at this juncture.  
15 You're now betting that, at some point along the line, you  
16 will start over. Well, the costs of starting over are, as  
17 we all know from practical experience, likely to be as high  
18 or higher than what you thought you saved.

19 DR. CANTLON: But the real question is is Yucca  
20 Mountain suitable or not? Can you get there quicker by  
21 getting underground, as opposed to staying on the surface?

22 MR. ROBERTS: I think Russ is going to make some  
23 points here that would tend to negate that hypothesis.

24 MR. GERTZ: I think you need to get both places, above

1 ground and underground. You can't make that conclusion  
2 without having both of them.

3 DR. LANGMUIR: Back in March of '91, you  
4  
5 transmitted a memo, transmittal of Phase I report of Test  
6 Prioritization Task Force. And all of us got a copy of the  
7 Task Force report in which it was shown -- they suggested  
8 that three items, in particular, were very high on the list  
9 of items that would show if the site was going to be  
10 licensable or not, where they investigated. Now, these  
11 included gas transport and aqueous transport of  
12 radionuclides.

13 I appreciate that at least some of this is embedded in  
14 your hydrology set for this year activities. Would your  
15 answer be where these are -- be that many of them are going  
16 to have to wait till you get underground? Is that the way  
17 you're going to have to deal with these? Have you got them  
18 in your program currently going in some fashion?

19 MR. GERTZ: They're all going in our program. The  
20 question is, what do you do first? I mean, even if they're  
21 in the underground test, they're in our program, they're  
22 just deferred a little bit. Now, Russ was one of the chief  
23 reviewers and responsible for that document. Now, Russ,  
24 why don't you answer that?

1           MR. DYER: This is Russ Dyer. As I hope to show you  
2 in my talk, those are the things that are driving the test  
3 that we're fielding this year; at least, some of the tests  
4 we're fielding.

5           MR. GERTZ: John, you're right. As the Project  
6  
7 Manager, I have to make lots of tough decisions, much like  
8 John does, as the Program Manager. And both Russ and Ted  
9 Petrie and Wendy and Winn Wilson, who runs the site office,  
10 come to me with all kinds of stories and concerns as to why  
11 they need money for this or that or this. And we have to  
12 try those balances. What you pointed out is very real in  
13 the area of waste package and geochemistry. We've lost  
14 some people there. But we had to make a call just right  
15 there, whether we'd do some drilling or do some more paper  
16 studies. And, in our view, some field work toward solving  
17 technical issues was in the best interest of the project.

18          DR. DEERE: Don Deere, again. Obviously, we've been  
19 emphasizing the need for underground exploration and  
20 underground testing. And our board's position has been  
21 that we think it should remain a high priority. We have  
22 never stated that it should be done to the exclusion of  
23 surface testing. And we prefer that you would have a few  
24 months or a year of surface testing, followed by the



1 beginning of your -- of your construction planning and go  
2 on in; more or less as it was perhaps three years ago in  
3 the plan.

4 But when it comes to the point where we're now into  
5 the surface based testing, and if there's another cut, will  
6 it mean another year's delay, and another year's delay in  
7 starting the underground work? And this is the concern we  
8 have. Because we really felt that early site suitability  
9 was important to the country. And yet we also felt you  
10 were not going to be able to determine whether you had a  
11 suitable site until you got underground. Therefore, this  
12 is the reason that we really want to get underground fast.

13 We don't think some of the questions are going to be  
14 answered. But there are other areas that relate to  
15 site suitability and site unsuitability. And these are not  
16 going to be answered by going underground, as you know:  
17 The volcanic and part of the groundwater, the high  
18 gradients and things such as this. So, you obviously have  
19 to carry on both of the programs simultaneously.

20 Our point is we hope that there's not another year of  
21 delay in getting underground. Because we really feel that  
22 some of the questions on geohydrology, perhaps on  
23 geochemistry, on the combination, on purged water, and  
24 these flows will be better answered after we have an

1 examination of the -- of the subsurface; particularly, the  
2 characteristics of the faults and how they change and what  
3 their true characteristics are throughout the site.

4 But in addition to this, from the scientist, you are  
5 doing studies, maybe in geochemistry, in a laboratory,  
6 where we really don't have the site data that we need.  
7 Therefore, we're doing this, but when we get something  
8 else, we'll do that. You have the feeling that some of the  
9 work that's going on, is not as well directed as it would  
10 be if

11

12 you had the subsurface information from direct testing and  
13 sampling.

14 So, there are a couple of good reasons, we think, to  
15 get underground. Some of the modeling tests that have been  
16 going on in geohydrology have been making assumptions. We  
17 just feel some of these assumptions would be considerably  
18 different, had they had the opportunity to visualize the  
19 ground and do some underground tests. So, I would hope  
20 that if the budget is cut, that you're able to start one J-  
21 tunnel.

22 MR. GERTZ: We hope the budget isn't cut, I guess,  
23 Don, is what we're saying, but I want to start one J-  
24 tunnel; I'd like to start one J-tunnel.

1 DR. DEERE: I guess our last terminology is not a J-  
2 tunnel, but we feel once you're down there, you just as  
3 well continue through and bring it back up.

4 MR. GERTZ: A U-tunnel.

5 DR. DEERE: I think we ought to take a 10-minute break  
6 now before we start the next one.

7 [Brief recess.]

8 DR. DEERE: Good afternoon. I will ask out last  
9 speaker, Carl Gertz, to please introduce the next speaker  
10 of the afternoon.

11 [Slide.]

12 MR. GERTZ: Before I introduce Russ, I just wanted  
13 to go over one thing that Don brought up and Warner also.  
14 I just wanted to go over one thing that was brought up from  
15 the previous discussion. I probably didn't emphasize it  
16 strong enough, but I know Warner seemed to be on the right  
17 track.

18 Should we get additional funding in this area, it's  
19 not proportional as to fixed costs versus discretionary  
20 cost. The majority of additional funding would go on top  
21 of this. We have a firm foundation and we've done lots of  
22 studies, so I'm not talking off the top of my head.

23 As long as you have this foundation, you can gets lots  
24 of things done above the line, so to speak, on that firm

1 foundation. You can put a lot of weight on that  
2 foundation. Certainly, they increase a little. I don't  
3 want to tell you that they don't increase at all. They'll  
4 increase a little, but not at all proportionally. It's not  
5 one third all the time. Pretty soon it gets down to what I  
6 would call a more reasonable balance between real work and  
7 required work. I wanted to make sure that you got that  
8 point.

9 Now, as I say, I want to introduce Dr. Russ Dyer.  
10 He's on my staff. We certain debate what we're going to  
11 do, surface based testing prerequisites, environmental  
12 things, and my staff comes to me with stories. I'll just  
13 tell you one more football story. I've got to tell you  
14 this before I  
15 leave:

16 The same football championship game, middle of the  
17 third quarter, the team is behind by a touchdown or so and  
18 they're starting to drive down the field, and they're  
19 pushing the ball down about five or six first downs right  
20 away. And this is the big time state football  
21 championship. All of a sudden, the coach calls time out on  
22 the sideline and I see him yelling at his defensive  
23 coordinator and here comes the defensive coordinator out on  
24 the field. But he doesn't head for the defensive huddle,

1 he heads for the referee, and he says, Gertz, he says, I'm  
2 going to get fired.

3 I looked at him. He says, they're moving that ball  
4 against my defense and it's your fault I'm going to get  
5 fired because you're letting them hold and you're letting  
6 them clip. I said, no, coach, no, get back to your huddle,  
7 and he turned around and went back to his huddle. Well,  
8 Russ hasn't said he's going to get fired if he doesn't do  
9 surface based testing, but he certainly has a lot of  
10 interest in it.

11 With that, Russ, I'll let you go.

12 DR. CANTLON: Who won the game?

13 MR. GERTZ: Actually, Las Vegas team won the state  
14 championship, beating South Tahoe 27:6, something like  
15 that. It was pretty close to the fourth quarter. It was  
16 the first time for a Las Vegas team to win, or second time  
17 in ten years, so it was quite an upset.

18 [Slide.]

19 MR. DYER: Good afternoon.

20 Continuing the precedent that was set a little  
21 earlier, we have a multimedia presentation for you this  
22 afternoon, with graphics, videos, stills, and if we get to  
23 the laser light show, I'll pass out sunglasses to those in  
24 the front row.

1 I would like to run you through an update of the  
2 surface-based testing program from the Yucca Mountain site  
3 characterization program today.

4 [Slide.]

5 MR. DYER: As we have discussed earlier, site  
6 characterization consists of surface, underground, and  
7 laboratory testing.

8 Because of some constraints that are a little beyond  
9 our control right now, it's not possible for us to pursue  
10 an aggressive ESF program in fiscal year '92, but we feel  
11 we can achieve demonstrable progress through selective  
12 surface-based testing.

13 Now, to go to the heart of this is Dr. Langmuir's  
14 question: What drives the selection of surface-based  
15 testing?

16 [Slide.]

17

18 MR. DYER: Well, we'll come back and visit this later  
19 on, but I wanted to make the point fairly early on what our  
20 fiscal year '92 program is focusing on. You'll see, at the  
21 top of the list, suitability issues, liquid and gaseous  
22 flow model testing.

23 This falls out of the test prioritization study, which  
24 identified three categories of studies as being those

1 things that we needed to put the most emphasis on, and that  
2 was to reduce the uncertainty associated with Carbon 14  
3 issues, with gaseous flow and transport, and with aqueous  
4 flow and transport.

5 I'll show you the testing that we have in mind that  
6 will allow us to address those issues.

7 Environmental prerequisites is another thing that  
8 we're having to focus on this year, because it is a  
9 prerequisite to follow-on testing.

10 Issue resolution: There is a suite of activities that  
11 we will be pursuing to try to achieve progress on  
12 understanding what the technical basis for some of the  
13 various issues are.

14 ESF prerequisites: Before we do -- before we really  
15 make major progress on the ESF, there is a limited suite of  
16 surface-based testing that's required to support the ESF  
17 facility, and I'll show you some of that that we have on  
18 our plate for this year, and things that I will call  
19 logical precursor activities, things that we need to do  
20 because they need to get done before something else gets  
21 done, and I'll show you some examples of some of those.

22 [Slide.]

23 MR. DYER: This is an outline of my presentation.

24 First off, we'll run through the entire surface-based

1 testing program through fiscal year 2001. This is the  
2 program that's outlined in considerable detail in the SCP  
3 and in the accompanying 106 study plans. This is the  
4 program that was baselined through the ESAAB process.

5 Then we'll talk about, specifically, the fiscal year  
6 '92 testing activities, a little bit about the test  
7 planning process in general, and finally, conclusion.

8 [Slide.]

9 MR. DYER: I'll start off with -- let's look at the  
10 total surface-based program. This is the same slide Carl  
11 used, but I have highlighted things a little differently  
12 here.

13 [Slide.]

14 MR. DYER: This the surface-based part of the program,  
15 surface-based drilling and testing highlighted in the blue  
16 bar up here. You will note that the green denotes critical  
17 path for our project. Most of the critical path falls down  
18 in the ESF category.

19 Some of the in situ testing in the ESF is also

20

21 critical path, but surface-based activity, per se, is not a  
22 critical path activity. We recognize that.

23 The two major milestones associated with surface-based  
24 drilling and testing: One was initiation of new activity,



1 of new surface-based drilling, which we started October of  
2 '91 with N-55, UZ-55, the first neutron bore holes.

3 According to this schedule, completion of the  
4 hydrologicals, the H-hole drilling, is currently scheduled  
5 for August of '95.

6 [Slide.]

7 MR. DYER: The program has some interesting challenges  
8 to it. We have gone through some interesting development  
9 procurement exercises associated with acquiring testing  
10 equipment, drilling equipment for this project. The LM-300  
11 is now on-site, as Carl showed you.

12 We are developing the equipment for monitoring  
13 conditions within the unsaturated zone, and of course,  
14 we're working under a regulatory QA environment.

15 [Slide.]

16 MR. DYER: The LM-300, of course, now on-site. We  
17 affectionately call this Big Uel. Uel is very proud of  
18 that.

19 [Slide.]

20 MR. DYER: This is the drilling program associated  
21  
22 with the neutron bore holes. This was Alan Flint's first  
23 rig, N-55 rig.

24 [Slide.]

1           MR. DYER: This just gives you a short summary of the  
2 total scope of the program.

3           As I mentioned earlier, this is the total program  
4 called for in the SCP; 280 shallow drill holes, 150 deep  
5 drill holes, 95 trenches, associated test pits, 44  
6 different geophysical surveys, seismic lines, et cetera,  
7 and accompanying geologic mapping and laboratory studies.

8           Some of these activities are underway now, I'm very  
9 pleased to report.

10          [Slide.]

11          MR. DYER: Now let me talk about the fiscal year '92  
12 testing activities, what's going on right now.

13          [Slide.]

14          MR. DYER: I'm going to leave this one up on the right  
15 side for a while and walk you through what we're doing in  
16 each of these categories in this fiscal year.

17          [Slide.]

18          MR. DYER: First, under the general category of  
19 suitability issues, these are studies that are driven by  
20 the test prioritization study, and there are generally  
21 three major suites of tests that we are going to be  
22 concentrating on in fiscal year '92.

23

24          Unsaturated zone infiltration -- this is Alan Flint's

1 neutron holes: we have about a dozen holes scheduled.  
2 We'll probably accomplish six to nine of them in fiscal  
3 year '92. We have two completed to date. We should be  
4 spreading the third hole tomorrow, I believe.

5 We have the -- let me go to this one next. This will  
6 be the first deep hole with the LM-300 at Yucca Mountain.  
7 This is UZ-16, has two major purposes for this. This will  
8 be a hole with 100 percent core.

9 We'll use this to test some of our models regarding  
10 fluid flow and transport in the unsaturated zone.

11 After the hole is completed, this will be the hole in  
12 which we install some vertical seismic instrumentation to  
13 allow us to monitor activities during the rest of the site  
14 characterization program.

15 A little later in the year, we'll be putting in UZ-9.  
16 This is the first of a three-hole complex to look at  
17 gaseous movement between holes. We can do hole-to-hole  
18 testing in UZ-9. This will be the first of a three-hole  
19 complex.

20 [Slide.]

21 MR. DYER: This was the drilling rig used for N-54,  
22 the second of our neutron holes, and at this time, I'd like  
23 to show you about two minutes of video from down-hole in  
24 the first neutron hole. This was a hole that we had a

1

2 casing failure on. We had to pull the casing out and it  
3 was serendipitous that we did that. We also ran a down-  
4 hole televiwer log of the hole and I think you'll enjoy  
5 seeing at least a couple of minutes of a walk through Yucca  
6 Mountain.

7 [Whereupon, a video presentation was made.]

8 MR. DYER: This down-hole view in the -- you can see  
9 we intersected some fractures in the hole. We're in the  
10 welded section of the Tiva Canyon unit. This is in the  
11 upper part of the Paintbrush Tuft.

12 In a little while, I'll show you some of the data that  
13 Alan acquired through both neutron hole and evaluation of  
14 the core that he recovered out of the hole.

15 DR. ALLEN: Was this a wet drill or a dry drill?

16 MR. DYER: This was dry drill, and this was one of the  
17 -- this was the first hole that we did 100 percent coring  
18 on. This would be depths in meters, I believe. There's  
19 Alan.

20 DR. LANGMUIR: Do you get complete recovery on the  
21 unwelded as well as the welded tufts?

22 MR. DYER: I'll show you the recovery log in a minute.  
23 I think, altogether, we got around 95 percent recovery in  
24 the whole hole.

1 I think you've seen enough. We've seen a little bit  
2 of Yucca Mountain now, subsurface.

3 DR. CANTLON: What was the diameter of that hole?

4 MR. DYER: Nominally, it was six inches. In places,  
5 it was a little bit bigger, but --

6 [Slide.]

7 MR. DYER: N-55 was a very important hole for us  
8 because it allowed us to do calibration which will allow  
9 validation of volumetric water content data that we've  
10 acquired since 1985 in 75 existing neutron bore holes.  
11 Because we were also able to pull the casing out, we could  
12 run the instrument down and sample an uncased hole. We can  
13 also use this calibration to go back and look at data from  
14 uncased bore holes such as the UZ series.

15 As I said, we've got 12 holes sited in the current phase of  
16 the neutron program. We've got two completed to  
17 approximately 250 feet. This is the data that came out of  
18 N-55. This is Alan Flint's data.

19 There are two things that show up on here. Red is  
20 we're plotting volumetric water content on the vertical  
21 axis on the left. This is depth of the bore hole in meters  
22 on the horizontal axis, going from zero meters down to  
23 about 250 meters here.

24 Essentially, we're looking at two units. The blue

1 shading on the right is the top of the Topopah Springs  
2 unit. Most of the rocks to the left are the Tiva Canyon,  
3 welded

4

5 and nonwelded units. You can see -- well, the red dots are  
6 the measured volumetric water content obtained from core.  
7 The green is that obtained from calibration of the neutron  
8 logs, so we're looking at correlation between a geophysical  
9 instrument and the actual laboratory measurements here.

10 You see a general increase in the volumetric water  
11 content at the base of the Tiva Canyon, nonwelded, right in  
12 here, and a dropoff. Now, let me show you another slide.

13 DR. ALLEN: What's the significance of the fact that  
14 the scatter is greater on the core data?

15 MR. DYER: I'm sorry?

16 DR. ALLEN: What's the significance of the fact that  
17 the scatter is greater on the core data?

18 MR. DYER: I'm not sure. Alan just put this in my  
19 hand last Thursday afternoon. I must beg off and say this  
20 is very preliminary data. I don't think we've done much in  
21 the way of statistical analysis on this. I'm not sure  
22 whether this is meaningful or not.

23 But, in general, it looks like the geophysical data is  
24 tracking the core data pretty well. Larry Hayes of the

1 USGS is talking.

2 MR. HAYES: You might see more scatter in the core  
3 data because it is a point data. The geophysical logs are  
4 integrating.

5 MR. DYER: Right, right.

6 DR. ALLEN: That may have some significance, itself.

7 [Slide.]

8 MR. DYER: A little different way at looking at this  
9 information is, this is saturation. Let me go to my other  
10 slide or preliminary results here. Saturation, total  
11 saturation coming from about 70 percent in the top of the  
12 Tiva welded, approaching a hundred percent, almost  
13 saturated, at the base of the Tiva nonwelded, and then in  
14 the lower part of the Tiva nonwelded where the porosity  
15 increases considerably, you see the saturation drop off  
16 dramatically from, oh, about 97 percent here, down to  
17 around 30 percent at the base of the Tiva nonwelded, then  
18 start building up again in the Topopah.

19 Now, what this -- at least in our preliminary  
20 evaluation, what this suggests is what you see here in this  
21 sentence. Let me draw your attention to the last  
22 parenthetical phrase here. It argues against a conceptual  
23 model involving through-going fracture pathways, at least  
24 in these units, in the Tiva and the top of the Topopah.

1           Other things that we found out just from these two  
2 bore holes: down in this part of the Tiva nonwelded where  
3 we have high saturations, we're also seeing a lot of clay  
4 in this unit. This may or may not have implications for  
5 underground excavation activities, if we come into units  
6  
7 that have a high saturation, a relatively high clay  
8 content.

9           Detailed core analysis at close spacing which we were  
10 able to obtain because of continuous coring, has allowed  
11 for a major improvement in water flow -- in modeling water  
12 flow at the site.

13          DR. DEMENICO: Determining the water content, is that  
14 a destructive test? By that, I mean, do you weigh it and  
15 then boil it off and then weigh it again, or is the water  
16 preserved?

17          MR. DYER: I know it's weighed, Pat. I don't know the  
18 details of the test that he did. Larry, do you happen to  
19 know what test procedure Alan used to acquire the  
20 volumetric water content?

21          MR. HAYES: He has a couple of methods he's looking  
22 at. But, I think on this method, he put it in an oven and  
23 weighed it after he dried it out.

24          DR. DOMENICO: My next question is -- I don't know if



1 the budget permits, or if it's part of the surface-based  
2 program, but it seems to be a good idea to collect some of  
3 that water for the continued tritium and chlorine 36  
4 studies.

5 MR. DYER: Absolutely. In fact, June Fabrica-Martin,  
6 as part of this test, was sampling the chips that came up.  
7 She'll be done chlorine analysis on those. Alan, as part  
8 of a follow-on on this will be doing tritium  
9  
10 analysis.

11 DR. DOMENICO: So, this is part of the budget?

12 MR. DYER: Yes. We just don't have any data on that  
13 yet.

14 DR. DOMENICO: Okay. Very good.

15 DR. LANGMUIR: You've had since Thursday, right?

16 [Slide.]

17 MR. DYER: Just to show a little of what we can --how  
18 we can take this initial data and feed it back in to  
19 reexamine some of our existing data. This is applying the  
20 same calibration model from neutron log to one of our  
21 existing holes, UZ-7, an open borehole. And we see the  
22 same trend. This is volumetric water content, again,  
23 plotted on the vertical axis. You see an increase in  
24 volumetric water content from about five percent up to

1 around 35 percent, again, coinciding with the top of the  
2 base of the Tiva non-welded unit, dropping off into the  
3 bottom of the Tiva non-welded, and dropping off again in  
4 Topopah Spring, and then rising up again in the Topopah  
5 Spring. So, we're seeing possibly some kind of systematic  
6 response here within the hydrologic system.

7 DR. DEERE: Don Deere here with a question. It  
8 doesn't rise up very much in the Topopah Spring though.  
9 It's quite low.

10 MR. DYER: Not much here, no.

11

12 DR. DEERE: Yes. And the other one that you pointed  
13 out, I didn't quite agree with what you said. This is the  
14 USN-55.

15 MR. DYER: This one?

16 DR. DEERE: Yes.

17 MR. DYER: Okay.

18 DR. DEERE: It went up again at the Topopah Springs.  
19 But, it went up in the caprock primarily.

20 MR. DYER: Right. Right here in the caprock. That's  
21 right.

22 DR. DEERE: Then it's certainly headed down in the  
23 Topopah?

24 MR. DYER: Yes. Down here. And, of course, we

1 haven't sampled -- we only sampled about five or eight  
2 meters into the Topopah.

3 DR. LANGMUIR: Tom Buscheck has been doing a lot of  
4 modeling, based upon assumed moisture contents in these  
5 sequences.

6 MR. DYER: That's right.

7 DR. LANGMUIR: How do these measurements compare to  
8 his assumptions and his models?

9 MR. DYER: I'm not sure Alan has fed this information  
10 to Tom yet. But, certainly, this information allows a test  
11 of Tom's model. His model would predict some responses.  
12 And this now is data against which we can test

13

14 Tom's modeling.

15 [Slide.]

16 MR. DYER: Another category of testing that we're  
17 currently -- in fact, it's drilling right now, it is not  
18 night back at the test site. But, JF-3, the environmental  
19 monitoring well, which Carl talked about earlier, which was  
20 not previously in our program, but which was added to our  
21 program as the result of an agreement with the National  
22 Park Service, we're currently drilling that hole. We  
23 should finish the hole by the end of January, beginning of  
24 February. And, of course, the purpose of this hole is to

1 provide a monitoring hole to look at draw down, as we use  
2 water during the site characterization program.

3 [Slide.]

4 MR. DYER: I don't want to really get into a semantic  
5 argument here about what issue resolution or issue closure  
6 is. But there are a series of questions that we have to  
7 address. We need to be able to address the question  
8 relatively early on of how much is enough? When can we, in  
9 fact, reprogram some of the assets in the program to shift  
10 our focus from one set of activities to another set of  
11 activities? And we're actively pursuing dialogue on this,  
12 through the mechanism of the annotated outline, to reach  
13 agreement on the -- the scope and content of -- that needs  
14 to be addressed to resolve these technical issues. These  
15  
16 are three issues that we're actively pursuing in fiscal  
17 year '92.

18 Volcanism studies. I'd point out that, in the  
19 performance assessment, that you'll be hearing about in a  
20 couple of months, we were able to put in volcanism, look at  
21 the impact on system performance of volcanism. We think we  
22 have a strong basis for proceeding on some reallocation of  
23 resources for the volcanism studies, as a result of being  
24 able to quantify some of the effects of volcanism on

1 performance.

2 We think that we can, if not close, at least make a  
3 lot of progress toward resolving the erosion issue, as long  
4 as we reach some kind of understanding as to exactly what  
5 is required toward addressing this technical issue.

6 And, finally, excuse me, the Trench 14 calcite/silica  
7 issue is another one that we think we can make considerable  
8 progress on, at least being able to demonstrate that we  
9 should be able to reallocate resources that are currently  
10 focused on this particular issue.

11 [Slide.]

12 MR. DYER: ESF Prerequisites. There's a considerable  
13 amount of the program which would be considered surface-  
14 based testing, which is, in fact, a logical precursor to  
15 siting and construction of the ESF.

16 [Slide.]

17

18 MR. DYER: One part of this. This hole has not been  
19 drilled yet. But, this was the N-55 hole; but we'll  
20 probably use approximately the same rig to drill the  
21 shallow boreholes at the north and south portal to get  
22 information to support the design of the portal area, which  
23 Carl was talking about earlier.

24 The southern environmental monitoring station, I'm

1 going to talk about in a little while. Right now, we have  
2 a suite of background information, environmental  
3 information that we have acquired over the past several  
4 years, in the vicinity of the north portal, in the vicinity  
5 of Exile Hill. That, of course, was also close to where we  
6 had the old ES-1/ES-2. But, at the south portal, we do not  
7 currently have a suite of environmental information  
8 currently archived.

9 We are in the process of installing that environmental  
10 monitoring station, and will acquire some amount of  
11 information over the next 12 months or so on air quality,  
12 mineralogical monitoring and radiological background.

13 [Slide.]

14 MR. DYER: The final category of activities for fiscal  
15 year '92 are what I'll call logical precursors to other  
16 activities.

17 [Slide.]

18 MR. DYER: This is a picture of the Midway Valley  
19  
20 trench. This was a trench across the northern extension of  
21 the Bow Ridge fault, just north northwest of Exile Hill,  
22 which trenched through some of the basin fill material,  
23 alluvium and colluvium.

24 [Slide.]

1           MR. DYER: I'm going to use an old photograph here,  
2 but the point I want to make -- disregard ES-1 and ES-2.  
3 This is Exile Hill. This is the approximate location of  
4 the north portal. The pad to support the north portal is  
5 in this area.

6           This is, in our current basis anyway, the location of  
7 the surface handling facility. Part of the logic for doing  
8 the Midway Valley study was to look at possible seismic  
9 hazards to the surface handling facility.

10          We need to put a trench in in this area, probably this  
11 spring, underneath the potential -- the pad for the north  
12 portal, before we get the -- that pad built, which may  
13 ultimately become a pad for the surface handling facility.

14          So, this is just a logical precursor activity.

15          Another example I would give you are the -- a suite of  
16 geophysical surveys, primarily reflection surveys, state-  
17 of-the-art reflection surveys, being done, contracted by  
18 the USGS out to industry, using state-of-the-art  
19 acquisition and interpretation methods, to try to, if you  
20 will, optimize the location of G-5, a deep continuous core  
21  
22 geologic hole which will be in the vicinity of the steep  
23 hydraulic gradient to the north.

24          [Slide.]

1 MR. DYER: If I summarize, the -- let me use this one.  
2 It's a little more visible.

3 If I summarize on a bar chart the fiscal year '92  
4 surface-disturbing activities, we've been through the  
5 unsaturated zone infiltration. That's the neutron holes.  
6 We'll be drilling those most of the year.

7 We'll be doing trenching and test pits associated with  
8 the north and south portals and also with some of the  
9 quaternary faulting studies both in the site and the  
10 regional area.

11 We have the environmental monitoring hole, JF-3,  
12 should finish up by the end of this month.

13 For the deep drilling program, these are LM-300-based  
14 holes. We only had one LM-300. So, we have to be very  
15 judicious about the scheduling of that particular rig.

16 We've got that schedule for UZ-16 and UZ-9 throughout  
17 the rest of the year.

18 This just shows going from one crew a day, two crews a  
19 day, and finally initiating 24-hour-a-day operations on the  
20 LM-300.

21 We have geophysics -- a geophysics acquisition program,  
22 acquisition and interpretation, that I talked  
23 about.

24 Here's one ramp bore hole. We'll probably do two and



1 possibly three ramp bore holes this year.

2 We've already completed instrumentation holes at the  
3 hydrologic research facility this year. This was for some  
4 prototype instrumentation tests.

5 Then we have, down here, a large suite of ongoing  
6 activities. These are the things like the seismology  
7 program, the climatology, basic geologic mapping, those  
8 things that don't require a large reallocation of expensive  
9 equipment.

10 [Slide.]

11 MR. DYER: Another way to look at the site  
12 characterization program, specifically the surface-based  
13 part of it, is to break it down by study plans, and the  
14 next five pages in your book have a list of 41 study plans  
15 that are active at the current time, and what I have tried  
16 to do here is break out -- this is the WBS number which  
17 Carl talked about a little bit.

18 If you wish to go back, you can go back into Carl's  
19 presentation and cross-correlate this to see what kind of  
20 funding levels were -- at what level we were funding these  
21 studies for this year.

22 This is the study plan number, which of course ties  
23 this particular activity to the SCP, our baseline  
24 characterization program.

1           This is a brief description of the study here, and  
2 this is the total work to be done during the course of the  
3 study. That's not just fiscal year '92 work. This is a  
4 total program inventory here.

5           The ones that I put asterisks by are those programs  
6 that we think we're making significant progress on this  
7 year. The G-hole is the one where we're doing the  
8 preparatory geophysics for it.

9           The SD holes -- they'll be acquiring information out  
10 of, probably, UZ-16 and maybe UZ-9 to provide information  
11 on site-specific sub-surface information.

12           Let me skip one for a minute.

13           Characterization of volcanic features: Dr. Crowe has  
14 been very active not with drilling but, rather, in soil  
15 test pits, sampling, and mapping this year, will continue  
16 to be.

17           There is one here I have annotated with a little  
18 different symbol, a delta. That's the -- essentially the  
19 erosion study. This is one that we would hope that we can  
20 reach some kind of resolution on this year as to whether or  
21 not this activity merits a continuation of support.

22           Soil and rock properties in the ESF: Of course, we  
23 have the exploratory drill holes along the ESF ramp  
24 alignments. It's a long list. If you have any questions

1

2 about anything on there, I'll be happy to address your  
3 questions.

4 I don't see much sense in going through it item by  
5 item with you.

6 DR. DEERE: Don Deere. I have a question. On these  
7 shallow holes with the ODEX, how much sampling do you do in  
8 terms of drive samples or core samples, any at all?

9 MR. DYER: We're looking at 100 percent core recover  
10 on all the ODEX rigs. It seems to add very little to the  
11 drilling time and at least at this stage, it provides us  
12 with information that we've not previously had. We have a  
13 system in place that we can get the core, archive it, feel  
14 very comfortable about the pedigree of the core, and it  
15 provides us a body of information that we just haven't had  
16 to this point.

17 DR. DEERE: It is a rotary cored sample?

18 MR. DYER: Yes, it is.

19 DR. DEERE: And not a drive sample?

20 MR. DYER: That's right, it's rotary cored. It's dry-  
21 drilled, but rotary cored.

22 [Slide.]

23 MR. DYER: In fact, talking about those holes, these  
24 are the -- I've got three holes on the schedule for this

1 year and perhaps early fiscal year '93, support of ESF.  
2 Let's look at the North Ramp facility first. Here's the --  
3 Exile Hill is located in this area. This would be one  
4 potential ramp alignment, coming essentially straight down  
5 here. Other options would be something curving out to  
6 decrease the ramp grade, but I know in fiscal year '92, I  
7 need to put one hole in here to support the north portal  
8 design.

9 I need one hole in here, a deep hole, about a thousand  
10 feet deep, to tag the TSW-1 Topopah Spring welded one,  
11 Topopah welded two contact which would essentially peg the  
12 repository horizon. So, these are two holes associated  
13 with support for the north ramp that we are carrying as  
14 part of our program for this year.

15 [Slide.]

16 MR. DYER: On the south portal, I have one hole that I  
17 know needs to be drilled. That's the one at the south  
18 portal access area, right down here. The other thing that  
19 needs to be done down here is to install and start --  
20 install the environmental monitoring facility and start  
21 acquiring a suite of information from this environmental  
22 facility.

23 [Slide.]

24 MR. DYER: This would be the southern bore hole at the

1 south ramp portal. I know this is a busy diagram, but what  
2 I wanted to put up was just a schematic of the test and  
3 evaluation process. Whenever we decide to modify, change a  
4 test, there is a fairly stringent process that we need to  
5 go through to ensure ourselves that we are not missing  
6 something along the path. This lays out an iterative  
7 process by which we can modify, change, add to, delete  
8 from, over time, the characterization program as more  
9 information is acquired.

10       There are three general phases to it: test planning,  
11 test implementation, test evaluation. We've done a lot of  
12 planning. We're beginning to do some implementation and I  
13 think the next phase that we're really getting into right  
14 now is test evaluation and the feedback loop. Those will  
15 be the things that I hope we'll be able to talk to you in  
16 great detail about in the next year or so.

17       [Slide.]

18       MR. DYER: In conclusion, we believe, as you do, a  
19 complete evaluation of the site will require both surface  
20 and underground testing. Focusing on surface-based testing  
21 is one course of action at this time. It has some positive  
22 attributes to it. Progress towards technical solutions can  
23 be demonstrated.

24       We are able to make progress on the essential

1 precursor activities to an ESF, and we think we can acquire  
2 a considerable body of information, of data, to support the  
3 ongoing evaluations of site suitability. That concludes my  
4 presentation. Do we have any questions from the Board?

5

6 DR. DEERE: Don Deere here. In your last conclusion  
7 that much data can be obtained to support ongoing  
8 evaluation of site suitability, I failed to mention when we  
9 were discussing the ESF studies half an hour ago, that a  
10 number of the activities that were discussed in the early  
11 site suitability report, the one I think is under  
12 evaluation now --

13 MR. DYER: Yes, it is.

14 DR. DEERE: -- by a peer review group, a number of  
15 those recommendations state, this awaits underground access  
16 and testing, in quite a number of places. I simply meant  
17 to bring that out at this time in my last presentation.  
18 It's --

19 MR. DYER: We agree completely, Don. We're going to  
20 have to have the underground program.

21 DR. DEERE: What would you say are the early results  
22 with respect to your coring methods, your drilling  
23 procedures and how it's going along? Is it better than you  
24 expected or is it worse than you expected?

1           MR. DYER:     Things were a little ragged in the  
2 beginning. We had some trouble with some of our drilling.  
3 We were learning how to drill dry. It's been quite a  
4 while, been five or six years since crews have been out on  
5 the test site drilling with that equipment. It took us a  
6 while to get the first hole in. We were making two feet a  
7 day for a

8

9 while.

10           We've switched bits and I'm trying to remember what  
11 the drilling rates were for the last series on the N-54.  
12 I'm thinking around 20 feet a day. I mean, we were making  
13 reasonable progress and that was continuous coring, so we  
14 would have three or four core trips a day and then ream out  
15 afterwards.

16           DR. DEERE:    And the materials were primarily this  
17 colluvian or were you getting through just 10, 20, 30  
18 meters of that and then into rock?

19           MR. DYER:    That's right. We went through a colluvium  
20 section, relatively thin veneer in the neutron holes, and  
21 then most of the hole was made in pretty solid rock which  
22 was both welded and nonwelded. I mean, some of it was  
23 pretty punky stuff whenever it came up.

24           DR. DEERE:    You didn't have to case down in the rock?

1           MR. DYER:    The ODEX system cases automatically.  It  
2 pulls a casing behind it.

3           DR. DEERE:   But you brought it back out when you got  
4 through?

5           MR. DYER:    No, we left the casing in.  Now, the JF-3  
6 hole, we've been drilling without casing.  We put a surface  
7 casing in, about 90 feet of surface casing.  We're at 450  
8 feet on that.  We just tagged the top of the volcanic  
9 units.  We're through the colluvium on that.  That's out in  
10 the valley though.  That's out in southern, southwestern  
11 Jackass Flats.

12          DR. DEERE:   Bill Barnard.

13          DR. BARNARD:  Russ, what is the status of the state  
14 permits?  Do you have all that you will need for future  
15 base testing?

16          MR. DYER:    No.  Right now, for instance, for dry  
17 drilling, let me give you a for instance.  Our plan has  
18 used tracers in the fluid, the air that's injected with the  
19 -- as part of the drilling process, whenever we're close to  
20 the block.

21                 Right now it appears that we need to go, hole-by-hole,  
22 to the state, acquire a permit on a hole-by-hole basis for  
23 using an injectant -- some tracer, some gaseous tracer  
24 injected into the air stream.  So, if we do this hole-by-



1 hole, that's a long -- that's a considerable permitting  
2 process to go through. We don't have the water permit  
3 either yet.

4 DR. BARNARD: You don't have the water permit yet?

5 MR. GERTZ: Let me summarize, from a broader  
6 perspective maybe, Bill.

7 We weren't sure how the underground injection is going  
8 to go because the state had not issued underground  
9 injections to anybody before. So, we weren't real sure for  
10  
11 this kind of tracer-type activity. So, we weren't sure how  
12 that's going to go. And we're working with the  
13 professional staff in the state to maybe try to do a group  
14 of holes rather than one individual hole. And that  
15 discussion is ongoing. But, until we get it resolved, we  
16 can only do one hole at a time, or whatever hole we have  
17 approval for. The first set of approval happens to be the  
18 holes we're working on, it's was the C well complex for  
19 some tracers.

20 Secondly, the water issue. Our major water  
21 appropriation permit underwent nine days of hearings in  
22 front of the state engineer. And he's evaluating those  
23 particular proceedings. In the meantime, he allowed us to  
24 use an older well that we had called VH-1 until he makes a

1 final decision on this particular permit application or  
2 appropriation application.

3       Should he issue us the permit application for the  
4 water -- that's for the site characterization activities,  
5 we would, in effect, have then all the permits we needed or  
6 surface-based testing, after we went through the process  
7 for underground injection, whether it's hole-by-hole,  
8 groups of holes, tracer by tracer or whatever. But,  
9 essentially, we have the air quality permit, which allows  
10 us to drill, build roads, and do other things. We'll have  
11 water, so we can control the dust through the water  
12 appropriations and we'll have the underground injection  
13 well. And those are the  
14 major permits that we'll need for the surface-based  
15 program. Other things we can work around, if need be. We  
16 need a few different permits, once we start ESF.

17       DR. BARNARD: What is the status of the permits that  
18 you're going to need for the ESF?

19       MR. GERTZ: Many of those we can't apply for till we  
20 design the facility; much like the sewage treatment, the  
21 water treatment. We have work around, of course. You can  
22 always use portable sanitary facilities. You can always  
23 haul drinking water in. But, if you're going to have a  
24 long-term facility, you need to get your state permit for

1 drinking water and sanitary facilities.

2 One major permit that we'll have to be dealing with is  
3 the ventilation. Once we get about a hundred feet into the  
4 portal, we have to have a ventilation system. And that's  
5 under the air quality permit aspects. So, that's our major  
6 work.

7 But, unfortunately, as you're well aware, we're a ways  
8 off before that particular permit. But, in essence,  
9 assuming the permits we have stay in good standing, and  
10 once the water issue is addressed by the state engineer,  
11 we'll have enough permits to continue broad based, surface  
12 based program, and do all the preparation, up to about a  
13 hundred feet into the portal.

14

15 DR. DOMENICO: Carl, Domenico. In the appropriation  
16 doctrine, you have to specify either a volume or a rate.  
17 What have you requested from the state?

18 MR. GERTZ: Well, our application included a rate and  
19 number of acre feet. They didn't coincide, because one was  
20 an engineering estimate and one was the state engineer rule  
21 that we had to stay with the volume and not the rate at  
22 this time.

23 DR. DOMENICO: So, how many acre feet did you --

24 MR. GERTZ: I think we're at 437 acre feet, over seven

1 years or something like that. To put it in perspective, I  
2 think I've talked to you about before about one local gold  
3 mine near us, just one gold mine, uses more water in three  
4 months than we'd use in 10 years. And that's one of a  
5 dozen gold mines.

6 DR. DOMENICO: But the 400 acre feet is adequate for a  
7 few years?

8 MR. GERTZ: Certainly for a few years. We need to  
9 update our estimates and we would have preferred to have  
10 the two-tenths per cubic -- gallons per cubic minute or  
11 something like that. We would have preferred to have that.

12 DR. DOMENICO: Gallons per cubic minute?

13 MR. GERTZ: CFS. CFS, right. Per second.

14 DR. DOMENICO: That's called a Broccoli unit.

15 DR. ALLEN: Clarence Allen. Russ, I presume that  
16 no matter how encouraging or positive are the results of  
17 the individual tests from the surface based testing  
18 program the site could not be declared suitable without  
19 getting underground testing. Can you imagine some  
20 scenarios in which the site could be declared unsuitable  
21 solely on the basis of the surface-based testing program?

22 MR. DYER: It's difficult for me to imagine a  
23 scenario. Sort of like the Mayan Princess. You almost  
24 have to go down there and excavate it to find the Mayan

1 Princess. We may get tantalizing hints along the way.  
2 But, I think until we really get underground, it will be  
3 just that, hints.

4 DR. LANGMUIR: Russ, Langmuir. You mentioned that  
5 gaseous as well as liquid traces are going to be used. I  
6 was involved in that program years ago. Just curious.  
7 Which tracers have been selected at this point, for such  
8 purposes?

9 MR. DYER: We have a list of seven that we've asked  
10 the state for permission for, and we're trying to expand  
11 that list to around 20. And I think it's about the same  
12 list that you were involved in.

13 DR. LANGMUIR: Can you name the seven? I know that 20  
14 gets kind of tough. SF6?

15 MR. DYER: Yes. SF6 is definitely on it. Freon 12 and  
16 13 is on it. There's one I can't pronounce. It's

17

18

19

20 methane with ditritium, was one that was talked about.  
21 There were some different variants of -- no, I better quit  
22 here while I'm ahead. Those are the ones I can remember  
23 off the top of my head.

24 DR. DOMENICO: Russ, Domenico. When was the test plan

1 for the unsaturated zone finally formalized? What year was  
2 it? The test plans for the unsaturated zone -- surface-  
3 based testing for the unsaturated zone? As I recall, those  
4 plans are -- were formalized maybe eight years ago.

5 MR. DYER: That's probably about right. If you're  
6 talking about what's in the SCP, that probably was pretty  
7 well firmed up, as of about 1986-'87, I guess. Of course,  
8 we have the opportunity to modify and update those  
9 programs.

10 DR. DOMENICO: That was my question. I just wondered,  
11 in eight years, it seems like you do have an opportunity to  
12 go back into them and see if everything that you thought of  
13 then may be necessary today, eight years later down the  
14 pike. I just was concerned.

15 MR. DYER: That's absolutely right.

16 DR. DOMENICO: They're not cast in concrete then?

17 MR. DYER: That's correct. We had a peer review on  
18 part of the hydrology program last year. And we're trying  
19 to incorporate some of the comments they made into  
20 modifications in the hydrology program, both in strategies,  
21  
22 in instrumentation tests for the hydrology program.

23 DR. DOMENICO: It seems like it's an awful lot of  
24 tracer tests for the little amount of tracer that you can

1 find in those rocks, assuming you could find your tracer in  
2 those rocks.

3 MR. DYER: That's right.

4 DR. DEERE: Russ, could you go into a little bit more  
5 detail on what's going on in the volcanic studies? Are  
6 they in the field now or were they only there for a week or  
7 two and took your samples and are in the lab now?

8 MR. DYER: No. Bruce has pretty much an ongoing  
9 program. He has test pits that he opens, goes out and  
10 samples, acquires samples. He has two or three different  
11 laboratories that are doing -- we're applying several  
12 different dating techniques to his sampling program.

13 So, I know he has been out on at least two excursions  
14 so far, acquiring samples, doing mapping. It's an ongoing  
15 project. I mean it doesn't take a great deal of time to go  
16 out and scoop something out and acquire a sample.

17 But there is a delay while he's trying to get some  
18 results back, some interim results back, to kind of steer  
19 where he wants to go for the next pit or the next series of  
20 pits.

21 DR. DEERE: In his pits, is he able to see this  
22 stratigraphic sequence in the little, small desert

23

24 weathering profile at various buried depths?

1           MR. DYER:    I hesitate to speak for Bruce, but I  
2 haven't heard anything -- haven't heard him say anything  
3 that would contradict his earlier finding of cyclic  
4 eruptions associated with the volcanics we have there,  
5 polycyclic I guess I should say.

6           DR. DEERE:   He feels that some of the discrepancy in  
7 dates may well be that they were taken from different  
8 positions without being controlled stratigraphically.  
9 Isn't that correct?

10          MR. DYER:    I think I'm going to beg off on that.  I'd  
11 much rather have Bruce answer that.

12          DR. ALLEN:   I think it must be.  At least on the ACNW  
13 workshop, it certainly must be more than just sampling.  
14 There's still some major difference of opinion.

15          DR. DEERE:   I see.

16          DR. CANTLON:  Is there any plan to look at thermal  
17 modification of the tuffs related to those volcanic plumes?

18          MR. DYER:    Well, we have already done some work on  
19 that.  Dave Bish at Los Alamos presented some data at the  
20 natural analog workshop looking at essentially -- I don't  
21 want to call it metamorphism but thermal effects associated  
22 with the original latent heat in the volcanics.

23                 I am not aware of any proposal to go out to, say,  
24 Lathrop Wells or some of the black cone/red cone and apply



1 the same technology there.

2 DR. DEERE: Are there questions from staff?

3 [No response.]

4 DR. DEERE: Questions from the audience or comments?

5 MR. FRISHMAN: I just have one for you, Russ, and one  
6 for Carl.

7 Steve Frishman, State of Nevada.

8 Russ, you say you can't imagine a scenario where the  
9 site could be found unsuitable without underground  
10 excavation. I guess what that means is that you haven't  
11 decided yet how you're going to first interpret and then  
12 analyze ground water travel time. Is that the case?

13 What are you going to find out underground that you  
14 can't find out from drilling and running an analysis  
15 program from the surface trying to evaluate the hydrology?

16 MR. DYER: I think we can get some -- of course, most  
17 of the basis of the hydrology program is based on the  
18 surface-based testing.

19 So far, I'm not aware of anything that would suggest  
20 that -- based on, certainly, what Alan has come up with  
21 recently -- that suggests that we have active fast paths,  
22 and I think that's what we would need to demonstrate to  
23 make a finding of unsuitability, is not only the presence  
24 but also the potential activation of a fast path network.

1

2

3 MR. FRISHMAN: Have you done anything that is  
4 specifically aimed at trying to determine an active fast  
5 path, once you have decided what it is you're looking for,  
6 what you think an active fast path might be?

7 MR. DYER: Oh, absolutely. We've done a considerable  
8 amount of modeling trying to determine what kind of  
9 parameters we would search for in the field, what kind of  
10 indicators you would have associated with a fast path  
11 network.

12 That's much of the work that Tom Buscheck of Livermore  
13 has been involved in, and I think we have a model that we  
14 can test now.

15 MR. FRISHMAN: Okay. A model that you can test. And  
16 can that model be tested with an applied surface-based  
17 drilling program?

18 MR. DYER: It can be tested up to a certain degree of  
19 confidence. Again, we come to the question, how much is  
20 enough? I guess, in my personal feeling, I am not sure we  
21 can get -- I personally can get enough confidence in the  
22 results just based from the surface-based program.

23 MR. FRISHMAN: I guess what I am curious about is  
24 whether you have defined the groundwater travel time

1 requirement in a way that you, in fact, could test it.  
2 You've had a couple wells in the past that have had very  
3 rapid communication between the two of them. You haven't  
4 done any of the tests so far that are laid out for  
5 communications, well communications that's -- the three-  
6 well communication, anyway. Don't you think any of this  
7 would tell you something about a requirement that you have  
8 laid on yourself in the guidelines for groundwater travel  
9 time?

10 MR. DYER: Certainly, and I think those tests are part  
11 of the testing program that we have laid out.

12 MR. FRISHMAN: Well, I guess what I'm taking exception  
13 to is -- with you on is, the certainty with which you say  
14 you can't imagine a scenario that would lead to an  
15 unsuitability determination when, in fact, you have a  
16 particular requirement out there right now, that unless  
17 you're going to rewrite it or change it, should be testable  
18 from solely surface-based, unless you have decided that  
19 you're not going to look for it.

20 MR. DYER: No, I disagree with you, Steve. I think we  
21 are testing that hypothesis. To date, I don't think we've  
22 found testing that I've looked at; I don't think we've  
23 found anything that would suggest that we're close to  
24 breaking that specific criteria.

1           MR. FRISHMAN:    Okay, and to date, means just what  
2    you've done in the last few months, or looking back at  
3    everything you know about all the wells you've drilled over  
4    the years?

5           MR. DYER:    Well, I'm talking about what we've done  
6    during the last few months and what we project during the  
7    coming years.

8           MR. FRISHMAN:   So you're discounting anything that you  
9    might have discovered in the past?

10          MR. DYER:    We're trying to gather enough data that we  
11    have confidence in that we can confidently interpret these  
12    confusing results we have from the past.

13          MR. FRISHMAN:   Okay, I guess I just want to leave out  
14    there, that it concerns me greatly, the level of confidence  
15    that you expressed that you could not find the site  
16    unsuitable, considering your discounting everything from  
17    the past and saying that it is not -- that it doesn't mean  
18    anything until we do more testing.

19                 It is of concern to me that that level of confidence  
20    is still expressed.

21          MR. DYER:    Okay, that data exists.    It's not  
22    straightforward, I think you would be the first to admit.

23          MR. FRISHMAN:   All right, I'll leave that.    Carl, I  
24    just wanted to ask you and your -- in your presentation,

1 you made a fairly strong issue of a condition that would  
2 rely on an assumption of a long term commitment of about  
3 \$200 million to the Yucca Mountain project, and you said  
4 what -- at least an option for what you would do there  
5 would be to spend about 70 on ESF for a fairly extended  
6 period of time, and then in sequence beyond that, go to a  
7 surface

8

9 based program of about 70, stretching out for a lot of  
10 years.

11 Well, I think that that's sort of a false scenario to  
12 be working on because you can't really get any more  
13 assurance that you're going to be at a level 200 than you  
14 can that you're going to get less or more any given year.  
15 So, they idea that if you had a level 200 -- and what you  
16 would do there doesn't really say anything because you can  
17 never get any assurance of a level 200 anyway, for a long  
18 period of time.

19 So, I guess my question is, not knowing each year  
20 where you're going to be, how are you going to decide, year  
21 to year, whether you're going to put a full committment  
22 into underground or a full committment into surface based  
23 or continue along, in your planning anyway, on this split  
24 where it's really difficult to get very much done on

1 either?

2 MR. GERTZ: First of all, I'd like to agree with you,  
3 Steve. I hope that 200 is not a reality, because that's  
4 not enough to get out.

5 MR. FRISHMAN: My question is, how do you ever know  
6 whether you're going to get 200 for even two years?

7 MR. GERTZ: You never know. Things are not that  
8 certain in the Federal budgeting process, but I think as we  
9 develop a basis for moving forward, we'll get indications  
10 from both the Administration and Congress of increased

11

12 funding and we can just predict, estimate, that the program  
13 is heading in the right track. If it's not, maybe we have  
14 to make some assumptions on different numbers, but that's  
15 purely what that was, an assumption. It was just a "what  
16 if" think tank exercise.

17 I could have easily used 250, I could have used 150.

18 MR. FRISHMAN: The point that I'm making, though, is  
19 that any flat "what if" is not relevant.

20 MR. GERTZ: I don't know anything that's relevant in  
21 future budgeting. You just make your best guess. Here's  
22 my resource requirements. If you don't make it, you have  
23 to replan.

24 MR. FRISHMAN: And also, you're always at this sort of

1 year and a half thing, so you never really know what  
2 they're going to do to you next year, when you're  
3 projecting for the year beyond. I think to talk about flat  
4 and then lay out a scenario of an all or nothing sequential  
5 doesn't really tell anybody anything that we need to know,  
6 and I'm not sure it tells you anything you need to know.

7 MR. GERTZ: It's simply a "what if" exercise if you  
8 wanted to do it that way. I personally don't subscribe to  
9 doing it that way.

10 MR. FRISHMAN: Then the question comes down to -- and  
11 you know, maybe it just needs to be faced head on, and  
12

13 that is; if you get 200 next year, similar to what you have  
14 this year, are you going to put the major emphasis on doing  
15 the Title II design work for ESF so you can get going on  
16 that, are you going to be in a situation similar to where  
17 you are today?

18 MR. GERTZ: It's certainly a hypothetical question I  
19 hope I don't have to wrestle with a year from now or so, or  
20 nine months from now.

21 MR. FRISHMAN: A wonderful answer, thank you. By the  
22 way, Russ, one other question: how about if you find way  
23 more metallic mineralization than you think you're going  
24 to? Wouldn't that be enough to tell you something about

1 where you ought to be?

2 MR. DYER: At the very least, I suspect we would  
3 reprogram the drilling program and see if that's local,  
4 what the significance of that is.

5 DR. LANGMUIR: But it could never tell you enough.

6 DR. DEMENICO: Get some gold out of there to pay for  
7 the program.

8 [Laughter.]

9 DR. DEERE: Are there any other questions?

10 [No response.]

11 DR. DEERE: If not, I wish to thank all those who  
12 participated today, and remind you that tomorrow, we will  
13 start earlier, at 8:30 tomorrow morning.

14

15 [Whereupon, at 4:45 p.m., the Board meeting was  
16 recessed, to be reconvened on Wednesday, January 8, 1992,  
17 at 8:30 a.m.]