

UNITED STATES
NUCLEAR WASTE TECHNICAL REVIEW BOARD

STRUCTURAL GEOLOGY & GEOENGINEERING
PANEL MEETING

SEISMIC VULNERABILITIES

January 22, 1992

Hyatt Regency Hotel
17900 Jamboree Boulevard
Irvine, California 92714

BOARD MEMBERS PRESENT

Dr. Don U. Deere, Chairman
Nuclear Waste Technical Review Board

Dr. Clarence R. Allen, Chair
Structural Geology & Geoengineering Panel

Dr. Leon Reiter, Nuclear Waste Technical
Review Board, Senior Professional Staff

Mr. Russell McFarland, Nuclear Waste Technical
Review Board, Senior Professional Staff

Dr. Edward J. Cording, Consultant

Dr. Robert Kennedy, Consultant

I N D E X

<u>SPEAKERS:</u>	<u>PAGE NO.</u>
Introduction	
Welcome, Dr. Don U. Deere, Chairman, Nuclear Waste Technical Review Board	3
Introductory Remarks	
Dr. Clarence Allen, Chair, Panel on Structural Geology & Geoengineering	4
Introduction to Seismic Vulnerabilities	
Dr. Ardyth Simmons, Department of Energy	8
Summary of Seismic Hazard	
Mr. Terry Grant, Science Applications International Corp.	14
Update on Midway Valley Trenching	
Mr. F.H. Swan, Geomatrix	47
Effects of Nuclear Explosions on Tunnels at the Nevada Test Site	
Mr. Jim Phillips, Sandia National Laboratories	62
Seismic Vulnerabilities and Seismic Design Issues: Surface Facilities	
Mr. Philip Richter, Fluor Daniel	83
Seismic Vulnerabilities and Seismic Design Issues: Subsurface Facilities	
Dr. J.L. Merritt, Woodward-Clyde	115
Site Characterization at Yucca Mountain and Issues Related to Seismic Vulnerability	
Mr. Richard Quittmeyer, Woodward-Clyde	153
Summary of Presentations by the DOE	
Dr. Ardyth Simmons, DOE	164
Vulnerability of the Geologic Repository to Vibratory Ground Motion and Fault Displacement: Regulatory Perspective	
Dinesh Gupta, Nuclear Regulatory Commission	167
Seismic Response of Underground Openings for High-Level Waste	
Mr. Jacob Phillip, NRC	187
Simon Hsiung, Center for Nuclear Waste Regulatory Analyses	189
State of Nevada Perspective on Seismic Vulnerabilities	
Mr. David Tillson, Nuclear Waste Projects Office	208

1 of Nevada, the utility industry, and, occasionally, environ-
2 mental organizations and others.

3 I wish to thank all of you who are making presenta-
4 tions and are going to enter into the discussions today and
5 tell you that the Board certainly does appreciate this oppor-
6 tunity of exchanging information. It is the main way,
7 together with your reports, that allow us to make our evalua-
8 tion and report our findings to Congress and to the Secretary
9 of Energy.

10 Before I turn the meeting over to Dr. Clarence
11 Allen, Chairman of the Panel on Structural Geology & Geoen-
12 gineering, I'd like to remind all speakers to speak directly
13 into the microphone clearly and to identify themselves and
14 their affiliations.

15 Clarence?

16 DR. ALLEN: Thank you, Don. First, let me introduce, in
17 addition to Don and myself who are the only two members of
18 the Board here, our consultants who are with us today, as
19 well as our staff members. Ed Cording is with us today.
20 He's been with us many times before with this panel. And,
21 for the first time, Bob Kennedy is with us as a consultant to
22 the panel. Bob is internationally known for his work on
23 vulnerability analyses. Our staff members include Leon
24 Reiter, Russ McFarland sitting over there in the first row,
25 and Bill Barnard was to have been with us, but was recalled

1 and had to go back to Washington early this morning.

2 The purpose of our meeting today and tomorrow is to
3 further explore the issues of potential seismicity at Yucca
4 Mountain with special, but not sole emphasis on the conse-
5 quences of earthquakes. That is the seismic vulnerabilities
6 of both the proposed underground and surface facilities. We
7 will thus be paying particular attention to the engineering
8 of these facilities in addition to the physical natures of
9 the hazards themselves which have heretofore been the primary
10 focus of our attention.

11 You will recall that in its second report, the
12 Nuclear Waste Technical Review Board stated that the mere
13 presence of active faults near, and even within, the Yucca
14 Mountain block should "by no means imply that the site is
15 necessarily unsuitable. Suitability should be judged on the
16 basis of potential risk (the likelihood of such adverse
17 consequences as the release of radionuclides to the acces-
18 sible environment), not just on the potential occurrence of a
19 natural phenomenon alone, such as earthquake ground motion or
20 fault displacement, independent of their consequences. . . .
21 In this light, the Board suggests it would be wise at this
22 early stage in the site investigations to assume that rela-
23 tively large local earthquakes may occur during both the pre-
24 and postclosure periods of the repository life and to inves-
25 tigate the engineering and safety consequence of such

1 events."

2 This is the framework in which much of the present
3 panel meeting has been planned, and it is our hope to hear
4 relevant responses from a variety of groups and individuals
5 during the next two days.

6 The Technical Review Board is among those who have
7 urged the Department of Energy to retain flexibility in its
8 planning for the proposed repository as long as possible and
9 not to become locked-in too early to plans which later may
10 turn out to have been unwise. From its earliest days, the
11 Board has also urged the DOE to use more of a systems ap-
12 proach in its planning than it has in the past, whereby final
13 decisions will be made in the light of optimizing the entire
14 operation, rather than considering individual elements such
15 as seismic risk independently of other concerns.

16 Let me give just two examples how such a systems
17 approach might radically affect our consideration of seismic
18 risk. The current reference or baseline design calls for
19 transfer of spent fuel from transportation casks to disposal
20 containers at the surface loading facility. However, also
21 under consideration is a universal cask which would be used
22 for both functions, thereby eliminating the need for a hot
23 cell and greatly reducing the seismic exposure at the loading
24 facility.

25 Secondly, the vulnerability of the stored spent

1 fuel to underground fault displacement could be a function of
2 the method of canister emplacement within the bedrock of
3 Yucca Mountain. The current reference design calls for
4 emplacement in vertical boreholes, only slightly larger than
5 the canisters themselves, drilled into the floors of the
6 branch tunnels. But, ongoing studies of optimal thermal
7 loading and engineered barriers leave open the possibility of
8 storing the canisters in different configurations, such as in
9 the much larger branch tunnels themselves, with or without
10 backfill. Such schemes might have a significant impact on
11 the canisters' ability to withstand local fault displace-
12 ments, although this could be open to question.

13 In any event seismic risk obviously cannot be
14 considered independently of other factors in the overall
15 system, such as thermal loading, tunnel configuration, the
16 nature of the engineered barriers, transportation systems, et
17 cetera. It must be an integral part of a total systems
18 approach.

19 Some topics less directly related to seismic vul-
20 nerability are on the agenda for tomorrow, such as the like-
21 lihood of new faulting, ongoing relevant activities by the
22 NRC, EPRI, and the ASCE. But, in the long run, we emphasize
23 that it is the seismic risk and not the hazard alone that
24 should determine whether or not the Yucca Mountain site is
25 indeed suitable from the seismic point of view, and this is

1 where our attention must ultimately focus.

2 I was most impressed at the recent ACNW meeting
3 with the informality and the give-and-take between partici-
4 pants. I hope we can achieve some of the same spirit here,
5 although I must remind you, as did Don, that this meeting is
6 being recorded and you must identify yourself when you step
7 to the microphone.

8 At the termination of the formal part of the meet-
9 ing tomorrow afternoon, we will have an informal roundtable
10 wherein the various speakers will face each other and the
11 audience, and have at it. During the meeting, I will be
12 attempting to formulate some provocative questions that can
13 be considered at that time, and I hope all of you will be
14 thinking in somewhat the same way. We do not expect, need-
15 less to say, to reach any formal conclusions or recommenda-
16 tions from this meeting alone, but we do hope that the most
17 critical seismic vulnerability issues will surface and will
18 be thoroughly aired.

19 With that, let us proceed to the first speaker, who
20 will be Ardyth Simmons of the Department of Energy. Ardyth?

21 DR. SIMMONS: Thank you, Dr. Allen, and good morning,
22 everyone.

23 Carl Gertz and Max Blanchard were sorry that they
24 could not be here for this meeting today. So, the Department
25 of Energy will be represented at this meeting by me and by

1 Tim Sullivan who I would like to introduce now. Tim is the
2 DOE manager in the Tectonics Program and has had extensive
3 experience previous to coming to this program with the Bureau
4 of Reclamation in the siting of dams and the investigation of
5 seismic hazard with respect to that. In addition, we have
6 with us John Whitney of the USGS who is head of the Tectonics
7 Program for the Yucca Mountain Project and we have additional
8 speakers here who have technical expertise and I will intro-
9 duce them as their presentations come up.

10 As Dr. Allen correctly pointed out, our previous
11 discussions with the Board have been primarily in the area of
12 seismic hazards, both faulting and ground motion. The last
13 panel meeting that we had with the Board on this subject was
14 in April of 1990 and it accomplished several things. At that
15 meeting, we presented the current knowledge of seismic
16 hazards that we had to date. We also presented the concep-
17 tual seismic design basis that was described in the SCP and a
18 summary of probabilistic assessments that had been done to
19 date. In addition, there was a detailed presentation on the
20 preliminary cost benefit analysis for the waste handling
21 facilities which had been conducted by Sandia and Bechtel.
22 And, finally, we proposed an approach for further development
23 of the seismic design basis.

24 Since April of 1990, repository design has not been
25 an emphasis of our program and, therefore, it has received

1 rather minimal funding and attention. So, we have not done a
2 lot of new work in the area of seismic design. In addition,
3 we have also experienced a major shift in personnel in 1991
4 in the area of the Tectonics Program.

5 However, we have made some progress and there are a
6 number of activities that you'll be hearing a bit more about
7 today in our presentations. The first is that a technical
8 assessment review or TAR is being initiated to evaluate the
9 seismic design basis for the exploratory studies facility as
10 a part of the Title II design. And, this technical assess-
11 ment review will consider the items, that is the structure
12 facility and components not important to safety.

13 Furthermore, a report was prepared by SAIC as an
14 early site suitability evaluation and this has been received
15 by the DOE for review and is under review right now. The
16 report recommended that based on knowledge we have to date
17 for faulting and ground motion for both pre- and postclosure
18 tectonics that the site would not be disqualified on this
19 basis. And, we will address this a bit more as the presenta-
20 tions go on today.

21 Finally, although we feel that seismic hazard is
22 not of concern for a determination of site suitability at
23 this time, it is a good topic for issue resolution. And, to
24 that end, DOE has convened a working group in the area of
25 seismic hazard tectonics to establish and write a topical

1 report that would be later submitted for issue resolution.
2 And, it is the additional purpose of this group to evaluate
3 new data as it comes in, as it's collected by investigators
4 in tectonics, and to provide recommendations for focusing
5 site characterization studies.

6 The purpose of today's presentations from the
7 Department of Energy are multiple. First, we will be dis-
8 cussing new data that has been collected in the past year and
9 we will also rely on some additional expertise that has pro-
10 vided knowledge from nuclear testing that's been conducted at
11 the Nevada Test Site and damage that's been done to the
12 tunnels there. Also, experience that's been gained from the
13 nuclear power industry.

14 For the purpose of this meeting, we were able to
15 use this information in a preliminary sense to evaluate
16 seismic vulnerabilities for both the surface and the under-
17 ground proposed facilities for pre- and postclosure. And, we
18 will be considering in our discussions how the knowledge of
19 seismic vulnerabilities can be used to focus this aspect of
20 the site characterization program.

21 In our presentations, we will be suggesting pos-
22 sible methods that can be used to reduce seismic vulner-
23 abilities of structures and we will through these discussions
24 be showing that the seismic risks, that is the radiologic
25 risks, to the public by both the surface and underground

1 facilities would be low.

2 And, finally, this is a good opportunity for us to
3 introduce the new investigators that we have had this year
4 beginning in our program. And, I will introduce them as
5 their presentations come along.

6 Reiterating very quickly, the first part of our
7 meeting on the agenda today will be the summary of seismic
8 hazards to date and the new information that we've collected
9 with a consideration of multiple event scenarios, as well.
10 We will hear an update on the work that's been done, both
11 mapping and trenching, in Midway Valley this year and we will
12 consider the work that was done on the effects of nuclear
13 tests on tunnels at the test site. From there, we will go
14 into discussions about the seismic vulnerabilities and design
15 issues for both the surface facilities and for subsurface
16 excavation. And then, finally, we will put this information
17 together to see how it can be used to drive or focus certain
18 studies in the site characterization program.

19 If there are questions, I can entertain them now.
20 Otherwise, I will introduce our first speaker.

21 DR. ALLEN: Thank you, Ardyth.

22 Let me ask if there are questions from the Board
23 itself or from anyone in the audience.

24 Leon Reiter?

25 DR. REITER: Ardyth, I wonder if you could--we've heard

1 this issue resolution word before. Is it a formal process
2 that you go through and what happens after you do it? Could
3 you give us some background on that?

4 DR. SIMMONS: Okay. We're just starting to develop a
5 strategy, if you like, for resolution of various issues that
6 have been defined as being of greatest concern. And, so far,
7 a list has been identified of about eight different issues.
8 What we propose is to prepare what is known as a topical
9 report on those issues that would clarify a methodology,
10 primarily, that would be used to demonstrate that we are
11 able, through the process of site characterization and up to
12 licensing, to obtain the information that we need and to
13 reach a resolution of those issues.

14 The report, itself, would not be something that
15 would say here is all the data and we now consider that it's
16 closed, that the issue is closed. It's primarily a prepara-
17 tion of the methodology by which we would go through the
18 period up to licensing to demonstrate that we can provide the
19 necessary information. And then, I believe it depends on the
20 individual issue, but I know that in the case of this seismic
21 hazard issue resolution we plan to meet with the NRC to get
22 their comments on the process and eventually ask for their
23 support of our methodology.

24 DR. ALLEN: Okay. Thank you, Ardyth. Go ahead?

25 DR. SIMMONS: Okay. Our first speaker then will be

1 Terry Grant who will summarize the data that we have, so far,
2 in the area of seismic hazards. Terry is the Senior Geolo-
3 gist with SAIC and he's one of the people who has been part
4 of the program for a long time and will continue to work in
5 this area.

6 MR. GRANT: Good morning. As Ardyth mentioned, I'm
7 basically going to give a rather brief summary of what we
8 believe the seismic hazards are or what the range of hazards
9 may be in the Yucca Mountain area. As a lead in to the
10 following speakers who will then discuss the vulnerabilities
11 of various repository facilities and structures to seismic
12 hazards. So, this will be an introduction just to go over
13 what we believe the hazards may be in the Yucca Mountain
14 area.

15 I divided the talk into four areas. I'll discuss
16 in order preclosure ground motion, preclosure faulting
17 hazards, and then postclosure ground motion and postclosure
18 faulting hazards.

19 I'll start with the ground motion preclosure.
20 Basically, I'm going to give a different talk than we've
21 given in the past. I'm not going to talk about design basis
22 or how we calculated design basis. I'm merely going to talk
23 about bounding conditions; that is the worst case conditions
24 that would be of interest for you in discussing seismic vul-
25 nerabilities, the succeeding papers.

1 For this part of the talk, I'll be referring to
2 this slide here. Basically, what I've done is taken several
3 publications that are based mostly on remote sensing and
4 identified the major faults that we are concerned about in
5 the area for the purposes of this talk. Now, these are
6 rather generalized at this scale, but it gives us a basis for
7 looking at the location and amount of hazard that we are
8 facing. To go from faults to ground motion or earthquakes,
9 I've prepared a series of relationships using historic basin
10 and range earthquake data that relate fault length to seismic
11 moment.

12 The first of the several relations I'm showing
13 here, this relates length of fault zone. So, this is the
14 zone of rupture that occurs related to seismic moment. I've
15 also done something a little different in that I've related
16 cumulative fault length to seismic moment. So, this is the
17 cumulative length of ruptures whether they occur in parallel
18 or form a long zone. The reason for doing this is to be able
19 to evaluate the size of earthquakes that may occur or may
20 involve rupture on several faults that are parallel to one
21 another, rather than just a single fault forming along the
22 zone.

23 There are differences. For instance, this earth-
24 quake right here happens to be Hebgen Lake and it has a
25 rather short zone length, but when you consider the total

1 length, the cumulative length, of the ruptures, it moves over
2 into this area here. So, that will be my basis for predict-
3 ing earthquake size in the succeeding slides. I'll also use
4 maximum displacement related to seismic moment for predicting
5 earthquake size in the succeeding slides.

6 I'll go through several different scenarios or
7 models on the way earthquakes may occur in the area. The
8 first one I'll talk about is the one that's been talked about
9 most often and that's movement occurring on individual faults
10 without any co-seismic movement occurring on any of the other
11 faults, so that each of the faults is considered to behave
12 independently of the other. And, I've divided the faults
13 into four groups that I'll talk about; Paintbrush Canyon,
14 Solitario Canyon, Windy Wash-Fatigue Wash, and finally across
15 Crater Flat, the Bare Mountain Fault. So, using the rela-
16 tionships that I put up previously, I estimate the zone
17 length, or a cumulative length in some cases, of these faults
18 and used that to predict seismic moment and a moment mag-
19 nitude.

20 For the three faults or fault zones actually in the
21 Yucca Mountain area, I come up with maximum events or full
22 rupture length events, at any rate, of up to about moment
23 magnitude 6.8. I've also used displacement--that's 1.5 and
24 it didn't come through on the viewgraph--which is larger than
25 anything that John Whitney has currently found in his studies

1 out there as far as single event offsets as a maximum offset
2 and get about the same result, 6.8.

3 For Bare Mountain, if you look at the full length
4 rupture, 23 kilometers, you get an event of up to about
5 moment magnitude 6.5. However, if you look at Merith Reheis'
6 work, she postulates that there may have been a holocene
7 event on the fault with up to 1-3/4 meters of offset which
8 would be larger than would be apparently accounted for by the
9 length of the fault. So, we seem to have possibly some fault
10 length missing in that relationship.

11 And, that leads into my second scenario which is
12 that movement may occur on more than one fault at the same
13 time. There is some evidence that faulting has occurred on
14 several faults that at approximately the same time. Many of
15 the faults in the area have evidence for a holocene event.
16 Also, many of the faults in the Yucca Mountain area have ash
17 deposits within the fault zone that have been hypothesized to
18 indicate that the faults have all moved at the same time.

19 For this case then, what I've done is assume that
20 the full length of the Bare Mountain fault ruptures and at
21 the same time we have rupture occurring on the faults in the
22 Yucca Mountain area. I used two cases where I arbitrarily
23 selected 10 kilometers and 15 kilometers each for each of the
24 three faults, used the cumulative length in the cumulative
25 curve I showed, and come up with moment magnitudes of around

1 magnitude 7. So, this is another variation on possible
2 occurrence of earthquakes in the area.

3 A third scenario or model would be that the faults
4 in the Yucca Mountain area are related to Walker-Lane strike-
5 slip faulting. On this viewgraph then, I'm hypothesizing
6 that Crater Flat and Yucca Mountain are actually involved as
7 part of a larger strike-slip system, what has been called the
8 State Line Fault which is known in Pahrump Valley and Stewart
9 Valley as a significant strike-slip fault. And, for the
10 purposes of this discussion, I assume that the fault may
11 continue across the Amargosa Desert into Crater Flat and that
12 Crater Flat is really a pull-apart basin--say, similar to
13 Fish Lake Valley at the northern end of the Furnace Creek
14 Fault.

15 I was first intrigued by this possibility on a
16 field trip by Tom Sawyer a couple of years ago in Fish Lake
17 Valley where he showed this faulting pattern at the north end
18 of Fish Lake Valley where the fault dies out. And, what
19 struck me was the similarity to Merith Reheis' map on the
20 Bare Mountain Fault, particularly looking at these features
21 in here and features up at the top of the map here. Basic-
22 ly, the idea is similar to an idea by Lauren Wright put
23 forward in a paper a couple of years ago that you have a
24 significant strike-slip fault here at the State Line Fault
25 and pull-apart basins in Pahrump Valley and also a large

1 pull-apart type basin extending through the Amargosa Desert
2 and up into Crater Flat.

3 For the purposes of this presentation, I basically
4 just assume that there's a fault extending from Bare Moun-
5 tain. We know the Bare Mountain Fault is mapped to cross the
6 hills at the southern end of Crater Flat and exit Crater
7 Flat, but is not mapped any further south than Highway 95.
8 However, this area here is basically covered by very young
9 eolian and alluvial deposits. So, there may be some connec-
10 tion extending down through this area here. For the purposes
11 of coming up with some bounding values, I assume that the
12 entire length shown in yellow there represents a single event
13 rupture and that basically down in Ash Meadows you have a
14 segment boundary separating that from the rest of the strike-
15 slip system that's in Stewart Valley and Pahrump Valley off
16 the map to the south. When you do that, you can postulate
17 earthquakes up to moment magnitude of about 7-1/4.

18 You'll notice that I did not involve the Yucca
19 Mountain faults directly. So, again, looking at the apparent
20 synchronicity (sic) in fault movement, another possibility for
21 movement on these faults is that they don't occur at exactly
22 the same time, but movement occurs on several faults as a
23 sequence of events that are relatively closely spaced in
24 time. My model for that would be the Dixie Valley Earthquake
25 where in July and August there were two events of moderate

1 magnitude that were separated by about a month that occurred
2 over the range in the Carson-Sink area, and then about four
3 or five months later in December, we had two main events, two
4 larger events that were separated by about four minutes, the
5 main Dixie Valley and Fairview Peak Earthquakes. So, it's
6 possible that you could see the same pattern in the Yucca
7 Mountain area; that is movement occurs, say, on the Bare
8 Mountain Fault, followed or preceded closely in time by
9 events occurring on individual faults in the Yucca Mountain
10 area, so that you have a sequence of events.

11 Lastly, it's also been suggested that the Cedar
12 Mountain Earthquake of 1932 represents an analog to the Yucca
13 Mountain area where the distributed faulting that was in
14 evidence in 1932 would be postulated to occur as distributed
15 faulting along the several faults in the Yucca Mountain area
16 and that could also get a large earthquake by that mechanism.
17 To date, we haven't found the amount of offset in a single
18 event that would indicate that this has actually happened.
19 Craig Depolo indicates about two meters of offset in the
20 Cedar Mountain Earthquake and looking at historical earth-
21 quakes, the relationship between maximum displacement and
22 earthquake size seems to be fairly good. So, we would expect
23 that if this was the case, we would see somewhere in the
24 Yucca Mountain area evidence for a large single event offset.
25 To date, we haven't seen that, although it's still possible

1 that some strike-slip faulting has yet to be detected. In
2 any case, the Cedar Mountain Earthquake was a moment mag-
3 nitude event of about 6.8 or 6.9. So, it falls in the range
4 of the bounding conditions that I am proposing for consider-
5 ing seismic vulnerabilities.

6 In summary, bounding worst case events appear to be
7 in the range of moment magnitude 7 or 7-1/4 and that these
8 events would occur on faults that are very close to site
9 facilities, so that these facilities would be in the near
10 field for these events. Jay Merritt will talk about the im-
11 pacts of ground motion on underground facilities and Phil
12 Richter will talk about impacts of ground motion on the
13 surface facilities in the following talks.

14 Given these bounding events, it's important to note
15 that the probability of these events occurred or the
16 exceedance probabilities for these events is quite low. As a
17 rough estimate, we'd say into 10^{-5} to 4×10^{-6} range. This is a
18 result of the very long recurrence intervals and very low
19 slip rates that occur on these faults. So, when Phil Richter
20 talks, he will place those kinds of numbers in context with
21 current engineering practice for other facilities.

22 DR. ALLEN: Excuse me, Terry. Where do those probabil-
23 ities come from?

24 MR. GRANT: I estimated them basically just assuming the
25 standard Gutenberg-Richter relationship for occurrence of the

1 faults.

2 DR. ALLEN: Based on the local sites, it must be during
3 the last few years?

4 MR. GRANT: No, based on the slip rate and using a
5 moment release rate.

6 DR. ALLEN: Oh, slip rates on the local--

7 MR. GRANT: Right. I wouldn't follow the exact numbers
8 very closely. They're just a rough estimate. I don't want
9 you to focus on their numbers as consisting of a precise es-
10 timate of the return, but it would appear for an event this
11 large, you would have to get up into that range since the
12 probability of just having an event would be in probably the
13 10^{-4} range.

14 DR. REITER: These are annual probabilities, right?

15 MR. GRANT: Right.

16 And, finally, that we may not have just a single
17 earthquake occurring, but we may find that when an event
18 occurs, it actually occurs as a series of events on several
19 faults with time intervals between events as short as a few
20 minutes or as long as several months.

21 All right. Moving on to preclosure surface fault
22 rupture, we have two areas of concern, the surface facilities
23 and the underground facilities. Starting with the bottom
24 bullet first, the current designs for the repository, such as
25 the location for the north ramp, indicate that faults with a

1 potential for movement will be crossed by these facilities;
2 namely, the Bow Ridge Fault will be crossed by the north
3 ramp. Although the possibility of movement is not great,
4 these faults are not all that active, there is some potential
5 then for movement on the order of maybe 10 to 15 centimeters
6 in the preclosure period. Jay Merritt will be talking about
7 the vulnerabilities and design of underground facilities
8 through fault movement as part of his talk.

9 I'm going to talk about the surface facilities very
10 briefly since Bert Swan will follow me and give some more
11 detailed information on the current studies in Midway Valley.
12 Basically, all I'm going to say is that we don't have the
13 main trenching facility that we're going to use. Basically,
14 our primary strategy for the surface facility is to avoid
15 known faults where they occur and place our facilities in the
16 area where we believe faulting is absent. Our method of
17 doing this will be to excavate long trenches across the
18 facility location to demonstrate the presence or absence of
19 faulting. As I said, we haven't excavated these trenches
20 yet, but when we do, they can be quite extensive.

21 I don't know how well that will show up. This is
22 an aerial view of a project I worked on several years ago
23 where we wound up with about 5,000 feet of trench for basi-
24 cally the same purpose, looking at surface faulting. The
25 point I want to make in this talk--this is actually from that

1 other project--is that our main concern then is locating any
2 faults that are of interest. And, this resolves itself into
3 a concern with first detecting the fault and that in your
4 trenching study you need to have the stratification avail-
5 able--that is marker units or marker horizons--that are
6 distinct enough so that you can detect offset. In Midway
7 Valley, this will be then you need to look at the alluvial
8 units in the valley and the soils that are formed on those
9 units as marker horizons for detecting faulting.

10 Secondly, the concern is with the age of the unit
11 that you're looking at. Obviously, if you're looking at very
12 young units, you may be missing events that have a longer
13 recurrence interval than the age of the units you're looking
14 at.

15 Basically, in Midway Valley, we believe that site
16 characterization, trenching studies can provide the necessary
17 confidence in siting surface facilities. The degree of this
18 confidence will be a measure of the age of the units which we
19 believe will be several hundred thousand years old that are
20 exposed in the trenches. That is we'll be detecting any
21 event that might have occurred with an annual probability or
22 exceedance probability of 10^{-5} or 10^{-6} . Phil Richter will be
23 talking about surface design considerations with respect to
24 surface faulting and what we might do about them as far as if
25 special designs are necessary.

1 Moving along to postclosure ground motion, basical-
2 ly the faults haven't changed any, but our area of concern
3 has changed. Our primary concern will be with the engineered
4 barrier system and the performance of the system through
5 time. And, the other factor that needs to be considered are
6 the long performance period during the postclosure. We
7 actually have two periods; the 300 to 1,000 year substantial-
8 ly complete containment period and then the full 10,000 years
9 where we're interested in controlled releases from the en-
10 gineered barrier system. I'll be referencing all of my
11 subsequent discussion to 10,000 years. So, it's important to
12 note that we're not expecting absolute containment during the
13 10,000 year period. That we are allowing for failures to
14 occur in individual waste packages over that period. Our
15 main concern then is with not having a large number of pack-
16 ages fail all at one time.

17 Also of concern is that from a regulatory stand-
18 point we're not assuming that continuous monitoring and
19 repairs occur over this 10,000 year period. And, the reason
20 for mentioning this is that our main concern, when consider-
21 ing these long periods, we'll have to include a consideration
22 that more than one event will occur. That we shouldn't
23 consider just a single design event, but we need to consider
24 the possibility of cumulative damage occurring as a result of
25 several events scattered through this 10,000 year time per-

1 iod.

2 We've considered this in a paper by Rich Lee that
3 was presented at last spring's ANS meeting. What Rich did
4 was take the probabilistic hazard estimate from the URS/Blume
5 Reports and use that as the basis for considering the pos-
6 sibility of multiple events during the postclosure time
7 frame. This probabilistic estimate does include a factor
8 assuming activity on the local faults, although the method
9 that they use to do that is different than the presentation I
10 gave in the preclosure talk. But, at any rate, this is the
11 source for the consideration of multiple events. I should
12 point out that we did not put in any factor for attenuation
13 with depth. So, this is basically surface acceleration,
14 although we're applying it to the postclosure case.

15 Rich Lee used Campbell's Curve for attenuation to
16 come up with acceleration values. What Rich found was that
17 when you consider 10,000 years, the most likely number of
18 events that would exceed .4g was in the four to five event
19 range, and that when you considered then the cumulative
20 probability, even exceeding eight events in 10,000 years had
21 about a 10% probability. So, we feel that it is important
22 that engineered barrier system designs consider the occur-
23 rence of multiple events and not just the occurrence of a
24 single design event, and that probabilistic evaluations would
25 be the best method for coming up with the design basis for

1 the engineered barrier system in the postclosure.

2 Finally, I'll talk about postclosure of fault
3 rupture in the repository. Again, our concern is with the
4 performance of the engineered barrier system. Basically,
5 fault movement that would occur and intersect a waste package
6 and compromise the waste package by the fault impinging on
7 it. Again, our strategy, as with the faulting of the surface
8 facilities, is to avoid placing waste packages in locations
9 where we think faulting is a hazard and where faulting may
10 occur. If that is our strategy, then our main concern or
11 consideration has to be how well can we detect any faults
12 that we wish to avoid when we are underground, basically in a
13 repository drift looking at offset in 13,000,000 year old
14 tuffs? So, any method of evaluation we use will have to
15 consider the limitations that we'll have when you're in a
16 drift determining emplacement locations. That is you'll be
17 looking basically at the drift wall detecting apparent verti-
18 cal offset in 13,000,000 year old tuffs.

19 And, I don't have the final answer on that issue.
20 We'll need to do the ESF facility to get some of the answers
21 to the questions that are raised by this issue. But, I will
22 show sort of a method of looking at what the issues might be
23 and how you might think about them. What I'm showing here is
24 a plot that shows on the bottom scale here total fault dis-
25 placement in the Miocene tuffs that you would see in the

1 repository drift and that would be actually--it's the verti-
2 cal component of displacement and probability on the vertical
3 axis.

4 The first half of your concern then is what kind of
5 fault can you detect down there? What size fault can you
6 detect? This will be a function of the stratification that
7 you see in the drift wall. If you have very good stratifica-
8 tion, very sharp contacts, presumably you could detect very
9 small offsets. If you have a massive tuff unit with virtual-
10 ly no stratification and if the faults themselves are not
11 well-defined or cannot be separated readily from other frac-
12 tures and joints, then we may have a problem in detecting the
13 faults. But, what I'm showing here is just a hypothetical
14 value that you might get after you've done the ESF facility
15 and a look at what you're going to see down there and come up
16 with what you feel is your detection limit. For the purpose
17 of the example, I just picked a number. It happens to be 20
18 centimeters in this case here.

19 The other half of the concern then is what kind of
20 fault do you have to worry about? What size fault? What
21 amount of displacement on a fault would cause you concern?
22 First of all, you have to decide whether you're really con-
23 cerned about any of the faults. Are the smaller faults
24 actually capable of movement? We don't have a good handle on
25 that yet.

1 Bert Swan and the Midway Valley trenching and other
2 surface studies will give us some idea on the distribution of
3 faulting and whether movement occurs on the smaller faults or
4 not. For the purposes of this example, I'm just going to
5 assume that they do have some potential for movement. If
6 that's the case, then going again from the designs in the SCP
7 where we have an air gap around the canister, I'm looking at
8 then what's the potential for having displacement in excess
9 of five centimeters in 10,000 years that is closing the air
10 gap and possibly pinching the waste package itself?

11 But, what I've done and my assumptions are that the
12 slip history on these smaller faults that we'd be mostly
13 concerned about is proportional to the larger faults in the
14 area. That is if we have a Quaternary slip rate of .01
15 millimeters per year on a fault with 200 meters of Miocene
16 offset, then a fault with 20 meters of Miocene offset would
17 have 1/10 the Quaternary slip rate. I'm also considering
18 that all of these smaller faults are actually secondary
19 faults to the main faults in the area or the larger faults
20 and that when the larger faults move, the smaller faults may
21 move. However, not all of the faults would move in each
22 event. An individual fault may only move every fifth time
23 there's a major event on some of the larger faults.

24 Basically then, taking all this together, what you
25 can do is come up with a mean value of fault displacement per

1 event if you assume a given average time interval between
2 events and a given average slip rate. When you do that, you
3 can then assume some sort of distribution about that mean, as
4 far as the actual displacement that occurs, to give you that
5 average of mean offset and calculate a probability of exceed-
6 ing it. In this case, I simply used a normal distribution
7 about the mean, although you could use exponential or other
8 distribution.

9 So, basically, all I'm doing here is then showing
10 if you assume that faults move, the fault you're interested
11 in, at a given known Miocene offset, moves every 10,000
12 years, it would fall in this range here exceeding five cen-
13 timeters. If you assume it moves only every 100,000 years,
14 you move over and include this range over here. This is just
15 a means of looking at which faults we want to worry about.
16 As long as you have a gap between the two here, you have
17 confidence that you're detecting all the faults that you're
18 concerned about. If, however, your ability to detect is poor
19 and you start considering events with a much longer average
20 interval between--faults with a much longer average interval
21 between events, you may get an overlap which would indicate
22 there's some probability that you're not detecting all the
23 faults that you're concerned about.

24 In summary for all of this, something like this is
25 what I believe we'll come up with, although that will have to

1 be qualified until we get to the underground with the ex-
2 ploratory studies facility. And, it would appear that we
3 would really be concerned about faults with apparent vertical
4 displacements in the Miocene of about five meters or at least
5 several meters, which from an intuitive standpoint would also
6 be your conclusion since we know these faults have been
7 moving since the Miocene. That any amount of movement that
8 would occur on a fault that would be of significance would
9 have to have presumably a fairly significant amount of total
10 offset.

11 Now, that I've probably thoroughly confused every-
12 body, you can ask questions.

13 DR. ALLEN: Thank you, Terry. A good deal of food for
14 thought there.

15 Let me ask, first of all, if the members of the
16 Board or the consultants or staff have questions?

17 MR. GRANT: I did thoroughly confuse everybody.

18 DR. DEERE: I'm wondering what you and your colleagues
19 think will be the difficulty or the ease of detecting these
20 small faults underground looking at the core borings that you
21 already have? I would think, based on my experience, it
22 would be rather simple to--

23 MR. GRANT: It may be. It depends on what we see.
24 Looking at the surface exposures of the faults, we get a
25 fairly wide range from very narrow features to kind of dis-

1 tributed fracture patterns. I really wouldn't want to say
2 until we get down there in the ESF facility and get a chance
3 to look because we'll be so limited to a 15 or 20 foot high,
4 whatever the height of the drift is, slice, it depends on how
5 the fault is behaving at depth. If they're quite obvious, we
6 might not have any problem, at all.

7 If, on the other hand, they look a lot like the
8 fractures and joints down there and we have difficulty in
9 determining offset, if the units are not well stratified, it
10 may be more difficult or there may be more uncertainty at any
11 rate. In any case, it's important to remember that at least
12 in the 10,000 year time frame, our concern is not with total
13 containment, but there is a consideration that failures will
14 occur during that time frame from corrosion or seismic sour-
15 ces or other sources. So, there is a--we don't have to be
16 100% accurate in coming up with total containment. Our main
17 concern would be faulting that would rupture a large number
18 of waste packages in one event.

19 DR. ALLEN: Do I understand, Terry, that at least in
20 your current thinking you were willing to dismiss from con-
21 sideration any earthquake that was, say, greater than 7-1.4
22 of which the site would be within the near field?

23 MR. GRANT: Well, there's always some possibility of
24 larger events when you're dealing--talking about maximum
25 magnitude. You can always bump it up another notch for some

1 reason or another. At the moment, I don't see a source, a
2 fault that would seem to come up with magnitudes larger than
3 that, remembering those are moment magnitudes. So, those are
4 really pretty good size events. Depending on our studies,
5 though, we may come up with somewhat larger events, but I
6 would say that those are reasonable bounding events given our
7 current information on the size of earthquakes.

8 DR. ALLEN: I noticed on your map of potential faults
9 that might potentially break and contribute to that earth-
10 quake you didn't include the Ghost Dance Fault.

11 MR. GRANT: No, I didn't. That would be kind of a short
12 little secondary break if it is indeed active, probably
13 related to the movement on the other faults. As I said,
14 given the scale of those maps, I generalized them quite a
15 bit. So, there are other little potential breaks here and
16 there that could occur on other smaller faults.

17 DR. ALLEN: As I understood it, the way you were getting
18 this cumulative displacement, you were taking all these
19 little breaks and adding them up?

20 MR. GRANT: That's right.

21 DR. ALLEN: So, the more little breaks you have, the
22 longer your cumulative--

23 MR. GRANT: That's correct and I--again, I was gener-
24 alizing a bit. I did not show the very small faults. That
25 could bump you up a little bit, but I don't think it will

1 affect you too much.

2 DR. DEERE: What is the offset at the south end? Isn't
3 that over 100 meters?

4 MR. GRANT: On the Ghost Dance?

5 DR. DEERE: On the Ghost Dance?

6 MR. GRANT: Oh, no, it's much less than that. It's
7 probably around 10 meters.

8 DR. DEERE: I don't believe so, not from information
9 we've had presented earlier.

10 MR. GRANT: On the Ghost Dance Fault?

11 DR. DEERE: Yes?

12 MR. GRANT: 130 feet? Oh, that's right, about 30
13 meters.

14 DR. DEERE: 130 feet, okay.

15 MR. GRANT: 30 meters then.

16 DR. ALLEN: Who was contributing that information,
17 please? Mr. Mike Cline.

18 MR. GRANT: Oh, that's Mike Cline back there. Sorry.

19 DR. DEERE: About identifying the faults, because you
20 have not only the phenomenon of offset where you're looking
21 to see if you can see a bed displaced or another joint dis-
22 placed, but you also have the characteristics of continuity
23 of the faults and the little gouge on the side, the stria-
24 tions, often small seepages of water. Many of the faults in
25 the Nevada Test Site that we've looked at, time after time

1 they were damp or have water coming in and had a little gouge
2 and alteration in it--

3 MR. GRANT: The water coming in, of course, raises
4 another concern that it's possible that the faults will be
5 readily detectable underground. Until we get down there and
6 actually take a look at what we're dealing with, we want to
7 hold open the possibility that we want to look at this in
8 detail and be sure that we have the ability to detect the
9 faults we need to. But, it's quite possible we will readily
10 be able to detect the faults. At the moment, there's some
11 possibility that we may not. We just want to leave the issue
12 open for the moment.

13 DR. DEERE: I'd ask--

14 MR. GRANT: If your strategy is avoiding faults, that
15 has to be the question, though, that you look at, is can I
16 find the faults I need to avoid?

17 DR. DEERE: I'd like to ask Professor Cording to give us
18 his experience. About three years ago, he and I were in-
19 volved in four of the tunnels being excavated at the test
20 site and you spent many months out there, Ed. Did you have
21 any difficulty finding the faults?

22 DR. CORDING: We were working in the nonwelded tuffs in
23 G-Tunnel and we could quite clearly see fractures and faults.
24 They were really widely spaced in that case. And, you could
25 pick them out when you got to a fracture zone and there was,

1 in some cases, I think, there was movement on them, but we
2 had a very low frequency of any jointing at all there. So, I
3 think you can see some of the features. There's going to be
4 a lot more fracturing, I think, at the repository level
5 because there's more brittle material. But, I'm just kind of
6 wondering as to what size of offset or fault one is concerned
7 with? For example, for how long would a fault splay or a
8 push of a fault have to be before you'd say this is something
9 that could have significant movement on it?

10 MR. GRANT: Well, that's the reason why I went through
11 the little exercise I did at the last there. I would say
12 that we're really only concerned about faults that have
13 Miocene displacements in excess of about five meters, as far
14 as faulting during the postclosure time period. Those,
15 hopefully, would be readily detectable and we don't have a
16 problem. I'm not saying that we have a problem. We just
17 want to address the issue. We want to have a structure for
18 looking at it. We need to consider whether we can detect the
19 faults and then what kind of faults we need to detect.

20 DR. CORDING: You could certainly have very small en
21 echelon features with very small displacements out of it.
22 That really isn't what you're concerned with as much as the
23 potential for the larger--or something that's had larger
24 movements within a zone. I believe that sort of thing is
25 something one could start mapping across the facility and

1 define fairly well.

2 MR. GRANT: We would hope so, yes. Our main concern is
3 if you use the reference design is that you have a vertical
4 emplacement borehole that has about a 7-1/2 centimeter air
5 gap around the canister. And so, the reason I used five
6 centimeters was that was a round number we chose as to when
7 that air gap would be closed by fault movement substantially
8 and could start causing problems. So, we're probably looking
9 at displacements on the order of five centimeters as a
10 threshold of concern during the postclosure time period.
11 And, relating that back to how big a fault you'd have to have
12 that gave you a significant probability of having five cen-
13 timeters, I'd say you're up in the five meter or more range
14 of faults.

15 DR. DEERE: If this five centimeters turns out to really
16 be important, you probably would change your design.

17 MR. GRANT: Well, that's the other option is you could
18 look at other emplacement designs as Clarence talked about in
19 his introduction. Another way to address the issue, if
20 you're really concerned about it or felt that it was a sig-
21 nificant possibility of loss of containment due to faulting,
22 would be to alter your design concept for replacing the
23 canisters somehow.

24 DR. ALLEN: Other questions? Bert, do you have a com-
25 ment or question?

1 MR. SWAN: It was on the detection issue. It's so much
2 whether you have a fracture or fault. The problem is going
3 to be to quantify how much cumulative slip is on that fault
4 given the limited exposure and lack of marker beds and dis-
5 criminating fractures from faults that actually have slip on
6 them.

7 DR. ALLEN: If one could be assured that any fault of
8 less than five meters in total--was not going to be of con-
9 cern, that I suspect would be very comforting. But, I sus-
10 pect there are a lot of people that would question that.

11 MR. GRANT: You might.

12 DR. ALLEN: But, I wonder if I might ask people in the
13 audience here--Steve, certainly, you must have some comments
14 on this methodology? Steve, where are you?

15 MR. GRANT: He's thinking about it back there.

16 DR. ALLEN: Steve Wesnousky said he had no specific
17 comment.

18 MR. GRANT: All I was trying to do there was illustrate
19 what the concerns would be and how you might want to look at
20 them. That was not necessarily our only method for address-
21 ing the issue later on.

22 DR. ALLEN: We do have some time available. So, let me
23 encourage these people to speak up. Robin McGuire?

24 MR. MCGUIRE: Robin McGuire with Risk Engineering. I
25 would just ask for some clarification on the plots of log

1 probability versus log total fault displacement. I just
2 really am having trouble understanding what those portray.

3 MR. GRANT: Oh, the last ones I showed?

4 MR. MCGUIRE: In particular, two questions. What units
5 are there on the abscissa in terms of displacement and--

6 MR. GRANT: Oh, I'm sorry, that's in meters. I forgot
7 to put that on there.

8 MR. MCGUIRE: And, for those curves on the right hand
9 side, why--I understand what their level is, why their level
10 is at zero and -1 log probability. Why do they curve down?

11 MR. GRANT: Well, this is because as your total Miocene
12 fault displacement gets smaller and you're distributing that
13 displacement among a given number of events and your average
14 value per event gets smaller and if you look at that as then
15 a probability of exceeding a given number, five centimeters,
16 that probability drops off. I got a blank look. Do you want
17 me to try that again? It's a function of the total displace-
18 ment on the fault. That is as the fault gets smaller, you
19 have to have basically smaller events through time or else
20 you have a larger fault.

21 MR. MCGUIRE: So, you're saying as you go to the left on
22 the abscissa towards lower and lower total fault displace-
23 ments--

24 MR. GRANT: Right, that's what you're looking at down
25 here--

1 MR. MCGUIRE: --that one event every 100,000 years might
2 be of magnitude 4 that implies a half centimeter of displace-
3 ment? Is that the sense that you're portraying?

4 MR. GRANT: Yeah, I'm just looking at rates of displace-
5 ment here, and basically if you have a fault that has only
6 moved 10 meters in 10,000,000 years and you have events every
7 million years, then your average displacement is going to be
8 one meter. And, so your probability of exceeding five cen-
9 timeters is pretty high. But, if you then divide that up
10 into 100 events, your probability of exceeding five centi-
11 meters starts to drop because you're dividing that displace-
12 ment up amongst more events. So, your average displacement
13 per event is smaller. The probability of exceeding any given
14 value is low.

15 MR. MCGUIRE: All right. That implies the event is
16 smaller and smaller, too?

17 MR. GRANT: Right.

18 MR. MCGUIRE: Okay. All right.

19 MR. GRANT: Now, I'm assuming these are not acting
20 independently, that they're really secondary faults that are
21 moving in response to a larger event occurring on some of the
22 larger faults in the area. They're not little independent
23 faults all on their own.

24 DR. ALLEN: Bob Kennedy?

25 DR. KENNEDY: I'd like to get a clarification on one

1 point. During the presentation, you indicated there would
2 likely be in a 10,000 year period multiple events of .4g
3 ground motion. Would there be potentially multiple events of
4 fault movement on any one fault in that period? In other
5 words, are we really worried about five centimeters per
6 movement or is there a chance for multiple movement on a
7 fault?

8 MR. GRANT: There's a chance if you particularly recon-
9 sider that events may cluster in time. If you consider
10 they're more random, it's pretty low because the event recur-
11 rence intervals are quite long. One of the things you'd have
12 to consider is--which I did not in the presentation I made--
13 is that multiple events may occur if you have clustering of
14 events and they're not randomly distributed. If that hap-
15 pens, then you'd have to add up the total that you get from
16 each of the events and it might be a little larger.

17 DR. ALLEN: Don't forget about the rocks that are
18 13,000,000 years old.

19 DR. KENNEDY: I know.

20 DR. ALLEN: So, we're looking at something accumulated
21 over 13,000,000 versus 10,000.

22 Kevin Coppersmith had a comment or a question.

23 MR. COPPERSMITH: I'm Kevin Coppersmith of Geomatrix. I
24 just had, Terry, two questions basically. The first deals
25 with the issue of slip rate. I think the key cornerstone of

1 any of the evaluations of recurrence intervals or the proba-
2 bility of occurrence of either the ground motion or the fault
3 displacement has to do with these assessments of the slip
4 rate. You said those are the primary constraints on the
5 frequency of occurrence of earthquakes on these faults?

6 MR. GRANT: It's also something we can measure out
7 there.

8 MR. COPPERSMITH: Exactly. But, I think the question
9 that I have deals with that assessment. What assumptions or
10 what data that you used to arrive at those slip rates at this
11 point? Are they all based on post-13,000,000 year old dis-
12 placement or do you have or are you using information on
13 Quaternary of more recent slip rates?

14 MR. GRANT: Well, John Whitney is here. Basically, the
15 slip rates I'm using are the Quaternary slip rates that are
16 based on the work by John Whitney at the Windy Wash trench
17 and, more recently, Busted Butte--over on Bare Mountain. So
18 that the slip rates are not averaged over 13,000,000 years.
19 They're Quaternary rates which are actually different than
20 what you'd get if you did an average over the entire period.

21 MR. COPPERSMITH: Right. I think that's an important
22 point. I think it also is important when looking at--going
23 back to the concept of five meters or some sort of threshold
24 of displacement in a 13,000,000 year old unit. That five
25 meters or 10 meter displacement on a 13,000,000 year old unit

1 may not mean a thing if the slip rate has changed in the
2 post-13,000,000 year period. In fact, that's not unusual to
3 see a change in a lot of the--gone on show that there is a
4 change over that period.

5 MR. GRANT: We know that the slip rates apparently have
6 changed through time in that the Quaternary rate that we see
7 is different than what we'd see for the full length of the
8 13,000,000 year period. What I did in constructing the whole
9 thing, what I did there was I assumed the Quaternary rate was
10 the current rate, not the average rate over the full
11 13,000,000 years and I used that to proportion out for
12 smaller faults what the slip rate might be. I assumed that
13 the history was proportional, whatever the history was.

14 MR. COPPERSMITH: Okay.

15 MR. GRANT: And, we know that a lot of displacement
16 occurred on these faults in the Miocene while the tuffs were
17 being deposited. The work by Will Carr and Bob Scott indi-
18 cates that with local unconformities, angular unconformities,
19 that a lot of the offset in these faults occurred in the
20 miocene during the period that the tuffs were being
21 deposited. So, that's another reason for saying that we
22 probably don't need to be concerned about a lot of movement
23 on one of these smaller faults since we know or have a pretty
24 good indication that the faults have been moving throughout
25 this time frame or at least during portions of the 13,000,000

1 years. And, that some, probably, fairly large component of
2 whatever total offset we see belongs back in the Miocene
3 rather than in the Quaternary.

4 MR. COPPERSMITH: Okay. The other question has to do
5 with the preclosure ground motion assessment, looking at your
6 various scenarios for rupture on Bare Mountain, essentially
7 getting into maximum earthquake and so on. In those
8 scenarios where you have synchronous movement on the Bare
9 Mountain, as well as faults in the immediate site vicinity,
10 as you know, most ground motion continuation laws use closest
11 distance to seismogenic rupture or something like that to
12 assess the ground motion level. In this case, when you have
13 these types of ruptures--let's say, your third scenario with
14 the Bare Mountain ruptures and Solitario Canyon, Bow Ridge,
15 and some others, and the Paintbrush Canyon in the nearby site
16 region also rupture, are they seismogenic ruptures occurring
17 in the immediate site region? Is there seismic energy
18 released or is it essentially an earthquake occurring at 15
19 or 20 kilometers on Bare Mountain and just sympathetic non-
20 energetic rupture in the immediate site vicinity? There's a
21 big difference to ground motion.

22 MR. GRANT: I realize that. I don't know that we have
23 an answer to that right at the moment. But, for the present,
24 I think we'd have to assume that they're seismogenic and that
25 would impact your design basis for the facility. So, at the

1 moment, I think we'd have to consider them seismogenic.

2 DR. ALLEN: What's your answer?

3 MR. COPPERSMITH: To me, I would think that basically
4 the geologic record is if those faults are active and showing
5 activity they would have to be assumed to be seismogenic.
6 So, the near field--you can say it's near field with the
7 difference between 15 to 20 kilometers--the Bare Mountain
8 versus within two or three or one kilometer is a big dif-
9 ference.

10 MR. GRANT: Oh, well, I realize that. I generalized the
11 near field because we have a lot of facilities that are
12 scattered over an area and I didn't want to give specific
13 distances from specific faults to any specific facility
14 because it will vary, but they are particularly for like the
15 Paintbrush Canyon Fault and the Solitario Canyon Fault. You
16 are very close to a lot of your facilities and you are
17 definitely in the near field, the very near field in some
18 cases.

19 DR. ALLEN: Jay Smith?

20 MR. GRANT: Boy, I thought I was going to get off easy
21 there and then everybody started coming up with their ques-
22 tions.

23 MR. SMITH: Two questions. First, what is your current
24 expectation of the spacing between faults that might be found
25 either at the surface facility and in the subsurface facil-

1 ity?

2 And, secondly, you've talked about avoiding the
3 hazard by avoiding the faults. What approaches will you be
4 considering for determining how much setback or how much dis-
5 tance by which you will avoid particular faults?

6 MR. GRANT: In answer to your first question, actually
7 I'll let Bert answer it for the surface facilities because
8 he's up next as far as his expectations there. In the under-
9 ground, I don't know that we have a good handle yet. All we
10 have is the surface mapping. With the limited exposures,
11 we'd probably find more faults in the underground than we
12 currently know about in the surface mapping. The spacing,
13 I'm not quite sure what that will be. I don't think it will
14 be that many significant offsets from some of the work that
15 we've done on a technical assessment of the--when we were
16 doing shafts, we had a technical assessment and looked at
17 that area. There did not seem to be many faults, other than
18 the Ghost Dance in that particular area when we looked at it.
19 But, as far as very small faults, there are probably some
20 number down there. We really wouldn't care to hazard a guess
21 until we're down there with the ESF facility.

22 MR. SMITH: What about an order of magnitude guess?
23 Would it be meters, tenths of meters, hundredths of meters?

24 MR. GRANT: Oh, between faults? What size fault?

25 MR. SMITH: Well, I'll add that question to my list.

1 Well, obviously, Terry, the problem in an area where there
2 are numerous faults is the fact that the farther you stay
3 away from one, the closer you approach another. And, there
4 needs to be some criteria for obviously identifying those
5 that require first a setback and then those that require more
6 or less setback.

7 MR. GRANT: Your second question, the setbacks, we
8 really haven't come up with any set criteria on setbacks yet.
9 I would largely depend on again what we see the character of
10 these faults is, whether they occur as rather distributed
11 zones or very well-defined zones. And, it may be a case-by-
12 case basis.

13 MR. SMITH: I expect so and I think I would acknowledge
14 Bert Swan's statement that it's the quantitative determina-
15 tion for each of these faults as they're identified in the
16 subsurface that might be the toughest problem.

17 DR. ALLEN: I think we perhaps better move on here.

18 MR. GRANT: All right.

19 DR. ALLEN: All of these same questions we can and will
20 return to tomorrow afternoon if anybody wishes to do so.

21 MR. GRANT: The next speaker is Bert Swan who is going
22 to give us an update on the preliminary work on surface
23 faulting hazards in Midway Valley.

24 MR. SWAN: Okay. Our topic is the status of the ongoing
25 investigations in Midway Valley. I'd like to just comment

1 it's nice to be talking about ongoing, as opposed to planned
2 investigations for a change, and emphasize the fact that they
3 are ongoing. So, the results are preliminary.

4 The Midway Valley studies are part of site charac-
5 terization plan study for evaluating the location and recency
6 of faulting near the prospective surface facilities in Midway
7 Valley. The study plan consists of two activities. The
8 first activity consists of mapping the Quaternary deposits,
9 the soils, geomorphic surfaces in Midway Valley--that to
10 provide a tool for assessing fault activity. It also in-
11 cludes excavation of soil test pits to characterize the map
12 units we delineate. And then, the excavation and logging of
13 exploratory trenches to investigate any possible fault re-
14 lated features that would be in the vicinity of the surface
15 facilities. The objective of that Activity 1 would be to
16 identify locations within Midway Valley where late Quaternary
17 faulting is absent and then that would be the proposed loca-
18 tions for the surface facilities.

19 Activity 2 is primarily a confirmation phase, as
20 Terry described earlier, through the excavation of long con-
21 tinuous trenches in the immediate vicinity of the foundations
22 of the prospective facilities to document the presence or
23 absence of faults. If faults are encountered, then they
24 would also be the excavation of some supplemental trenches to
25 investigate those faults and to quantify what that hazard is.

1 The primary objective though is to pick an area that's free
2 of hazardous faults.

3 Okay. This is a generalized geologic map of Midway
4 Valley. The area outlined in blue here is the conceptual
5 repository boundary, Midway Valley located in this area. The
6 dark blue line delineates the area that we've conducted a
7 detailed quaternary mapping in and we've completed a prelimi-
8 nary map which is published and coming out as a SAND report.

9 The area shown in red here is the reference concep-
10 tual site for the surface facilities identified by Neil on
11 the east flank of Exile Hill. This is an aerial view of the
12 Midway Valley area, the crest of Yucca Ridge through here,
13 Exile Hill in this area. This is the area of the reference
14 conceptual site. Midway Valley is an alluvial filled valley
15 and it's bounded on the east by the Paintbrush Canyon Fault
16 along this area in here and on the west by the Bow Ridge
17 Fault up through this area.

18 I'd just like to briefly summarize the units we've
19 described in the Quaternary geologic mapping. In the prelim-
20 inary map, we've just arbitrarily designated these units from
21 oldest to youngest. To the oldest being one up through the
22 youngest. We've identified seven major alluvial fan and
23 terrace surfaces. Also, identified a previously unidentified
24 remnant of an older, either lower Pleistocene or Pliocene
25 terrace that occurs in a single outcrop. Also, delineate

1 areas of bedrock or bedrock covered with undifferentiated
2 colluvium. We have not attempted at this stage in the mapp-
3 ing to break out the colluvium units, although in the field
4 we can recognize different age colluvium units that correlate
5 with our alluvial fan surfaces.

6 The paper that's coming out or in preparation by
7 Taylor and others based on the direct age dating regional
8 correlations, they've defined some Quaternary boundary dates
9 for the deposits in the Yucca Mountain or Nevada Test Site
10 area. Within Midway Valley, the surfaces we have to work
11 with range in age generally from middle Pleistocene up
12 through latest Holocene. Some of the basin fill deposits
13 themselves may be Plio-Pleistocene in age, but the surfaces
14 we generally feel range from, as I say, middle Pleistocene
15 and younger or age of about the Bishop Ash on up to the
16 present.

17 This is just on this side just a generalized geo-
18 logic map of Midway Valley. Here's Exile Hill in this area,
19 the reference conceptual site, Bow Ridge Fault which is the
20 feature we investigated in our first exploratory trench.
21 This box is the area of the detailed area Quaternary map in
22 this area. And, what I'll be talking to you about later is
23 the results from our first exploratory trench, Trench A/BR-3,
24 north of Exile Hill which lies across the map trace of the
25 Bow Ridge Fault and across some vegetation alignments.

1 I want to illustrate here is, in terms of the
2 stratigraphy, the oldest surface we have to work with in the
3 vicinity of Exile Hill and the reference conceptual site is
4 our Unit 3 alluvial fan surface. We picked this site, one,
5 because it was across the trace of a known quaternary active
6 fault, and secondly, because it's in similar age and charac-
7 ter materials that we expect to find at the reference concep-
8 tual site itself, our Unit 3 alluvial fan surface.

9 If we look at a schematic cross section--and this
10 is not in the packet, but a copy of this viewgraph is on the
11 back table there for those that want it. If you go north of
12 Sever Wash, north of Exile Hill, the stratigraphic relations,
13 we see a series of inset terrace surfaces below our Unit 1.
14 This is equivalent to the Swadley-Hoover Unit QTA and then
15 successfully younger inset terraces below those. It's at
16 this Sever Wash these terraces grade to a series of alluvial
17 bands and the oldest surface south of Sever Wash in the
18 vicinity of the reference conceptual site is this Unit 3
19 alluvial fan surface.

20 This is a detailed topographic map showing some of
21 the lineaments we've identified in the vicinity of the refer-
22 ence conceptual site in the northern part of Midway Valley.
23 This is Exile Hill, and this area for reference, Trench 14
24 here. This is the trench we've excavated and I'll talk about
25 the results of that in just a moment. The alignment along

1 here is the proposed trench and location of soil test pits
2 which we plan to be excavating during this next phase.
3 Beginning in February, we hope to excavate a number of soil
4 test pits to calibrate what materials will be encountered in
5 the area of the reference conceptual site and then we staked
6 out an alignment for the continuous trench which goes through
7 the prospective surface facilities and the area of the pros-
8 pective surface facilities. And, in February, we plan to
9 excavate the western part of that trench.

10 I'd like to devote the rest of the talk on what we
11 found to date in the one trench we have completed, the Trench
12 A/BR-3. As I said, it's along the map trace of the Bow Ridge
13 by Scott & Bonk. In this area, the map trace is not based on
14 any direct outcrop evidence, but was based on interpretation
15 of aeromagnetic data and an electromagnetic survey. We've
16 identified several weak vegetation lineaments along this same
17 alignment and along the projection of the last outcrop ex-
18 posure of the fault which is in the suite of Trench 14, suite
19 of exposures in the Trench 14 trenches.

20 Now, this is a generalized cartoon of that based on
21 the detailed logging we've done on that trench. Oh, I didn't
22 talk to this photo. This is an aerial view, oblique aerial
23 view, looking south along the Bow Ridge Fault. Trench Area
24 14 is in this area here and then the Unit 3 alluvial fan
25 surface, remnants of it in this area, that surface wraps

1 around Exile Hill to the area of the reference conceptual
2 site located over in this area here.

3 DR. ALLEN: Bert, prior to the excavation of Trench 14
4 and those trenches adjacent to it, was there definitive
5 evidence of a fault there?

6 MR. SWAN: There is a weak topograph--or linear scarp
7 associated with it. I mean, it's very degraded and subdued,
8 and if we go back to the lineament map, there are a number of
9 tonal contrasts, break and slopes, vegetational alignments
10 coincident with a fault. The fault is pretty well defined on
11 aerial photographs down through here. The expression of it
12 on aerial photos the north end of Exile Hill is almost non-
13 existent and we have identified some lineaments, but they're
14 very weakly expressed. You can't identify them on the
15 ground. You have to use the 1 to 6000 aerial photos and then
16 actually locate yourself by individual bushes to identify
17 where it is when you're on the ground.

18 I should also comment on the approach used in
19 drawing these lineaments. These are not all features sus-
20 pected of being Quaternary faults. We took a very conserva-
21 tive approach and anything that could be construed as a
22 lineament that we could not conclusively rule out as being a
23 cultural feature was a line drawn on the map. So, the objec-
24 tive there was to draw it--draw anything that could be con-
25 strued as a lineament so we wouldn't miss some features.

1 Okay. The trench is about 105 meters long going
2 from east to west. The area of the photo lineament is shown
3 in orange in this area in here and the map trace of the Bow
4 Ridge Fault by Scott & Bonk goes through the trench in this
5 area. We identify three principal stratigraphic units in
6 this trench which we arbitrarily numbered and we used Roman
7 Numerals instead of Arabic numerals in this case to hopefully
8 avoid confusion between our mapping and the trench mapping.
9 The oldest being identified as Unit I is a crudely stratified
10 to moderately well stratified alluvial fan deposit in the
11 lower part of the trench. It's a well developed Stage 5
12 calcic soil developed on this unit which is indicated here by
13 the blue. That unit has been truncated by erosion overlain
14 by younger alluvial fan deposits, coarse grain alluvial fan
15 deposits, that grade up to the present surface and this unit
16 includes the eolian cap associated with that surface.

17 And then, in the east end of that trench, Unit II
18 has been cut--there's a cut and filled channel that cuts out
19 Unit 2 and we have a third or our Unit III younger alluvial
20 surface. That's more clearly illustrated in the detail log
21 here where we have our Unit I alluvial fan, crudely strati-
22 fied, a number of cut and fill channels on the eastern end of
23 it. That was capped by well developed end paleosol, trun-
24 cated by erosion. Unit II in this area and then the inset,
25 Unit III, in that area. The geologic unit that corresponds

1 to the map surface would be this Roman Numeral Unit II.

2 If we look at more detail in the central part of
3 that trench, this area through here, again we have the lower
4 unit, crudely stratified alluvial fan deposits. You can
5 actually map out fine grain beds within this. We've got the
6 calcic soil and then the erosional unconformity between our
7 Unit I and Unit II and then the younger alluvial fan deposits
8 overlying that. We see no evidence for any displacement or
9 faulting of any of these units through this reach or through
10 the entire length of the trench.

11 And, just to sort of clarify the correlation be-
12 tween our log units and the trench exposure versus our geo-
13 logic mapping, I reiterate we have three primary strati-
14 graphic units exposed in the trench. Unit II correlates to
15 the surface that we mapped in that area or our alluvial fan
16 unit surface in this area. In terms of correlations, our
17 Unit I, we feel, correlates with our alluvial fan surface 2
18 which is just slightly inset below Swadley-Hoover's QTA
19 surface or our Unit I which we feel is middle-Pleistocene in
20 age. This is the one that has the well developed Stage 5
21 calcic soil on it. Our Unit 3, we feel, is late Pleistocene.
22 It has a well developed textural B horizon with accumulation
23 of clays, carbonate, and silica. We feel it's probably lower
24 late Pleistocene in age approaching Oxygen Isotope Stage 5e.
25 So, if I put, just off the top of my head, a number

1 age on it, we're probably looking at something 70,000, plus
2 or minus 30. I think that would be a conservative age es-
3 timate on it. And then, the youngest cut and fill channel on
4 the east end of that trench which is Holocene to late Pleis-
5 tocene in age.

6 DR. ALLEN: How then does all the vein material and so
7 forth or whatever it is we see in Trench 14--how does it
8 relate to this?

9 MR. SWAN: The vein material is probably equivalent in
10 age to this and older. There is carbonate precipitation
11 associated with the soil on the Unit 3. The carbonate pre-
12 cipitation is ongoing and even going on today. The bulk of
13 it pre-dates the erosional unconformity and is associated
14 with our Unit 2 surface, but it is ongoing. It's a complex
15 soil exposed in the trench where we see younger soil forming
16 processes, as superimposed on the older ones, but there is
17 clearly an erosional unconformity between the two units in
18 places that's matched by the carbonate precipitation and
19 soil--

20 DR. DEERE: Could you go back for a moment to the plan
21 view that shows the location of this A/BR-3 with respect to
22 Trench 14?

23 MR. SWAN: This figure?

24 DR. DEERE: Yeah?

25 MR. SWAN: Okay. Actually, I should have thrown this

1 up. That's the explanation that goes with that figure.

2 DR. DEERE: Where did it go? The Bow Ridge Fault?

3 MR. SWAN: Pardon? Oh, you mean, where does it go?

4 DR. DEERE: Um-hum?

5 MR. SWAN: Well, I haven't gotten to my conclusion here,
6 but--

7 DR. DEERE: Oh, I'm sorry.

8 MR. SWAN: But, not finding it in the trench, I mean it
9 begs the question where does it go if it isn't here? We have
10 basically four options. It either goes east, west--it
11 doesn't make it or it makes it with a resolution. The dis-
12 placement could be dying out just as the topographic relief
13 of Exile Hill dies out. And, the fourth explanation would be
14 that it does continue on through this area, but below the
15 threshold of detection which was the point I was going to get
16 to in the summary and conclusions here.

17 DR. DEERE: Those pink shaded lineaments, those were
18 vegetation lineaments?

19 MR. SWAN: Not all of them. The ones marked in V are
20 vegetation; BIS, break and slope; LD, linear drainage; T is
21 the tonal contrast.

22 DR. DEERE: What's the one that cross the trench?

23 MR. SWAN: The ones that cross the trench are very weak
24 vegetation lineaments. I mean, you really--

25 DR. DEERE: And, on the section, could you see anything

1 there?

2 MR. SWAN: No. Through that part of the trench, those
3 lineaments go through this part of the trench and there's no
4 evidence of faulting, at all, through there. And, inciden-
5 tally, it gets what's our degree of resolution--maybe I
6 should just throw out the conclusions and then discuss it
7 further. But, the trench does cross to vegetative lineaments
8 and it crosses the map trace of the Bow Ridge Fault and the
9 map in this area not based on outcrop evidence, but based on
10 interpretation of the aeromag data and an electromagnetic
11 survey by Scott & Bonk. In Trench 14, the Bow Ridge Fault
12 displaces colluvial deposits that we would correlate with our
13 map Unit 3 and 4, or in the trenches, our Units I and II.
14 And, it's displaced by multiple events.

15 Taylor and Hutchins are putting a paper out now
16 where they interpret that there are two faulting events
17 within the interval of time represented by our Unit I in the
18 trench and pre-dating the erosional unconformity and then
19 another event post that. So, we're looking at the same
20 stratigraphic record or interval in time where we've had
21 three surface faulting events; yet, we see no evidence for
22 the faulting in the trench. Which gets to this bullet here
23 where the fault crosses the same age deposits as exposed in
24 Trench 14, but the deposits are unfaulted.

25 Our degree of resolution, it depends on what unit

1 we're talking about. If you're talking about the coarse
2 grain alluvial fan deposits themselves, our degree of resolu-
3 tion is anywhere from zero to 10 centimeters. You can ex-
4 press degree of resolution in two ways. What's the smallest
5 feature you think you could detect or what's the largest
6 feature that you think you might miss somewhere in the ex-
7 posure? And, it's the latter case that we're representing
8 here. We feel that in most places, we could detect very
9 small, one or two centimeter, features along the trench, but
10 in some areas we don't have as good stratification. If I had
11 to say what's the largest feature that could go through the
12 trench somewhere undetected in those alluvial fan gravels, it
13 would be somewhere on the order of 30 centimeters. So, less
14 that five to 30 centimeters.

15 If we're looking at the erosional contact at the
16 top of our geological map Unit 3 or at the base--at the top
17 of map Unit 2 or base of Unit 3, this is the well developed
18 calcic soil that's been truncated by erosion--that erosional
19 contact, we feel the degree of resolution for vertical dis-
20 placements is between zero and 10 centimeters. Most places,
21 we feel we can preclude any faulting going through there.

22 So, given the four working hypotheses, where does
23 the Bow Ridge Fault go, I think the least likely of those
24 four is that it goes through the trench undetected. I can't
25 absolutely preclude it, but we're looking at Trench 14 at

1 displacements on the order of 10 or 15 centimeters per event
2 and we're looking at a record of three events which fractured
3 this calcic soil in Trench 14 and it was readily apparent
4 there. My judgment is it doesn't go through the trench here.
5 So, we're left does it go east, does it go west, or does it
6 just not extend this far? If we have to resolve that issue,
7 the way to do it would be to back up closer to Trench 14 and
8 trace the fault out into this area. That would be the next
9 step if we had to resolve it. I wouldn't recommend, for
10 example, extending the trench further east or west at this
11 location.

12 DR. ALLEN: Well, Bert, on the basis of what you now
13 know about this figure here, what you see in the trenches,
14 are you optimistic that at the loading facility site that we
15 will be able to document the presence or absence of faults of
16 significance?

17 MR. SWAN: With the deposits we see in this trench, we
18 expect to find the same age deposits at or near the surface
19 in the area of the surface facility. In some cases, they're
20 going to be buried by thin, younger alluvial fan deposits,
21 but we expect to encounter them in the near surface and I
22 think we'll have comparable resolution. If we find this same
23 calcic soil going across that area, it's a good--it's our
24 best marker horizon. And, the age of that is--the uranium
25 dates that Emily Taylor gets out of Trench 14 puts it in the

1 age bracket of a half million to 250,000 years for the Unit
2 2, but the overlying unit is younger than that and probably
3 somewhere around Oxygen Isotope 5e of about 100K.

4 DR. ALLEN: So, basically, you're optimistic that we
5 will be able to establish the presence or absence of--

6 MR. SWAN: Yes. And, our resolution is going to be on
7 the order of a few centimeters. In a worst case scenario, it
8 may be 20 or 30 centimeters.

9 DR. ALLEN: Other questions from the Board? Steve?
10 Steve, would you go to a microphone, please?

11 MR. WESNOUSKY: Bert, with respect to resolution, is it
12 worse if it's a strike-slip fault in predominant mode?

13 MR. SWAN: I labeled it as vertical displacement. In
14 these coarse grain gravels, it's going to be difficult to
15 detect a pure strike-slip movement. If we had a significant
16 one, a meter or more, I'm confident we'd see it. We'd see it
17 in the fabric and the gravels and the fracturing of the
18 calcic soil. But, in terms of very minor amounts of strike-
19 slip, we don't really have the ability in this without--until
20 we find a--if we find a fault we can do lay backs, inves-
21 tigate it, and come up with estimates of the amount of
22 strike-slip. But, trenching in an area where we don't see
23 any faults, it's hard to say there's zero lateral slip com-
24 ponent going through there. If we look at how these faults
25 are behaving, the Paintbrush Canyon Fault and the Bow Ridge,

1 they all have a predominant vertical component. They have
2 lateral component also. But, the dominant component is
3 vertical and we can resolve that.

4 DR. ALLEN: Other questions or comments?

5 (No response.)

6 DR. ALLEN: Okay. In that case, thank you, Bert.

7 We'll take a break now for 20 minutes until 10:40.

8 (Whereupon, a brief recess was taken.)

9 DR. ALLEN: Okay. May we reconvene, please?

10 Ardyth, do you wish to introduce your next speaker?

11

12 DR. SIMMONS: Yes. The next speaker will be Jim Phil-

13 lips with SANDIA National Laboratories. Presently, Jim is

14 working on assessments for transportation of hazardous

15 material produced by the Defense Waste Programs. And, in the

16 past, he's had extensive experience in analyzing ground

17 motion for underground nuclear explosions.

18 Jim?

19 MR. PHILLIPS: Thank you.

20 The presentation I'm going to give today presents

21 the results of an experiment that was conducted a few years

22 ago in the tunnels of Rainier Mesa in Area 12 of the Nevada

23 Test Site. The primary motivation for this experiment was

24 the need to obtain the behavior data on the dynamic behavior

25 of tunnels at ground motion levels of interest to the Yucca

1 Mountain site characterization project. The event that this
2 experiment was fielded on had a body wave magnitude of 5.0 as
3 determined by the USGS and it was approximately half a kilo-
4 meter away from the source.

5 A fairly large body of tunnel response data exists.
6 Observations of damage are generally linked with estimates
7 of ground motion rather than measurements. In the case of
8 explosion generated loading, the observations are generally
9 at ground motion levels much higher than of interest here.
10 In earthquake generated loading, there is no actual measure
11 of ground motion linked with damage observed. In general,
12 results that you can find in the literature show that damage
13 to tunnels resulting from seismic loading is less than sur-
14 face structures, and unless a fault intersects the opening
15 and there is motion along that fault, damage is usually
16 minor.

17 The experiment that we fielded was an imperfect
18 analog for the conditions at the potential repository in many
19 respects. It was conducted in an area where the rock type is
20 different from the Yucca Mountain. The compression dominated
21 ground motion generated by the explosion is different than
22 shear dominated ground motion that you find in earthquakes.
23 Tunnel support systems in or near Mesa are likely to be
24 different than that planned for the potential repository.
25 So, questions about the use of this data arise. For example,

1 how do the differences in rock type affect the conclusions?
2 Can tunnel response to underground nuclear explosion loading
3 be used to conclude anything useful to the Yucca Mountain
4 objective? I hope to supply some answers to those two ques-
5 tions.

6 The presentation and the material within this
7 presentation is based on a paper entitled "Tunnel Damage
8 Resulting From Seismic Loading" by Phillips and Luke. This
9 paper is contained in the Proceedings of the Second Interna-
10 tional Conference on Recent Advances in Geotechnical Earth-
11 quake Engineering and Soil Dynamics held in March of 1991.

12 The objective of this experiment was fairly simple.
13 We wanted to try to correlate measured ground motions with
14 observed tunnel damage. The experiment was fielded in this
15 particular tunnel. It was a horseshoe shaped tunnel lined
16 out with a tunnel boring machine. The tunnel was initially
17 driven with a tunnel boring machine. As it was driven, it
18 was reinforced along the back with 1.8 meter long rock bolts,
19 2.2 centimeter diameter. Those were placed in a random
20 pattern. Later, the corners were mined and the main rock
21 bolts were installed at that time. They were 4.9 meter long,
22 2.9 centimeter diameter rock bolts, nominally spaced at 1.2
23 meter centers. There was four to 10 centimeters of fiber-
24 crete lining sprayed around the outside of the opening from
25 spring line to spring line over the back. The fibercrete was

1 sprayed over the 5x5 centimeter mesh. Spring line on down,
2 the wire mesh was outside of the fibercrete. The host rock
3 in this particular tunnel is identified as a nonwelded ash-
4 fall tuff and the tunnel access was approximately perpen-
5 dicular to the direction of the incoming shock wave.

6 Here's a more detailed description of the experi-
7 ment itself. We chose a 12 meter tunnel section. In the
8 center of that section, we installed triaxial acceleration
9 measurements on the ribs, on the back, and the invert, and in
10 the free field. The free field gauge was nine meters below
11 the surface of the invert. The direction of loading is shown
12 here coming in towards the left rib. In the remainder of the
13 presentation, I will call this the rib closest to the shock
14 front and this is the rib furthest away, for obvious reasons,
15 I guess.

16 In addition, we had some permanent displacement
17 measurements where we used the rock bolts that were installed
18 on the 1.2 meter spacing. Tunnel convergence measurements
19 were made at anchors shown at the numbered locations here.
20 The objective of those measurements were to try to understand
21 how the dimensions might change as a result of the loading.
22 There were borehole observations made in two boreholes and
23 those were done pre- and post-test with a televiewer. In
24 addition, we had still and high-speed photography. The still
25 photography was used mainly as documentary and the high-speed

1 was used to--we digitized the information and compared that
2 to our measured ground motions from our accelerometers.

3 I was primarily responsible for the transient
4 measurements and the permanent displacements and Barbara Luke
5 was responsible for the convergence measurements and borehole
6 studies.

7 This is a photograph of the section pre-test. I've
8 done kind of a bad thing to you all here in that now we sort
9 of flipped it so that the incoming shock front is coming in
10 in this direction. This is where the photo-target is for our
11 high-speed photography. Our ground motion gauges are here,
12 here, here, and down in this area. Both the free field and
13 the invert gauge was over on this side of the track. This is
14 essentially the view that we have on our high-speed photog-
15 raphy which is what I'll show next.

16 As you watch this, you might keep in mind a couple
17 of things. At half a second before the detonation of the
18 device, the camera was started rolling. At the point their
19 detonation occurred, there will be a flash of light down in
20 this section of the picture, and at that point about 180
21 milliseconds later, you will see the incoming shock front on
22 this particular target. So, let me go ahead and--I hope this
23 will be visible. We had two cameras. I'll show both of
24 them. It's a redundant view. So, there really isn't any
25 difference.

1 (Whereupon, Mr. Phillips commented on a videotape of the
2 Tunnel Dynamics Experiment.)

3 DR. DEERE: Tell us about the golf balls?

4 MR. PHILLIPS: Well--

5 DR. DEERE: They were free to move which direction? It
6 looked like they were clamped in.

7 MR. PHILLIPS: Well, what we were concerned about was
8 that the lead brick was going to fall out of the frame before
9 we actually got the motions. We wanted to maintain some kind
10 of a reference so we could digitize that film. So, the
11 technician came up with kind of a clever answer, I thought,
12 in that he put in a couple of PVC pipes with the two colors
13 of golf balls. As the brick dropped, it pulled a couple of
14 pins out from the PVC pipe and then the balls fell down and
15 they were allowed--you know, there was a slight incline into
16 that. He ran two or three kind of dry runs, if you want to
17 call them that, to make sure that the rate of that fall or
18 stream of golf balls would give us kind of what we thought we
19 would need. We received a lot of ribbing from the fellows
20 down in the tunnel about that, but those particular golf
21 balls became quite the souvenir after the test was conducted.
22 Everybody wanted to take those home with them.

23 So, that's a pre-test on the right, post-test on
24 the left. Basically, what we saw was that the rib closest to
25 the shock front, incoming shock front, showed some degree of

1 cracking and distress along this fibercrete reinforcement.
2 You see some of that as you go up towards just about the vent
3 line here. There are a few cracks up along the back. As you
4 come down over here on the other rib, you'll see that there
5 is no apparent sign of any damage. If we look at the rib
6 that was furthest away, pre-test is the one with the fire
7 extinguisher, post-test doesn't have a fire extinguisher.
8 There really is no apparent damage in terms of anything on
9 the surface of that particular rib.

10 We look at the other rib and we'll get a sense of
11 some of the kinds of things that we saw with this being
12 really the most visible element of damage. There was one
13 other thing that I wanted to point out. Here, you noticed
14 all of those white chips kind of flying all over the place
15 and the perspective of the camera would lead you to believe
16 that those could have been some fairly large chips, but
17 bottom line is this is kind of the rubble that you see down
18 there and it's all fairly small and so it wasn't as big as it
19 appeared on the film.

20 So, the assessment based on our photography and
21 from the borehole work that was done was that there was very
22 minor surficial damage. Borehole inspection supports the
23 assessment. Marked differences in the near surface condi-
24 tions appeared. On the rib closest to the event, apertures
25 of pre-existing fracture increased by as much as three cen-

1 timeters. On the other rib, a new fracture five centimeters
2 wide appeared parallel to the opening. Noticeable changes,
3 however, were limited to within 6/10 of a meter of the tunnel
4 surface.

5 Okay. Additional results from our permanent dis-
6 placements of the rock bolt markers that we had used, as well
7 as the gauge. We used our gauge bounce as permanent dis-
8 placement markers. Essentially, I've done it to you again.
9 I've changed my direction of loading. We're now coming in
10 this way. Essentially, the unit appeared to move as a whole
11 somewhere on the order of five to six centimeters.

12 If we look at the tunnel convergence measurements
13 trying to look at how the dimensions of that particular drift
14 changed, this plot shows the change in those measurements
15 from 30 days prior to the event to 60 days after the event.
16 Zero time here means when the event went. Basically, what
17 you see here is that the maximum closure on that particular
18 section was at about 45 millimeters which is relatively
19 small. The overall dimensions were essentially six meters by
20 six meters.

21 In terms of the ground motions that were measured,
22 this is the free field, these are the free field ground
23 motions. We saw about 28g of acceleration, radial accelera-
24 tion. Maximum velocity was 2.3 meters per second, maximum
25 transient displacement was on the order of 13 centimeters.

1 And, the duration of the ground motion was somewhere between
2 eight and 10 seconds.

3 Okay. Basically, what we concluded from the
4 results of this particular experiment, we had a self-consis-
5 tent data set which we felt good about. We only observed
6 what we would call minor damage and we felt like the damage
7 that we observed was consistent with the case histories
8 present in literature. The major question remains though.
9 Are the results applicable to Yucca Mountain considering the
10 major differences that we have in source, geology, and the
11 ground motion levels? So, in an effort to try to get a
12 handle on that, we did some analysis.

13 Source differences, I'll talk about first. I
14 guess, the major ones that you would think of are the com-
15 pression dominated versus the shear dominated aspects of the
16 wave forms, the duration of shaking between a bomb source and
17 an earthquake source, and the frequency content of the two.

18 Hendron and others have found that the ratio of
19 wavelength of the motion to the tunnel diameter, if that's
20 greater than eight, then the problem becomes pseudo static.
21 And, if you have a pseudo static problem, then the frequency
22 of the ground motion is not really an issue. In this par-
23 ticular case, we had a wavelength to diameter ratio of 20.
24 So, that kind of addresses the frequency content.

25 Compression versus shear, we have a wave front that

1 has a large radius of curvature relative to the tunnel
2 diameter. We can treat that as a plain wave. If we make
3 some simplifying assumptions about the material, things like
4 it's an elastic homogeneous isotropic material, then we can
5 estimate strains as the ratio of particle velocity over media
6 wave speed. Dowding in a 1984 paper postulated that both
7 shear compression and shear waves induced circumferential strains
8 in tunnels and further postulated that the explosion data
9 could be used to predict earthquake response.

10 The duration of shaking issue, some work done by
11 McGarr in 1983 from South African experience with small
12 earthquakes and rock burst, he developed a model from which
13 you could calculate duration of shaking. If I used his model
14 to come up with an estimate of what a magnitude 5 earthquake
15 would produce in terms of duration of shaking and then com-
16 pared that to what we observed in the tunnel dynamics experi-
17 ment, and from that, that's where I get this estimate that
18 our duration of shaking of the major pulse is within a factor
19 of 2, what we would expect from a small magnitude 5 earth-
20 quake. Now, I don't want to give the impression that we feel
21 like we've simulated an earthquake here. We haven't. What I
22 think we have done is simulated a tunnel response that is
23 similar to what you might expect from a small earthquake in
24 the near field.

25 If we look at geologic differences, the repository

1 is a moderately to densely welded ash-flow tuff and it's
2 highly fractured. The tunnel dynamics experiment is non-
3 welded, partially saturated ashfall tuff. Rock type is
4 misleading because it's really not a true measure of the
5 behavior of the rock mass. What we're really interested in
6 is the rock mass behavior. At the time this particular work
7 was done, I chose to use the rock mass rating system of
8 Bieniawski and this kind of put these particular rocks on a
9 common basis. That particular rock mass rating system uses
10 strength, drill core quality, joint spacing, joint condition,
11 groundwater, and orientation to come up with a value. It may
12 have been more appropriate to use a rock mass modulus at that
13 time, but at that time I really didn't have the information
14 that I needed. I took these rock mass rating values from
15 Langkopf & Gnirk from a 1986 SAND report. Basically, I guess
16 the conclusions that I drew were that although these rocks
17 are vastly different in their description, that as a rock
18 mass they may be comparable in their behavior. And, if you
19 take further another leap of faith assuming that this rock
20 mass rating captures important aspects of the dynamic be-
21 havior, then if we feel that that experiment in the Yucca
22 Mountain material with the same tunnel that we had in the
23 tunnel dynamics experiment--I guess, what I'm trying to say
24 is our damage, we think, would have essentially been the
25 same.

1 Okay. I guess, the other thing we needed to ad-
2 dress besides the source and the geologic difference is the
3 magnitude of the motions. When we initially went to design
4 that experiment, we expected something a little less than
5 what we actually got. So, our ground motions in terms of
6 velocities are about an order of a magnitude greater than
7 what we had initially anticipated, and if you look at the
8 design basis that I took from RIB Version 4--again, at the
9 time I did this work, the design basis for the exploratory
10 shaft that had ground motions of .3g and .3m/s--well, we saw
11 28g and 2.3m/s. And, as an aside, that's a typo on the slide
12 and that's entirely my fault. I was given the opportunity to
13 proofread these and I just pulled a no-brainer and didn't get
14 that one. So, if you'd make that change, I'd appreciate it.
15 If you look at the design basis for the other facilities,
16 they're specifying something like .4g and again you compare
17 that to 28g.

18 If you look at a prediction of strains using these
19 philosophies that we recorded, then the strains that you
20 calculate from these motions are an order of magnitude less
21 than what the TDE had. And, what I'm--and, I guess this
22 picture kind of shows the comparison of the--the design basis
23 that's shown here that's specified as earthquake is out of a
24 Blume Report, a 1985 Blume Report, in which they provided
25 pseudo-relative velocity response spectra for various com-

1 ponents of motion. That's the orange dotted line there.
2 And, if you look at the tunnel dynamics experiment, it's
3 clear that we exceeded that by a fair amount.

4 So, I guess, in running to a conclusion, the first
5 one is that we feel like we've stimulated a tunnel response
6 similar to what you might expect in the near field region of
7 a small to moderate earthquake. Comparison of the rock
8 properties indicates that a similar level of damage would
9 have occurred in a tunnel constructed in the repository host
10 rock subjected to the same loading. I think that the bottom
11 one is probably the most important one to bear in mind. That
12 is the ground motions used for design of the repository
13 tunnels are likely to be much less than those observed in the
14 tunnel dynamics experiment. And, I think it's safe to say
15 that those motions can be accommodated in the design and
16 probably fairly easily accommodated in the design.

17 DR. ALLEN: Okay. Thank you.

18 Questions from the Board or people--Don Deere?

19 DR. DEERE: Yes. It's, I think, very noteworthy that
20 you had ground motions approximately 10 times those associ-
21 ated with the design ground motions. Is this correct?

22 MR. PHILLIPS: Correct.

23 DR. DEERE: And, yet, the amount of damage that you got
24 was just absolutely minor.

25 MR. PHILLIPS: Right.

1 DR. DEERE: This, I think, is in a great part due to the
2 very good support system that was used in the tunnel. But,
3 people don't realize and I think experience has shown more
4 and more that a system of rock bolts and shotcrete with mesh,
5 or in this case the mesh reinforced or the fiber reinforced
6 shotcrete, is a very tough system that can keep working even
7 though there's a considerable amount of additional force and
8 perhaps deformation involved.

9 I mentioned to you before at the coffee break an
10 experience we had in Washington. I happened to be at the
11 Nevada Test Site and got a telephone call that one of the
12 tunnels we were constructing in Washington Metro had just
13 suffered a collapse and could I get back fast and take a look
14 at it. I flew overnight and got in the next day and had the
15 chance to go directly from the plane to the failure and I
16 think what I saw was correct. The failure had taken place
17 because they had encountered a small fault, or at that time
18 we called it a shear zone, in the roof running, more or less,
19 sub-parallel to the tunnel and they were using rock bolts for
20 their support. And, as they followed it along for 15 or 20
21 feet putting rock bolts on both sides of the fault and cross-
22 ing them, they said, well, you know, this fault is not gett-
23 ing any better. Maybe we'd better change to steel sets,
24 circular I-beams or wide flange beams of fairly heavy size.
25 And, the tunnel opening would have probably been on the order

1 of 20 feet in diameter or something like that. But, when
2 they advanced a certain distance, the last rib that they put
3 in started to take some load, some blocks started to shift on
4 the side, and loaded that steel set so that it was getting
5 asymmetrically loaded and it started to twist. And, once it
6 started to twist, it had very low resistance. So, it then
7 passed the load or the rock passed the load to the adjacent
8 one and it started to fail. So, the failure that had taken
9 place the day before was progressing. One steel rib contort-
10 ing, failing, coming down, and the next. It just kept work-
11 ing back. And, the miners said it was just amazing to see
12 this thing fall every five minutes to 15 minutes, another
13 failure, another failure, another failure. Considered to be
14 very strong support. It came right back to the rock bolts
15 and all motion stopped and we had a very, very stable struc-
16 ture. And, I think Jay Merritt will probably tell us about
17 some of the rock bolt tunnels that were used out here in Hard
18 Hat, was it, Jay, that behaved extremely well, even better
19 than some of the steel ones.

20 So, my point is this. Where you have the ground
21 motions, where you have some idea of the geology and the rock
22 quality, you're able to relate with a reasonable degree of
23 certainty the behavior under these ground motion parameters.
24 But, if we go to the literature and we look about tunnels
25 and earthquakes, what you find is, well, we don't really know

1 for sure what kind of support to use, but there was a
2 moderate failure effect. Well, many of these tunnels are 10
3 miles long and there may have been rock falls at fault zones,
4 but those have not been recorded. The degree of support,
5 whether it was very well supported or whether steel sets had
6 been put up with very bad bracing or whether rock bolts on
7 2.5 meter centers instead of 1.4 meter center, all of these
8 things are lost and they're not in the literature. So, you
9 could have 700 case histories and get practically nothing out
10 of it.

11 MR. PHILLIPS: That's right.

12 DR. DEERE: And, therefore, I am very, very pleased to
13 see the information that you have here. It shows that with a
14 well designed, supported system, rock bolts, and reinforced
15 shotcrete, you can take a lot of ground motion. You had 13
16 centimeters displacement and you came back again and ended up
17 with a permanent displacement of about four or five centi-
18 meters. Your acceleration in terms of gravity was how much?

19 MR. PHILLIPS: About 28g.

20 DR. DEERE: About 28. Particle velocity?

21 MR. PHILLIPS: 2.3m/s.

22 DR. DEERE: 2.3 meters as compared to 2 inches per
23 second which is considered the maximum for buildings--I am in
24 an old, old sort of rule of thumb--not to suffer damage. So,
25 these things went under terrific ground motion.

1 MR. PHILLIPS: It was quite a ride, I think, yeah.

2 DR. DEERE: And then, you look at what happened and you
3 can say, well, the combination of that support and that rock
4 just behaved beautifully.

5 Now, up and down the tunnel, what happened? Did
6 you have similar types of supports or did you just have the
7 original rock bolts without the additional--

8 MR. PHILLIPS: Basically, what we did was we just took
9 whatever, you know--what DNA had fielded at that point. What
10 they used, that was what we came in and instrumented. And,
11 we were concentrated all in that one specific area of the
12 tunnel. The rest of the tunnel was supported in the same
13 way.

14 DR. DEERE: And, behaved equally?

15 MR. PHILLIPS: Yeah. Obviously, if you get closer in,
16 things get a little more--it damages a lot worse as you get
17 closer to the source. As you get further away, then it was
18 really no big deal. I think we were probably kind of at the
19 mid-point as far as that was concerned, as far as damage.
20 You had to go closer to the source by quite a bit before you
21 got into any real serious kind of damage. The function of
22 that drift was not impaired, at all. I was on the re-entry
23 team on that one and was allowed to go down within a day or
24 so after the detonation and it looked--with the exception of
25 some dust and some of those little pieces on the ground, it

1 didn't look that much different than the day before at button
2 up.

3 DR. DEERE: I'd like to ask Professor Cording if he has
4 any observations on this, particularly the rock bolt system
5 and its efficiency?

6 DR. CORDING: One question, the drift, was it angled so
7 that as you went down the drift you got closer to the working
8 point or where the device was?

9 MR. PHILLIPS: Really, what happened, this was running
10 essentially perpendicular to the shock front. And, I guess,
11 my comment was that, you know, what you did was you went down
12 the drift a few hundred feet and then you made a right turn.
13 And, as you started going down that particular drift towards
14 the emplacement point, that was where things really started
15 to get more interesting.

16 DR. ALLEN: Bob Kennedy?

17 DR. KENNEDY: I guess I agree with most of your presen-
18 tation, but I do have some comments. Now, first of all, this
19 is the standard design that has been used for the last number
20 of years on the tunnels shocks of these 1.2 meter spaced rock
21 bolts with shotcrete and wire mesh. And, the performance of
22 your experiment is in general agreement with many, many other
23 places where this design has been used in these tunnel beds.
24 But, there has been large variability in performance. And,
25 I can name one or two shocks, at least one shock, in which

1 this 2.3m/s ground motion level, this design did not perform
2 very well. This is about the lower bound threshold. You
3 wouldn't go much below this and have substantial damage with
4 this design. But, there is a lot of variability in these
5 tunnel beds. This event, I think, performed near the mean or
6 near the average.

7 One thing we've observed with this design in these
8 tunnel beds is that when we start getting invert heave, which
9 always seems to be the biggest closure is invert versus the
10 back, when we start getting invert heave of roughly this
11 percentage of the tunnel diameter, at ground motion levels
12 roughly double this, we would expect very severe damage to
13 the tunnel. In other words, I don't think there's a lot of
14 margin even in this case beyond the ground motion levels you
15 were mentioning. It doesn't take too much beyond this before
16 you would have rather serious damage.

17 One other area of concern I have is this was pri-
18 marily a compression wave. The strains around the tunnel are
19 sort of closely proportional to the peak particle velocity
20 divided by the wave speed. Now, for seismic, the waves are
21 primarily shear waves. So, the wave speeds are quite a bit
22 less. So, for the same peak particle velocity, we'd have
23 quite a bit higher strein. I think as you try to extrapolate
24 this data to seismic, that needs to be taken into account.
25 So that for a seismic event, you'd have to knock these re-

1 sults down some. The other thing, this was essentially one
2 velocity pulse, as you show?

3 MR. PHILLIPS: Right.

4 DR. KENNEDY: Where in a magnitude 7 seismic event, I
5 think we'd expect something in the neighborhood of 3 to 5
6 near peak velocity excursion during the time history and that
7 we might not have quite this same performance. So, I guess I
8 have a great deal of concern about the statement that there's
9 an order of magnitude margin. I do certainly think there's a
10 substantial margin. I don't want to be misled on that, but
11 I think the margin may be more like a factor of 3 over their
12 seismic design--your seismic design was .3m/s, is that--

13 MR. PHILLIPS: Yes.

14 DR. KENNEDY: There is a significant margin, but I
15 question if it's really as high as an order of magnitude.

16 MR. PHILLIPS: I guess the other thing is that those
17 particular numbers are what's in the reference information
18 base now for surface facilities. There is nothing really for
19 underground. So, I was pulling numbers that probably don't
20 apply.

21 DR. CORDING: You made a reference, I think, to a com-
22 ment to a point that I'd like to follow up a little bit on.
23 You were talking about the comparison of the two rock types
24 and the rock mass rating showed about the same. Well, of
25 course, the rock mass rating combines several different

1 parameters, some of which may or may not have as much sig-
2 nificance in terms of a blast of--the effect on damage and
3 also wave propagation. And, I think that one would expect to
4 have higher propagation velocities whether it be a shear or
5 P-wave in the welded tuffs than you do in the nonwelded tuffs
6 where you did the experiment. So, it would seem that you're
7 strains around the opening would actually be smaller when you
8 got to the repository site. So, that would be a situation
9 where your strains are actually less at the repository site
10 than they were in your experiments. So, that would be some-
11 thing that--compensation going the other way from the dif-
12 ference between a P- and S-wave. So, I think there's several
13 parameters there that are affecting this in comparison from
14 the nonwelded tuffs to the welded tuffs. And, perhaps, we
15 would have less strains certainly in the free field and there
16 might be some more local slabiness around the tunnel, but I
17 think we have a better situation in terms of strains at the
18 repository.

19 MR. PHILLIPS: Like I said up front, this is really an
20 imperfect analog that we have here and I think it's--the
21 major thing I think that we can say is that we've documented
22 the ground motion here, we know what the design is here, and
23 now we know very well what the environment that that tunnel
24 survived was. And, it's clear that a tunnel will survive an
25 environment such as that. And, I think, beyond that, you

1 know, you start getting a little tenuous on some of the
2 conclusions you can make. But, you know, it's clear that it
3 can--a tunnel can be designed to withstand substantial mo-
4 tion. And, the motions that are considered as--at least,
5 from the RIB version 4 are kind of a chip shot in terms of
6 design for ground motion.

7 DR. ALLEN: I think we'll probably go ahead here if
8 we're to stay reasonably on schedule. So, thank you.

9 MR. PHILLIPS: Okay.

10 DR. ALLEN: Ardyth, do you want to introduce the next
11 one?

12 DR. SIMMONS: The next speaker will be Phil Richter who
13 will discuss the seismic vulnerabilities with respect to the
14 surface facility. Phil is with Fluor Daniel and he comes
15 with extensive experience in seismic risk analysis and the
16 design of defense and nuclear facilities with regard to
17 earthquake engineering.

18 MR. RICHTER: We may want to turn down the lights a
19 little bit, please. Thanks.

20 Good morning. As Ardyth said, I'm Phil Richter
21 with Fluor Daniel. I come to you as a structural engineer
22 with 37 years of practice in civil and structural engineer-
23 ing. I guess I'm going to keep on for a while because I've
24 been practicing and I haven't gotten it right yet. So, I'm
25 working on it.

1 The topic today is seismic vulnerabilities and
2 design issues and this is basically the agenda for my talk.
3 By way of background and objectives, I'm just going to talk
4 from a design perspective and talk about the issues of seis-
5 mic design and what possible vulnerabilities I see and back-
6 ground that's covered in that scope that we talk about right
7 up there, seismic design considerations-general. What I want
8 to do because I'm talking to primarily geotechnical people, I
9 want to establish a general view of seismic design considera-
10 tions to form a base for talking about the more specific
11 issues on the waste handling building and other surface
12 facilities of the repository. So, we'll talk about the waste
13 handling building concept, design criteria issues, design for
14 vibratory ground motions, design for fault rupture, and some
15 summary and conclusions.

16 Again, I've been in seismic design for quite a few
17 years. I spent about 23 years on design of special facil-
18 ities considering seismic effects and blast design. For the
19 last 14 years, I've been with Fluor Daniel and we've been
20 involved in a number of nuclear process facilities. And so,
21 they're very similar to the waste handling building. I
22 haven't been involved in the repository design at Nevada
23 directly. So, my background and the details for that comes
24 from studying the conceptual design.

25 Now, as I said, I'm going to give a real brief run-

1 down on seismic design considerations, in general, just to
2 establish a base. I'm going to talk about the design
3 approach, the design process, structural systems, earthquake
4 response, and earthquake effects. That's a tall order to
5 talk about in just a few minutes, but just give us a little
6 --as I said, just give us a little commonality of understand-
7 ing for the more detailed talk.

8 Design for more industrial facilities has a certain
9 level of protection and expected behavior. The basic hazard
10 for normal industrial and commercial facilities is put in
11 terms of a return period of 475 years. That's the uniform
12 building code type of criteria. When we design for that, we
13 expect facilities to--when the design level earthquake
14 occurs, we expect facilities to have significant damage,
15 structural damage and considerable non-structural damage.
16 So, that's kind of the level of code protection that we have
17 in normal industrial facilities. When we work on special or
18 safety related facilities, the design ground motion level for
19 vibratory ground motion is anywhere from 500 to 5,000 or for
20 nuclear power plants we can be looking at the maximum cred-
21 ible earthquake and it's defined with respect to a fault
22 that's active and they talk about 10,000 and 20,000 years.

23 The expected behavior of this type of facility,
24 there is additional conservatism in that type of facility.
25 So, the expected behavior is basically elastic with maybe

1 some small inelastic behavior; in other words, very little
2 damage is expected to perform its mission.

3 Next slide, please. Regardless of what type of
4 facilities that we work on, this is just a general rundown on
5 what the design process consists of. We start by establish-
6 ing risk levels. If we have codes or other types of cri-
7 teria, they're already pre-established. We have to define
8 the inputs and the loads and forcing functions. We have to
9 select the acceptable levels of response and then choose a
10 structural systems, materials, configuration, and sizes. We
11 then go through a determination of structural response for
12 that design or configuration and we iterate on that analysis
13 as we've changed the design. We can change the design be-
14 cause the layout of the building is changing for process or
15 architectural reasons or we can change it because we've found
16 some weaknesses when we did our analysis. We also can refine
17 our design to try and remove certain levels of conservatism.
18 We also have to consider non-structural systems and com-
19 ponents very important. For normal buildings in earthquakes,
20 we have given them a certain measure of consideration, but
21 not a high level of consideration. We're talking about
22 architectural elements. We're talking about heating equip-
23 ment, ventilating equipment, and electrical equipment, and
24 also piping systems.

25 In nuclear types of facilities, we have a lot of

1 concern to design and evaluate process systems. There can be
2 a great amount of attention paid and should be in nuclear
3 process facilities and nuclear power plants to non-structural
4 equipment that relates to the process. That may be 90% of
5 the cost of the plant, for example.

6 Other issues that we have to look at in the design
7 process include looking at the details of the structural
8 engineering details, connections, ductility issues--that is
9 the ability to deform beyond the elastic limit--and we also
10 have to look at the construction aspects and the construction
11 situation of the site in completing our design.

12 Now, very fundamentally structural systems for all
13 types of structures, especially for buildings, consist of
14 vertical systems and lateral systems. And, oftentimes, the
15 vertical and lateral systems' mesh are identical, but in many
16 cases they have different elements. The vertical system
17 include space frames, columns, beams, trusses, walls and
18 slabs, foundations. And, the lateral system, in addition to
19 the foundation poured, includes frames and shear walls. The
20 primary lateral force resisting systems are either moment
21 frames or braced frames or shear walls or sometimes combina-
22 tions and they're tied together by horizontal members that we
23 call diaphragms. They're usually the floor and roof slabs.

24 Again, for just a kind of a simple view of how
25 buildings perform and structures perform in earthquakes, for

1 the lateral force resisting system--well, with mention of the
2 vertical system, we don't pay too much attention to it nor-
3 mally in design because when we design for the floor loads
4 and the vertical loads, the dead loads, then the earthquake
5 vertical ground motions tend to be taken care of. So, most
6 of the attention is paid to the horizontal ground shaking and
7 we have what we consider a box like action and we have either
8 a braced frame or a moment resisting frame--that's what the
9 symbol is, that means we have rigid joints--and you can have
10 a shear wall that covers the whole side of the building.
11 And, we have to have those in two orthogonal directions to
12 take care of all the earthquake forces where the earthquake
13 shaking can be in any direction, any horizontal direction.
14 It might be important to realize that this box like action
15 really acts like a deep beam. Each of these frames acts like
16 a deep beam. And, if we have a braced frame, it's a truss.
17 If we have a shear wall, it acts like a deep girder. And, if
18 we have a moment frame, it acts like the so-called virendeel
19 truss with the rigid joints. And, so the building basically
20 under lateral inertial loads performs in story to story
21 distortion that's much more linear than if it was a flexural
22 beam which is a thinner beam and that basically is how the
23 structural engineers look at the design of these types of
24 elements.

25 Okay, time for my slide projector. Just real

1 quickly, I'll get into some nuts and bolts here. This is a
2 rigid frame building under construction. Basically, the idea
3 of the rigid frame is that we have a rigid connection between
4 beams and girders and that's what gives us our lateral force
5 resistance in modern high-rise buildings or even in low-rise
6 buildings when we have a rigid frame. Rigid frames can be
7 designed both as ordinary or ductile frames, which means that
8 they have special--the ductile frames have special design
9 characteristics that allow them to distort much further and
10 rotate these joints under a heavy earthquake lateral loading.

11 Next slide. Okay. This is a braced frame build-
12 ing. Actually, most braced frame buildings can't be
13 observed. This is an architectural feature, also. Many of
14 them have the braced frame interior to the building. And,
15 one thing to remember is that any of these lateral forces,
16 since most of them are inside the building, they can either
17 be on the exterior walls or interior walls or they can be a
18 combination of both. They can be interior column lines or on
19 exterior walls. This is a concrete shear wall. A lot of
20 them, as I said, might not ever--a lot of buildings, you
21 couldn't tell by looking at it. This one, this whole side,
22 is a concrete shear wall.

23 Those are basically the three kinds of lateral
24 force resisting systems that are primarily used for design of
25 buildings.

1 This is just a quick view of structural components
2 and elements that was meant to show non-structural elements
3 and these are architectural ones, such as ceilings and
4 glazing and wall cladding, and also some furniture. And
5 then, there's other things like piping and HVAC ducts and
6 then, as I said, in process type buildings, we have a lot of
7 other equipment. In these buildings, we might have gener-
8 ators, electrical equipment, and pumps, and so forth.

9 Okay. We'll turn that off for a minute. I'll go
10 ahead with it on this. Basically, a consideration of the
11 structural engineering earthquake response is important. I
12 think most everybody here knows that buildings respond. When
13 they're responding elastically, they respond in modes of
14 vibration. Basically, it's like looking at a vibrating
15 string. They have modes of vibration. Fortunately, for
16 simplicity, buildings primary respond to earthquakes in their
17 fundamental modes of vibration in each orthogonal or horizon-
18 tal direction. We have to consider the ground motion input
19 and then the ground motion input is normally amplified by the
20 building because of the relation of the period of the ground
21 shaking to the period of the building and we have amplifica-
22 tion. And, the damping is the frictional force that tends to
23 resist the motion.

24 When we look at inelastic response when we have
25 high levels of ground shaking, we get into inelastic response

1 of buildings in normal situations. We have to consider the
2 ductility, that is the ability of the building to distort
3 beyond the normal elastic range. In other words, the force
4 is no longer directly proportional to the deformation. In
5 moment frames, we have distortion which is primarily induced,
6 if it's well designed, by hinging of the beams and columns.
7 Many times, we hope to have a hinge in the beams.

8 Then, one thing to remember is that once we have
9 inelastic response, that prescribes that there's a certain
10 level of permanent deformation in there; therefore, some
11 level of damage in a building once we have inelastic
12 response. As I said, normal industrial buildings, we expect
13 to have considerable or significant damage during the design
14 level earthquake.

15 Next slide, thank you. Okay. This basically is a
16 diagram of a multi-story building showing how hinges form in
17 beams during a lateral loading and basically that results in
18 some level of distress or rotation of the beam at the column
19 joint. This is a concrete beam that illustrates the hinging
20 effect or the rotation into the inelastic range of a concrete
21 beam due to earthquake effects. And, one thing that we would
22 like to call out is that shear walls normally are damaged--
23 once we're getting into the non-linear range, we get damage
24 that's normally manifested by diagonal tension cracking.
25 And, oftentimes, it's over places such as--this is a stair-

1 well or a stair door. This happened to be a picture of the
2 damage of the Kaiser Hospital in the 1971 San Fernando Earth-
3 quake. So, just a quick rundown of these items. I think
4 that finishes the slide part. Okay. Now, basically, that's
5 our general design considerations and issues for general
6 building considerations.

7 And, now the waste handling building concept. It's
8 a three story concrete shear wall building. I'm really
9 addressing all of surface facilities that we might have, but
10 I want to focus attention primarily on what I would call the
11 high hazard facilities. So, I'm using as an example the
12 waste handling building and I'm using the example from the
13 recent conceptual design performed by Bechtel. So, we have a
14 three story reinforced concrete shear wall building that's
15 partially buried and it's a very heavy building.

16 We'll go on to the next one. I don't expect any-
17 body to be able to read this. This is a print of the design
18 drawing for the conceptual design. It's pretty complex and
19 this is a plan view. We'll go on to the elevation section.
20 I didn't even get enough detail on there, I think, to show
21 the complexity, but it is a quite complex layout with a lot
22 of elements. But, in order to get something that we can use,
23 I prepared a simplified version of the plan view and the
24 elevation views. And, this basically shows the principal
25 elements of the waste handling building.

1 On any of the nuclear process facilities, we norm-
2 ally have hot cells and there are some more hot cells. And,
3 those normally for radiation protection have concrete walls
4 that are between four and six feet thick, reinforced con-
5 crete. The exterior walls have to be designed to maintain
6 the mission and protect the internal workings of the building
7 and those are normally 18 inches to about 42 inches thick.
8 So, basically, what we have is a heavy concrete building,
9 often partially buried, that has a lot of heavy shear walls.

10 Next slide, please. This is cross-sectional views
11 of the same building. You can see some of the hot cell
12 locations. This is the receiving and shipping bay that we
13 discussed a few minutes earlier.

14 Next slide. Now, I think it's worth spending just
15 a few minutes talking about design criteria issues and cur-
16 rent DOE practices. Basically, the criteria that I'm
17 relating to for seismic design is something that's been
18 developed over a period of several years by the Department of
19 Energy for use in natural phenomena considerations and design
20 for their facilities. And, we have considered the categoriz-
21 ation or classifications of buildings by use and occupancy
22 and, therefore, we assign risk levels which relates to the
23 input and the resistance of the facility. And, the DOE also
24 has requirements for analysis. We have to look at elastic
25 analysis primarily and we look at cell structure interaction.

1 And, the level of documentation follows pretty much nuclear
2 power plant type of practice following NQA-1 quality
3 approach. So, we have in place some DOE design criteria that
4 would make a lot of sense for us to use to design this waste
5 handling building and I believe it would work very well.

6 Next slide. This, to me, is kind of a summary that
7 talks about the levels of risk for different categories of
8 buildings. These are the four occupancy categories; general
9 use, important or low hazard, moderate, and high hazard.
10 Primarily focus on the high hazard facilities or perhaps we
11 could judge that our facility is moderate hazard, but let's
12 assume that it's high hazard.

13 This is the hazard exceedance probability, in other
14 words, for the earthquake ground shaking, and we would have a
15 2×10^{-4} requirement if it was high hazard. So, basically, the
16 return period for moderate hazard would be 1,000 years and
17 for high hazard would be 5,000 years.

18 The performance goal is basically the risk of
19 failure to meet the mission of the building or the facility.
20 And, for the moderate and high hazard facilities, the DOE
21 has established high ratios of performance related to the
22 input. So, basically, for a high hazard facility, such as a
23 waste handling building, we could say that the performance
24 that we're looking at that we're trying to attain this
25 probability of protection would be containment of nuclear

1 materials and radiation. And, so if we can achieve that
2 mission, we have to do it with this level of assurance, 1 in
3 100,000.

4 Okay, next slide, please. Now, I've looked at the
5 site-specific input which is very important for design of our
6 waste handling building and other surface facilities. We
7 have to look at the risk or the hazard which is the proba-
8 bility of peak ground acceleration, and then once we estab-
9 lish the level of peak ground acceleration that corresponds
10 to the pre-determined level of risk, then we can develop a
11 design response spectra for the site that really defines how
12 we do our analysis for earthquake motion. We also have to
13 define vertical ground motions so that we can consider those
14 in the analysis. We also have to look at underground nuclear
15 explosions that are in the adjacent areas to see what effects
16 they may have on the design of our building. And, last but
17 certainly not least, is the effects of local fault rupture.

18 Okay. Real quickly, these inputs that I have here
19 or criteria come from the conceptual design reports that were
20 prepared earlier in the last several years. This is basic-
21 ally the risk of ground shaking in terms of peak horizontal
22 acceleration and it's presented and goes much higher than
23 normal curves would because we went out to a very long return
24 period, perhaps because we're relating to a repository that
25 has a long design life and perhaps because of the nature of

1 the fault mechanism that may occur at the Nevada site at the
2 Yucca Mountain site.

3 So, at any rate, the 10^{-5} occurs about here and
4 it's probably about .8g or something like that. But, if we
5 go to a 5,000 year, it would relate more to something like .5
6 or .6g, as I understand it. The current design that was
7 accomplished was at .4g. So, we would have to go from a
8 2,000 year return period to a 5,000 year return period if we
9 consider this a high hazard facility. That has yet to be
10 determined, I believe.

11 Next slide. These are examples of the response
12 spectra that we had used for design. This is the well-known
13 NRC generic response spectra developed by Newmark & Kapur and
14 it's used in a number of nuclear power plants and scaled to
15 the ground acceleration. This is a site-specific response
16 spectra. I believe it was developed by Blume for the Nevada
17 site for the repository.

18 Now, in considering underground nuclear explosions,
19 we compare response spectra to see what kinds of strength of
20 shaking we might have. The lower curves in each case are the
21 mean value of the underground nuclear explosion and the upper
22 one is the design earthquake response spectra. As we can
23 see, in general, the earthquake motions provide much stronger
24 ground shaking. However, in one of the reports that I read,
25 it indicated that the nuclear explosion should affect the

1 response spectra or cause the design response spectra for
2 vibratory motion to be adjusted in the longer period range.
3 So, that would have to be looked into, also.

4 Now, the risk of faulting as judged in the concep-
5 tual designs looks like this. It starts at a very low proba-
6 bility of exceedance and goes to a further low. We start at
7 almost 10^{-7} . And, at that low value, it's only one centi-
8 meter for the amount of vertical rupture that would be pre-
9 dicted. However, the point is that there's no known faults,
10 no identified faults, that would be expected to rupture at
11 the site. And, so this probability study was based on the
12 risk of unknown faults rupturing and that contributes pretty
13 much to the low probability that would be expected.

14 Okay. Getting down to the real nitty-gritty and
15 wrapping up pretty close here, the next five slides, these
16 are the issues that relate to the waste handling building
17 designed for vibratory ground motion. We have to establish
18 the design criteria and the level of conservatism. That
19 directly relates to the site studies that we're carrying on
20 now and we need to also develop what the level that is appro-
21 priate to design to, what the criteria will be. Once we have
22 that, then we can provide the analysis, develop the struc-
23 tural resistance, or prescribe which levels of resistance are
24 appropriate. We can address ductility issues, all very much
25 like they're done in UCRL-15910.

1 The main things that we have to do and this was
2 discussed in the conceptual design is looking at the designs
3 that--you basically can provide increased design assurance
4 and have a better design if you provide structural regularity
5 and you have to have continuity of the structure and you
6 provide the ductility and connections appropriately. We also
7 have to account for the effects of embedment, and normally
8 when we're looking at designs for vibratory ground motion,
9 the effects of embedment are generally a plus and that's
10 because the effects of embedment tend to attenuate the ground
11 shaking that affects the structural response.

12 Design for fault rupture is another issue. That's
13 a very important issue. First of all, I think it's important
14 to say that we should make every attempt to design the struc-
15 ture in a location where there's no known faults. And, I
16 think that can be accomplished in talking to people. It
17 sounds like that's a fair target. I don't think it would be
18 appropriate to locate the building on a fault if it's at all
19 possible.

20 The issues for design of fault rupture are what is
21 the fault displacement that would be expected? What kinds of
22 strength do we have to build the building to to accommodate
23 that displacement including the consideration of the orienta-
24 tion of the slippage of the fault. There is a limiting force
25 that earth can apply to a rigid concrete building. So, we

1 have to be able to determine at what point will the force be
2 limited, to what level will the force be limited on the
3 building, and the effective embedment is important there. In
4 the case of design for fault rupture, the effective embedment
5 is somewhat negative because you tend to get more forces
6 applied to the building because of its embedment. If it's
7 totally on the surface, then there's less forces applied.

8 Now, in the conceptual design studies, the esti-
9 mated level of resistance for fault rupture were vertical
10 slip, 1 to 2-1/2 inches, and horizontal, 5 to 15 inches.
11 That seems to be a pretty conservative estimate based on what
12 I looked at in the studies. It seemed like quite conserva-
13 tive. One particular report that I'm familiar with was done
14 by EDAC a number of years ago on the Vallecitos test reactor
15 and it showed that that particular reactor structure, that
16 test reactor structure, could withstand one meter of fault
17 displacement. Of course, they're not the same building, but
18 the point that I'm making is that we can design or we can
19 find that we can get pretty high levels of resistance for
20 buildings.

21 The main issue, I think, in design for fault rup-
22 ture is that it isn't done. There's very few examples of
23 design for fault rupture for building structures and we may
24 end up having to do it in this case and it seems like we have
25 all the tools in place to accomplish it, but we are hampered

1 by the fact that there is a lack of experience. And, it may
2 mean that we have to do a certain level of testing and fur-
3 ther analysis to assure ourselves of our designs.

4 Mitigative measures, next slide, please. There's a
5 number of possible mitigative measures when we design for
6 local fault breakage. First of all, you have to determine
7 the orientation of the fault and the limiting forces. We can
8 do what I call the direct approach and just provide suffi-
9 cient strength and also include ductility, so that the struc-
10 ture can basically accommodate the full fault slippage. We
11 can also reduce the effect of the fault slippage by modular-
12 izing, breaking the structure up into a number of discrete
13 modules, and that allows each of those modules to move rela-
14 tive to the other so when the force is working on it, it's
15 basically moving and not breaking anything. And, that
16 requires very careful planning and design details for the
17 joints.

18 A number of isolation techniques might be avail-
19 able. One item that was mentioned would be granular bedding.
20 That would allow for embedment of the buried portion in a
21 well known, well behaved media that allows a certain level
22 of slipping and you can predict the slipping of the material
23 and therefore have a good handle on your design forces that
24 the motion is inducing.

25 Another item would be to put crushable bedding.

1 That's kind of like isolating it and the crushable bedding--
2 therefore, the ground would move and you'd have a gap where
3 this bedding material is or packing and that would allow the
4 structure to--the ground to slip around the structure and
5 just break the bedding. You can also just have air space or
6 clearances and also there's schemes that I believe are feas-
7 ible where you could have mechanical isolation. And, mechan-
8 ical isolation would provide for a double foundation really.
9 You basically separate the structure and have a double
10 foundation and I would put the isolator separated on
11 individual foundations and allow them to move under the
12 structure and the isolators would accommodate the distortion
13 that each one would deliver to the structure.

14 Next slide, please. Now, one more slide before I
15 wrap it up. People have been talking for a long time about
16 experience with these kind of facilities. And, I've done a
17 fairly brief, but quite wide look at a number of facilities
18 to try and find experience of heavy shear wall type struc-
19 tures in earthquakes. We have a number of instances where we
20 can relate, but there's no real good experience that's been
21 recorded. What I mean by good experience, I'd really love it
22 to say we've got 10 buildings that we've looked at that have
23 undergone .6g ground motion and there's no problem. But, we
24 don't have records of that and there's probably two reasons
25 for it. One of them is that these buildings don't get

1 recorded. These types of buildings don't get recorded too
2 often because they behave so well. Another one is probably
3 that we may not have been fortunate, or unfortunate as the
4 case may be, in having earthquake strong motions occur at the
5 site of such buildings. However, I did look at these dif-
6 ferent earthquakes. There are heavy industrial facilities
7 that relate to most of them. I can go over the experience
8 with you. I'm running low on time. So, I won't take the
9 time to go over the individual experience.

10 The one that I'd like to mention most was not in my
11 initial review, but was provided by my colleagues at Wood-
12 ward-Clyde. They gave me a document that I'll just reference
13 here. I think it's kind of interesting. It's called the
14 "Environmental Assessment at Yucca Mountain Site", Volume 2,
15 and it's for the nuclear waste repository. Basically, it's
16 an assessment and somebody in that document tried to do the
17 same thing I did which was look at past facilities of this
18 nature and see what kinds of experience we had. They came
19 pretty much to the same conclusion. I didn't see any sig-
20 nificant damage of any major structure and that was a heavy
21 reinforced concrete shear wall structure. The closest
22 example to this kind of structure was the Fukushima Nuclear
23 Power Plant in Japan in the Miyagi-Ken-Oki Earthquake of June
24 1978. Don't ask me to repeat that again, please. And, that
25 was a magnitude 7.4 earthquake and, evidently, the ground

1 motion at the site that was instrumented was felt at .12g and
2 the response was .25g, fairly significant, no significant
3 damage. And so, basically, that's the story on experience.

4 So, in wrapping up, the fundamental issue is that
5 we have to be able to quantify as accurately as we can with
6 as great assurance as we can the seismic environment which
7 includes the fault locations and fault slippage and the
8 vibratory ground motion for the site, plus we need all the
9 other standard types of geotechnical information for design
10 of a structure, foundation information, and so forth. We
11 then have to establish the level of risk that's appropriate
12 for this facility and we have to build on the current concept
13 and the current concept may change as the process and the
14 architectural requirements change. The design approach for
15 vibratory ground motion is very clear. The good things that
16 we build into the structure are the design details, the
17 details for ductility, and we have all the tools in place and
18 all the criteria in place in the structural engineering
19 community to provide a very highly defensible, highly accept-
20 able design for this type of building.

21 For fault rupture, I believe we have all the tools
22 in place to understand how the building works and to design
23 for it. We have the handicap of not having done this type of
24 work in any great extent before. So, that's a little bit of
25 a negative, but I do believe we can handle that design very

1 well. And, the other good news is let's--at this point, I
2 would say we aren't going to design for a known fault because
3 we should site the building accordingly and, therefore, we
4 may want to consider design for some unknown fault that may
5 occur which would have a small level of motion or movement
6 and a very low probability. That might be a safety feature
7 we want to incorporate in the design.

8 So, that's basically the remarks that I wanted to
9 make this morning.

10 DR. ALLEN: Thank you. Let me ask you if Bert Swan's
11 optimism is misplaced and we really cannot document the
12 absence of significant fault beneath that site, the proposed
13 site or any other site that's practically located, could you
14 design a loading facility that's currently--with hot cells
15 that could withstand a meter of displacement in any direction
16 beneath any most critical part of that facility? Could you
17 do it economically?

18 MR. RICHTER: Well--

19 DR. ALLEN: And, guarantee public safety, not--

20 MR. RICHTER: Right. Well, that's a tough question.
21 I'll answer it. Basically, I think we could design for a
22 meter of offset, but I don't know how economical it would be
23 and I also think we should be able to find a local site that
24 would not have that type of offset. That's what I would like
25 to target, of course. So, I'm kind of begging the question.

1 But, if I had to come right down to it and said my life
2 depended on designing it, I guess we could try and do that.

3 Bob?

4 DR. KENNEDY: If you had a design for something as large
5 as a meter, do you think you could convince the engineering
6 community, the wide engineering community, of the adequacy of
7 the design? I mean, I tend to concur with you. I think
8 individual engineers would feel they could do it, but I'm not
9 convinced that we could convince people that--

10 MR. RICHTER: That's the tough part. I think that's a
11 more important issue. I think you've raised the real issue.
12 I think we could probably design for it. I think as we
13 develop the design and did it, we'd gain confidence in it and
14 we could probably provide our assurance, but you might have a
15 heck of a time convincing the whole public and all of the
16 engineering community. So, that's a good point.

17 DR. KENNEDY: On the other hand, if that could be kept
18 down below a foot of movement, I think you probably could
19 convince all of--a very large percentage, anyway. I'm not
20 going to say all, but a very large percentage of the
21 engineering community of the adequacy for these thick shear
22 wall designs. Would you concur or not?

23 MR. RICHTER: That's right. Yeah, absolutely. I
24 believe so. I think there's always going to be some that
25 will be on the opposite side of the fence and I do agree that

1 10 or 12 inches is a better target if that's what we have to
2 do. I'd prefer the one to two centimeters, of course, but I
3 think we can handle that.

4 DR. ALLEN: I would again point out though that if we
5 could ever come up with a universal cask, we could do away
6 with the hot cell problem and, therefore, the hazard there is
7 no greater than it is anywhere else in the transportation
8 system.

9 MR. RICHTER: Right. In that case--sure.

10 DR. ALLEN: I think we--the fuel from where it's stored
11 into the repository.

12 MR. RICHTER: In that case, we might have more of a
13 metal shed building or something. It may not have to be a
14 heavy concrete building.

15 DR. REITER: Phil, just a quick question following what
16 Bob said and, Ardyth, maybe you can correct me on this. I
17 think in 960, the site suitability criteria talks about
18 reasonable available technology or some phrase like that.
19 Again, the question that Bob says, using the criteria reason-
20 ably available technology accepted by the community is one
21 foot or what number do you think you could design? Would it
22 take extraordinary efforts that would contradict the--

23 MR. RICHTER: Well, I think there's reasonable available
24 technology, but I'm not sure how well it's accepted by--you
25 had kind of two parts of your question. I'm not sure how

1 well it's accepted by the whole community. I think we could
2 do it and I think we could have pretty high confidence. I do
3 think it would take significant analysis and some further
4 testing to develop our approach. You know, to really have a
5 sound approach and be satisfied with it. I think there's a
6 lot of things we could do. It wouldn't be as much of a slam-
7 dunk as far as the design for vibratory ground motions. I
8 don't mean it's a real slam-dunk because there's a lot of
9 work to be done, but it's all very straight forward.

10 Bob?

11 DR. KENNEDY: Is the waste handling facility going to be
12 designed in accordance with the requirements of UCRL-15910,
13 the seismic requirements, or has that decision been made?

14 MR. RICHTER: I'm not aware of that decision being made.
15 I would recommend that it would, but I haven't heard any--I
16 don't know of anything that has established the design
17 guidance and that's what my point was basically in the talk.

18 DR. SIMMONS: In response to that question, at the
19 present time, the decision has not been made as to whether to
20 use the UCRL Report. However, this is one of the topics that
21 would be considered by the working group that I described
22 earlier and a decision would eventually be made on that.

23 DR. DEERE: Russ McFarland, didn't we look in Sweden
24 underneath one of the pools that had displaceable joints on
25 it that the thing could move around with earthquakes,

1 designed and built, I think, five years ago or four years
2 ago? Do you know something about that, Russ?

3 MR. MCFARLAND: At the last trip to Stockholm or to
4 Sweden, we visited the nuclear power plant at Aspo about 100
5 kilometers south of Stockholm. They showed us the structures
6 for their waste fuel pool that were underground. And, the
7 arches tied back--the roof--there was support arches tied
8 back with rock bolts and the pools were supported on isola-
9 tors. The swimming pool, 30 foot deep--30 to 40 foot deep
10 pool were supported on isolators, seismic isolators, as I
11 recall. Is that your recollection, Don?

12 DR. DEERE: That's right.

13 MR. RICHTER: Do you happen to know if that was pri-
14 marily for the vibratory ground motion protection? It sounds
15 like it probably would be.

16 MR. MCFARLAND: Yeah.

17 MR. RICHTER: But, that still doesn't necessarily answer
18 experience in the fault design, but it--

19 MR. MCFARLAND: No, it was strictly vibratory, my per-
20 ception.

21 DR. ALLEN: Any comments or questions from the audience?

22 DR. DEERE: One here, another one. You talked about
23 building in some kind of a joint or dividing the thing up. A
24 recent concrete gravity dam about 250 foot high was completed
25 the last couple of years in the South Island of New Zealand

1 and this has crossed a fault zone around 10 meters thick of
2 very heavy clayey fault gouge which just a kilometer upstream
3 runs into a regional fault that is known to be active. And,
4 the question was could you generate sympathetic movement, the
5 same thing we heard this morning, on the one fault. And, the
6 answer by the geologists and seismologists was, yes, it
7 probably could and they even predicted what that movement
8 would be based on strain measurement--or stress relief
9 measurements of the in-situ state of stress. And, they pre-
10 dicted that there would be a movement in this direction,
11 right hand, this side up, this side over of 20 centimeters.
12 So, they consulted then their structural consultant from
13 Switzerland and he and the New Zealand department designing
14 this dam decided they would make a joint that would allow a
15 movement of one meter in any direction. Because they said,
16 you know, we just don't know about these seismologists.

17 MR. RICHTER: Sure.

18 (Laughter.)

19 DR. DEERE: And, seismic geologists. So, this became
20 quite a structural detail and they had to bring in a little
21 soil mechanics to help along the way. So, they do cover in
22 the foundation area. They excavated down about 60 feet and
23 backfilled that with clay to give them a little bit of an
24 impermeable zone in case there were movement. And then,
25 downstream, they put in a long trench, backfilled with

1 gravel, which again was go down to the foundation, so to try
2 to keep the water from coming out, try to keep the water from
3 getting to the crack, and if it gets out, let it come out in
4 hopefully a very controlled condition. But, that is cer-
5 tainly a novel--I wouldn't say it's a common practice--but I
6 believe it's the first really major concrete gravity dam
7 which is an un-reinforced structure that is built with the
8 slip joint to allow this type of motion.

9 DR. ALLEN: And, every engineer agreed it would work.

10 (Laughter.)

11 DR. DEERE: This information has been presented to the
12 international community and to large dam conferences and
13 there has been a great deal of interest.

14 MR. RICHTER: I suspect not too many engineers have
15 heard about it yet, but it sounds like a good model. I mean,
16 there is at least a situation where people have designed a
17 really major structure. That's good.

18 DR. DEERE: Absolutely.

19 MR. RICHTER: I think Jay has been designing--haven't
20 you been designing some structures for the Hyperion? Does
21 that relate to fault motion? You're going to maybe talk
22 about that later?

23 DR. ALLEN: Whoa, whoa, whoa. Could you go to the
24 microphone, please?

25 DR. MERRITT: Yes, this is Jay Merritt. What Mr. Rich-

1 ter is referring to is the north outflow replacement sewer
2 for the city of Los Angeles to carry the sewage from the
3 valley north of the city to the Hyperion Treatment Plant. we
4 cross the Englewood Fault at the northern reaches and we have
5 designed a system to cross that fault to accept approximately
6 seven inches of displacement.

7 MR. RICHTER: I think there's probably a number of
8 examples of linear structures that have been designed for
9 fault displacement. I'm not aware of specific examples, but
10 I know I've read about those in the literature. I think Bob
11 has been involved in some of those designs related to design
12 of lifeline types of structures, too. So, there are
13 examples, but they're pretty few and far between, and I'm not
14 sure of building examples.

15 DR. DEERE: In the field of subsidence engineering due
16 to either a solution mining of salt or coal mining, partic-
17 ularly in the older days when there was a great deal of
18 surface subsidence, when one studies the structures one is
19 amazed how a structure really can often bridge across this
20 opening. You can find, for instance, the fault that will
21 have been created perhaps with four or five inches of opening
22 and then a down-throw of one or two feet in a zone of sub-
23 sidence and find that the house is intact because it has a
24 floor slab with just minimal reinforcing. And, the same with
25 some of the commercial buildings. That doesn't always happen

1 because there's several houses that are two halves now.

2 MR. RICHTER: Well, you're talking about a subject
3 that's kind of dear to my heart because in my earlier days--I
4 won't say how many years ago--one of my earlier assignments
5 was with the Port of Long Beach and you're talking about
6 subsidence. We had approximately, if I remember, 30 feet of
7 vertical subsidence on facilities. Basically, they went down
8 pretty much together, but in the 30 feet of subsidence, there
9 was some horizontal ground compression that I was working on
10 on the transit shed which is a long steel structure. It was
11 about 1,000 feet long at Pier A and that built in a lot of
12 compression and actually looked like a classical rigid frame
13 deformation that structural engineers draw. It built in
14 something like a foot of displacement and caused distortion
15 in that structure. We basically refit the structure after
16 that, but it still stood up and was a valid structure.

17 DR. DEERE: In these bowls of subsidence where the inner
18 part may undergo a compressive strain, as I recall, values of
19 six inches per 100 foot are rather common in areas that have
20 subsided four, five, or six feet, something like this.

21 MR. RICHTER: Right.

22 DR. DEERE: But, in the outside of this bowl of settle-
23 ment, there is a tensile or an extension strain region. And,
24 that's where we pull pipes apart and break the telephone
25 lines as they cross these particular zones. But, that magni-

1 tude is only between a half inch and one inch per 100 foot of
2 length.

3 DR. ALLEN: Baldwin Hills is a good example.

4 DR. DEERE: Yes, exactly.

5 DR. ALLEN: Thank you very much. Let's break for--oh,
6 Bert, did you want to say something?

7 MR. SWAN: One comment with respect to--you threw one
8 viewgraph up, the DOE performance goals. And, my under-
9 standing in terms of NRC and regulation, everything is
10 couched in terms of consequence and release. And, without
11 the interface between the probability of the hazard occurring
12 versus the consequence, as a scientist or as an engineer
13 trying to come up with design criteria for use in the con-
14 ventional practice thinking of low probability of occurrence
15 of a hazard, rather than the consequence, right now I'm not
16 aware that there are target probability levels. But, if we
17 could define acceptable low probability levels, one of the
18 approaches for the faulting hazard will be or could be to say
19 that the hazard is acceptably low. Then, you follow that
20 through to consequences and that's even still lower. But,
21 without those probability goals for the occurrence of a
22 hazard, not the occurrence of the risk, it's hard to conduct
23 your investigative program because you don't have the target
24 that you're shooting for. We can define what that number is,
25 but there's no way now of taking probability of hazard and

1 converting it to a design parameter. It's one of the
2 stumbling blocks we're coming up with and it's going to be
3 easier to avoid the faults than it is to design for them.
4 But, if it became impractical to avoid them, one important
5 step in the process would be to define what the level of
6 acceptable hazard is and see if we can define that as a low
7 number.

8 DR. ALLEN: From a probabilistic approach, you could
9 incorporate the 90% of the engineers who agreed and the 10%
10 who didn't.

11 Okay. Thanks again. Let us break for lunch, and
12 after one hour or at 1:20, we'll try to reconvene.

13 (Whereupon, at 12:20 p.m., a luncheon recess was
14 taken.)

15

16

17

18

19

20

21

22

23

24

25

1

2

3

A F T E R N O O N S E S S I O N

4 DR. ALLEN: May we come back to order, please? We are
5 still missing a number of people, but it is necessary for us
6 to evacuate this room by 5:30. And, I think it's best we get
7 on with the schedule.

8

Ardyth Simmons would otherwise be introducing our
9 next speaker. Our next speaker is J.L. Merritt. Jay Mer-
10 ritt, an expert on tunneling who is with the Woodward-Clyde
11 organization in Las Vegas.

12

Jay?

13

DR. MERRITT: Thank you, Dr. Allen.

14

Although I shall be talking about numbers of struc-
15 tures in the briefing, I've also been asked to put that
16 number into a time context because, of course, it's one thing
17 to have 50 structures in one experiment, it's another thing
18 to have 50 structures in 20 experiments over a series of
19 years.

20

So, the experience at the Nevada Test Site which I
21 shall be talking about began with the Rainier event of 1956.
22 That was the first underground explosion test which involved
23 data from the structure of the tunnels in the same medium.
24 Since that time, there have been more than 20 such experi-
25 ments, two dedicated experiments, and six experiments in

1 which a large structural program was added onto the experi-
2 ments. So, it's 20 experiments over the period since 1956
3 that I should be talking about when I get into the UNE's.

4 In this briefing, I shall be talking about the
5 subsurface facilities, as indicated here, but I would empha-
6 size that I'm really talking about the tunnels. I'm not
7 talking about the contents of the tunnels. That's a dif-
8 ferent subject. I'm merely talking about the response of the
9 tunnels, themselves.

10 As I started to put this briefing together, I was
11 reminded of an experience of about 10 years ago, a little
12 over 10 years ago, the fall of '81. Several of us had the
13 opportunity to visiting the Seikan Tunnel, the staff at
14 Seikan Tunnel. This is the tunnel that was intended to carry
15 the bullet train between Honshu and Hokkaido in Japan. And,
16 someone in the audience asked about their experience with
17 earthquakes and they indicated that there had been a devas-
18 tating earthquake mid-70's which had totally destroyed the
19 town of Hokkaido, and when the staff, the miners, and others
20 came up from underground at the end of their shift, as a
21 matter of fact, they were nonplussed to find so much there at
22 the station because they hadn't even felt it in the Seikan
23 Tunnel just 2600 feet below the town of Hokkaido.

24 This is the items I will be discussing, the his-
25 torical information, observations, UNE's, potential modes of

1 failure, and a summary.

2 Under the historical experience, I've just given
3 some highlights here of the U.S. literature. There is more
4 than 200 documents in U.S. literature. There is, of course,
5 also the Japanese experience, the Greek experience, the South
6 African experience, and so forth. I've only hit the high-
7 lights of these. The summary is that our experience indi-
8 cates that we've had very good experience with behavior of
9 tunnels to earthquakes. I shall later be referring back to
10 these two numbers, .67 FPS and 3.1 FPS, from the paper by
11 Dowding & Rosen.

12 And, I'm afraid Jim Phillips caught the disease
13 from me. I had the opportunity of correcting this and please
14 correct it in your notes. It should be no damage for less
15 than .19g which corresponds to .67 FPS, minor damage for
16 estimated pre-ground accelerations of less than .5g which
17 corresponds to approximately 3.1 FPS for the model used by
18 Dowding & Rosen.

19 I would also emphasize before moving on, the most
20 recent paper by Sharma & Judd in which Bill Judd concludes--
21 well, the authors conclude that there is considerably less
22 damage below 50 meter overburden and no heavy damage below
23 300 meters of overburden in all of the cases they've looked
24 at, the 192 cases they've looked at.

25 I should probably also mention in this Proceeding

1 of the Workshop on Seismic Performance of Underground Facil-
2 ities, 1981, by Wendell Marine, the editor. There are a
3 number of authors in that; Tom Kuesel, H.R. Pratt, Cole
4 McClure, to mention just three. And, because they address
5 different questions, there are various indicators of damage
6 used by each of them.

7 The historical information is quite broad. It
8 includes traffic tunnels, highway tunnels, railroad tunnels,
9 water tunnels, sewage tunnels, personnel tunnels, and so
10 forth, and a tremendous number of different types of line and
11 type. I would highlight from the 192 cases and 85 earth-
12 quakes reported by Sharma & Judd that, given the many hun-
13 dreds of miles of tunnels around the world, there have doubt-
14 less been innumerable cases of no damage and consequently no
15 reports. The 192 cases are, of course, only of damaged
16 tunnels. The information--because they were strictly targets
17 of opportunity--represented by the tunnel damage created by
18 the earthquakes, there is literally no data. Even P-wave
19 velocity and geologic features were seldom given for the
20 cases summarized.

21 Again, to emphasize the points that I shall be
22 picking up later, there's no damage for an estimated peak
23 surface particle velocity for less than .67 FPS and minor
24 damage at an estimated peak surface particle velocity less
25 than 3.1 FPS. And, little damage below 50 meters and essen-

1 tially no damage for overburden depths greater than 300
2 meters.

3 Partially as a result of the fact that there's very
4 little data from the experience of the 192 reported damage
5 cases and partially because there is a wealth of data from
6 the UNE's, we have included a great deal of information in
7 the remainder of this briefing on the UNE's and then we move
8 from there into postulated modes of failure.

9 As shown here, the plan view and the elevation of a
10 typical experiment at the Nevada Test Site. The plan view
11 here, these are the Nevada state coordinate system in meters.
12 This is at the tunnel level, so that you're looking at
13 Paleozoic material here overlain by the various ashfall
14 tuffs. These are all ashfall tuffs. Within the range of
15 this, we go from Tunnel Bed TT2 to TT4I. It shows some
16 fairly large fault displacements, but having said that, I
17 would emphasize that the amount of displacement on most of
18 these faults is very small and peters out, for that matter,
19 as you get above the tunnel level in many, many cases.

20 The typical experiment is as shown here with the
21 so-called working point, WP, at this point and the main
22 experiment is normally arrayed along this drift. Because
23 there's a tremendous amount of construction involved in
24 creating one of these experiments, they will put in a bypass
25 drift which allows construction to be supported at various

1 points along the main drift off this bypass drift, but also
2 allows lay time access to the front end. If there is a
3 dedicated experiment, as was the case in Diablo Hawk, the
4 dedicated experiment is usually arrayed in drifts such as
5 these off of the bypass drift.

6 Later on, I shall refer to briefly the possibility
7 of pre-shock condition rock. What I'm referring to there is
8 often a working point or the vice emplacement point will be
9 in proximity to later constructed tunnels. And, what I'm
10 referring to is the possibility of this stress wave propa-
11 gating outward from this working point having modified the
12 rock, the possibility of having modified the rock in this
13 area.

14 Moving to the elevation over here, this elevation
15 is right along the access drift of the experiment I referred
16 to here. So, this now shows the tunnel beds above this,
17 typically 1200 feet of overburden over the working point and
18 the principal experiment. Tunnel beds ranging in thickness
19 and solificied beds, as little as a few millimeters in thick-
20 ness, but they were very unusual. More often, you'll find
21 them at least tens of feet on up to hundreds of feet in
22 thickness. And, a rhyolite cap rock over the entire area.

23 These two pictures will give you a feel for what
24 the geology looks like in that ashfall tuff. This is a
25 series of sub-beds, obviously. This is about an eight foot

1 high opening here. So, obviously, you're looking at like a
2 foot thickness of the sub-bed in that particular case. So, a
3 series of sub-beds as illustrated here, as defined by the
4 difference in coloration.

5 We move to the one over here. A different set of
6 beds including the red beds up through here. This is a
7 double jack in here, a small--in the picture here. This
8 drift was originally 18 feet wide and was done in two lifts
9 using a road header. The first was a bottom heading and then
10 this was the upward excursion from the road header in order
11 to begin the top lift. You're looking up at the series of
12 beds, again different in colorations, some inclusions within
13 the bed.

14 I would point out that we do have a minor fault at
15 this point. You can see a little offset at that particular
16 point. I illustrate that for a number of reasons, no the
17 least of which, as I'll in a moment discuss, the various
18 parameters that have been found to be significant in a
19 regression analysis of these data.

20 Here is a typical tunnel ready for execution of the
21 experiment. This is an 18 foot wide drift, 18 feet high.
22 The high pressure tubing you see coming across here, running
23 up the wall, goes to instruments that are imbedded back into
24 the rock here as much as 50 to 60 feet in some cases. These
25 are targets for high-speed photography. This is the set of

1 flashbulbs used to eliminate those targets and then these are
2 the cameras that were used to get those data. These two
3 crossing pipes are passive gauges to measure closure in the
4 horizontal dimension and closure in the vertical direction in
5 that tunnel.

6 This particular tunnel, the 18 footer, was one of a
7 series of experiments which involved the 18 foot, the 13 foot
8 as you see right here, the 9 foot structure behind that, and
9 then coming back towards you there's a five foot ring drilled
10 opening, five foot diameter, a two foot drillhole, and a nine
11 inch drillhole at the end coming back this way. An inten-
12 tionally designed set of experiments to determine "size
13 effects".

14 The miners were instructed in all drifts 13 feet
15 and smaller to only put in those bolts required to provide
16 safety. These were not pattern bolts. If they crossed a
17 minor shear zone or something of that sort, they'd perhaps
18 put two bolts up with some pure steel mesh between them, so
19 that there was no bolting in the 13 foot and smaller except
20 for those that required, as in this case, for static safety.
21 In the 18 footer, there were bolts at approximately 1.2
22 meters, four feet, spacing, but in most cases, mesh was not
23 provided in here unless we had a truly unstable condition,
24 and in that case, we did put mesh in. And, the fault that I
25 showed you before runs right through this drift from about

1 this point on back to 45 degrees over here.

2 DR. ALLEN: Jay, where was the device itself?

3 DR. MERRITT: The device itself in this particular
4 picture is off to the right.

5 DR. ALLEN: Off to the right?

6 DR. MERRITT: Off to the right, yeah.

7 DR. DEERE: What distance?

8 DR. MERRITT: Can't tell you that, sorry. The reason I
9 can't tell you that is I'll be subsequently referring to
10 particle velocities and accelerations and that sort of thing.
11 And, when you combine the two, that's information I can't
12 divulge.

13 The regression analysis that I mentioned used these
14 definitions of damage. These definitions of damage were
15 created by DNA for the deep basing program. The deep basing
16 program was pursued by the Air Force in the early 80's. It
17 was a method of providing a secure reserve force. This was a
18 series of missiles that were going to be placed fairly deep
19 underground and were able to take the full postulated attack
20 at that point, and then following the attack, come to the
21 surface and retaliate. Level I damage being none ranging up
22 to Level IV requiring complete re-mining and rehabilitation
23 of the tunnel with, of course, II and III being lesser
24 degrees of damage between those.

25 Now, all from a specific series of experiments,

1 I've picked some pictures to try and illustrate Level I
2 through Level IV damage. Here is an instrument alcove. The
3 instrument package being here supported on bungee cord in an
4 alcove off of a much larger drift with shotcrete on the
5 surface of the alcove. As Jim Phillips has indicated, you do
6 get minor dropouts of the shotcrete, but these are of the
7 order of a half to an inch in maximum dimension ranging on up
8 in a few cases to about three and a half inches in size.
9 Typically, from areas like this where the shotcrete has
10 pulled away.

11 Level II damage over on the left side here, this is
12 in the size effect experiment again. Block sizes here
13 ranging up to two feet or so in size which, of course, fell
14 out of the back indicated on here and that would have re-
15 quired, of course, some rehabilitation.

16 Level III damage, still a larger and more contin-
17 uous failure, and in the background approximately a 50 ton
18 block of rock which fell out as a result of opening of that
19 particular fault that we saw in the headway of starting to
20 create the large drift. This incidently saw approximately
21 seven feet per second in the actual experiment and in excess
22 of 19g, not unlike the situation that Jim Phillips talked
23 about this morning.

24 The next picture was taken at a much closer range.
25 This structure saw about 25 feet per second around 300g.

1 This originally was a nine foot drift, side to side, and nine
2 feet high. The original crown of the drift was right there.
3 The back of the drift was right there. This cavity extends
4 about six feet into the top and this rubble was created, of
5 course, by the fallout at the back. These rock bolts, as you
6 may have already inferred, since this is above the original
7 crown of the drift, these were put in for safety when we
8 reopened that drift and went back in. As I mentioned, this
9 is about 30 feet per second, 25 feet per second, and several
10 hundred g. This was a totally unlined drift. So, even a
11 totally unlined drift--by unlined, I mean, no rock bolts--
12 even a totally unlined drift in this tuff was still passable
13 after the event, once the rock bolts were put in there to
14 provide safety.

15 Now, to give the results of the regression anal-
16 ysis, this regression analysis was done by Tom Kipp under the
17 direction of Dr. Kennedy in the audience today and Mr. Steve
18 Short. They postulated the series of 11 parameters of what
19 was considered to be potential for creating damage and did a
20 multi-variant regression analysis and came up with this
21 equation for damage level. The damage level in this case
22 might be 1.25, 2.8, 5.6, but it was measured against the
23 Level I, the Level II, the Level III, the Level IV damage
24 that I presented from defacing. The constant turned out to
25 be 1180, opening width to the .41 power, geologic setting to

1 the .21 power, fault proximity in the denominator to the .04
2 power. A very important equation to illustrate the impor-
3 tance of the various parameters as indicated here; opening
4 width, geologic setting, ground shock orientation, and so
5 forth.

6 DR. DEERE: What did you actually measure or charac-
7 terize in your geologic setting? You had a numerical value
8 of something.

9 DR. MERRITT: Maybe I should refer this to Dr. Kennedy
10 since he was responsible for putting it together. You have
11 --well, maybe I should start and then Bob can correct me.
12 You have reworked tuff in some of the areas where a fair
13 amount of a volcanism or tectonic activity occurs. So, you
14 have from the weak side reworked tuff to fairly pristine,
15 unworked and so forth at the high side.

16 DR. KENNEDY: We basically--I mean, all of these shots
17 occur in limited number of tunnel beds. And, those tunnel
18 beds can be classified into about--I think it's three cate-
19 gories from basically pristine to reworked tuff and then
20 there's a category in between. That parameter was just given
21 a value of 1, 2, or 3, depending on which one of these types
22 of rock you were in. It was relatively imprecise, but it
23 seemed that the data we were reviewing could be broken down
24 so that there was more damage in the reworked tuff than in
25 the fairly pristine. And, so we just classified the tunnel

1 beds. And, so it's really a classification associated with
2 tunnel beds and what type of rock is in those beds. None of
3 these tunnel beds are like where the repository is. So, I
4 mean, I'm not sure how much this is extrapolatable. I don't
5 think it is.

6 DR. MERRITT: However, I think it is important, Dr.
7 Kennedy, to note, as I tried to in the briefing, that it does
8 show the dependence of damage level on various parameters
9 here like opening width. But, I would re-emphasize what Dr.
10 Kennedy has already said and that is one must use it with
11 caution which is the purpose of the next chart. It's very
12 good for the 256 cases that were used, but don't lose sight
13 of the fact that this was developed primarily to give
14 guidance to the test site staff on how to proceed subsequent-
15 ly for designing support facilities like instrumentation off
16 of--and data are still being accumulated in that area.

17 I mentioned the other parameters, the independent
18 parameter being damage deep in the parameters as indicated in
19 earlier equations. Other parameters considered is indicated
20 here. The first two turned out to be uncorrelated. The next
21 two turned out to still be of import, the pre-shock rock
22 conditioning that I mentioned, but there was insufficient
23 data in order to do the regression analysis against, the
24 cases available.

25 The next chart takes another slice of these same

1 data.

2 DR. DEERE: Let me stop you for one second, if I may,
3 before we leave the topic that I just brought up. When you
4 showed the picture of the fault and a major block had dropped
5 out in one of the things, obviously that could have been in
6 one sequence of beds or another sequence or another sequence.
7 But, that particular are was certainly worse than the rest
8 in that bed. So, you really needed something on rock quality
9 perhaps over and above just bed type, even though your exper-
10 ience showed that one bed was different than the other.

11 I mean, this is a question or a statement, what do
12 you think?

13 DR. MERRITT: I certainly agree, Dr. Deere, that there
14 are a number of parameters that have to come in to play in
15 evaluating these data and certainly feel more information has
16 to be considered when we try to extrapolate these data to the
17 welded tuffs at Yucca Mountain.

18 DR. KENNEDY: On that issue, our experience has been if
19 the fault crosses the drift pretty much perpendicular to the
20 drift and if no movement is triggered on the fault as a
21 result of the detonation, the fault does not seem to affect
22 the tunnel performance, in general. If the fault is at a
23 shallow angle across the drift, then it has a substantial
24 effect. If movement occurs on the fault as a result of being
25 triggered by--I mean, these are close in to these detona-

1 tions, very high ground motion. But, if you trigger movement
2 on the fault, then you can get the local damage right by the
3 fault. But, if it's perpendicular to the drift, that damage
4 extends maybe five feet each side of the fault. It's very
5 localized.

6 In response to the other, I said wrong and I've got
7 out my notes now. The three categories were primary ash-
8 falls, that was the best; reworked ashfalls, the middle; and
9 fractured reworked ashfalls were the worst. There are two of
10 the tunnel beds that are fairly notorious for lots of frac-
11 tures. The performance of these minimally hardened openings
12 is much worse in those.

13 DR. CORDING: What do you mean by reworked?

14 DR. DEERE: Must be rubble. Rubbly?

15 DR. KENNEDY: You're getting a little bit out of my
16 area. The are the names that the geotechnical people have
17 given to these beds and we have no--there must be someone
18 here who can give that. I can't.

19 DR. CORDING: Basically, it was a natural geologic
20 feature, not something happening during the--

21 DR. KENNEDY: Yes. No, no, it's natural.

22 DR. CORDING: That's all I--

23 DR. KENNEDY: That they classified the three different
24 --the beds into these three different categories and our
25 experience is the performance does differ significantly in

1 which bed you're in.

2 DR. MERRITT: This is an attempt to--also from deep
3 basing--take another cut at this information. We have found
4 for years the Hendron & Aiyer procedure a very powerful one
5 for doing trade-off studies. If you want to make a decision
6 of just how unconfined compressive--affects a problem, Hen-
7 dron & Aiyer allows you to do literally hundreds of solutions
8 in the matter of an hour on a not very sophisticated desktop
9 computer and then allows you to make decisions on what thick-
10 nesses of material you want to use. If it's one type of
11 lining as compared to what spacing of rock bolts you might
12 want to use for another type of lining.

13 As a result of deep basing, Dr. Kennedy and his
14 staff looked at our experience with safety bolts and I would
15 emphasize this was back in '81-82 time frame. What light
16 pattern bolts and mesh--by light pattern, I mean a spacing of
17 something in the neighborhood of a meter by a meter, three
18 feet by three feet; heavy pattern bolts down to two foot by
19 two foot. And, back in the '81-82 time frame using the
20 Hendron & Aiyer procedure, the strain at the interior surface
21 for those three cases, safety bolts of approximately a 4x4
22 pattern, light pattern bolts of 3x3, and heavy pattern bolts
23 of 2x2, this turned out to be the Hendron & Aiyer calculated
24 strain at the entry of the surface, .5%, 1.5%, and 2.5%.

25 My staff back in the '81-82-83 time frame also were

1 looking at the composite integral liner and backpacked and
2 I'll be showing examples of those subsequently. So, let's
3 hold in abeyance what a composite integral and a backpacked
4 structure are. But, at the interior surface of the composite
5 integral lining, we came up with a Hendron & Aiyer strain of
6 5% and for a backpacked structure, I'll also show a picture
7 of a backpacked structure, 7.5% strain at the backpacking
8 rock interface.

9 The Hendron and Aiyer procedure is a closed form
10 solution developed back in 1970 and published, a closed form
11 solution assuming a hydrostatic stress field around an open-
12 ing with various slanting types on the interior.

13 The question, of course, is how do you relate that
14 to other conditions in the rock surrounding the opening and I
15 shall get into strain gradients in a moment. I've added a
16 chart over the lunch hour to get into the impact of strain
17 gradient. But, I took these as invariants--and I'll also
18 discuss in some detail why I consider those to be invariants
19 --and then applied the straight P-wave strain because it
20 gives a lesser value for the result than you get for the S-
21 wave coming into play and you get 38 FPS from a P-wave, just
22 7500 feet per second times a .5%. You get 19 FPS if you
23 assume a stress concentration factor of 2 or a strain con-
24 centration factor of 2 and you get 13 FPS for the stress
25 concentration or strain concentration of 3.

1 If, on the other hand, you take for Yucca Mountain
2 a P-wave seismic velocity of about 11,000 FPS, you'll get to
3 two significant figures, 55 FPS and 28 FPS and 18 FPS. The
4 final overlay for this brings the same sorts of calculations
5 for the other values of strain here again assuming these to
6 be invariant. And, we have data for structures that have ac-
7 tually seen those kinds of particle velocities out there on
8 the right hand side assuming these kinds of strain levels.

9 Now, why did I assume those to be invariant?
10 Again, back in--I believe it was '82-83 time frame--five
11 agencies of Government labs and independent contractors were
12 asked to make their best estimate of what was going to happen
13 in the tunnel experiment which was about to proceed. The
14 results of the calculations using the then more sophisticated
15 non-linear finite element programs ranged from just under 2%
16 on the low side to 28% on the high side and yet all of the
17 five agencies said that they agreed that there was going to
18 be light to moderate damage despite that large range of
19 strain values.

20 A rather long digression to merely emphasize the
21 fact that even today's finite element programs don't give you
22 the mechanism of damage. All it gives you is the result of
23 running a stress wave across the opening, shaking it with the
24 El Centro Earthquake or Loma Prieta Earthquake. It merely
25 gives you the response of that particular structure or that

1 particular tunnel in this particular case for that given--one
2 still has to make the decision of what is the mode of
3 failure.

4 So, over lunch time, I added--and, I'll come back
5 to that chart--this handwritten, highly simplified situation.
6 If I have a stress wave, a P-wave running straight down the
7 axis of the tunnel, there's no angle of incidence whatever--
8 it's going straight down the axial direction--axially,
9 there's no gradient. Circumferentially, however, you get the
10 hydrostatic condition behind the stress wave propagation, in
11 which case approximately three radii from the center, you'll
12 get within 5 to 6% of the magnitude of the incident stress
13 and you'll get twice that at the edge of the opening. So, an
14 implied gradient of one sigma and one R at that condition. A
15 P-wave even in the nuclear events is not the only thing that
16 occurs. You get very significant off-axis motion indicating
17 that it's certainly not just the pure P-wave which strikes
18 these various tunnels.

19 However, if I jump to another pure situation of an
20 S-wave intersecting the tunnel at an angle, it's going to
21 create in the worst case a magnification of four at the entry
22 to the surface, and again out at like 2R from the edge, it
23 will be within 5 or 6% less stress. You have fairly strong
24 gradients either from a P-wave or the S-wave and, of course,
25 in the real case, you get a very complex system of SH, SV,

1 and possibly P-wave coming into the picture.

2 But, further, to try and put into context my
3 assumption of the condition of .5%, 1.5%, and so forth, I
4 look at conventional reinforced concrete, and if you've got a
5 column of conventional reinforced concrete--and, I emphasize
6 conventional--this is not mesh imbedded in the concrete, at
7 all. This is just rebar and rebar alone creating the rein-
8 forcement. ACI Code 318-89 explicitly for--gives a failure
9 strain of .003 and it implies for no gradient or column, a
10 strain of .0015. So, I argue with myself, at least, and
11 staff that we certainly don't have the pure situation that's
12 represented here. We're always going to get a super position
13 of a great complex series of waves even for the fairly clean
14 case of a completely contained explosion. And, consequently,
15 I took those strains as a variant.

16 Now, the other side of that would be to say that
17 the condition created by an earthquake is a very complex one
18 and its complexity is going to create stress and strain
19 gradients depending upon whether you're looking at the elas-
20 tic problem or the plastic problem which are a heck of a lot
21 more complicated than what I've indicated there. And, if
22 that were the case, these should probably be adjusted depend-
23 ing upon what the condition of your particular wave--but, if
24 you assume that it's invariant, you end up with the numbers
25 that I've summarized over here.

1 As a number of people have already said, we have to
2 be very cautious of extending these data. I believe in my
3 digression I've already talked about most of the caveats over
4 there. But, I come to this summary for the raw data. That
5 for safety bolts, the 4x4 pattern indicates the capability to
6 withstand shaking of up to 13 FPS. We've harked back to the
7 historical data.

8 As already emphasized, there was no damage for the
9 cases of indicated peak surface velocity of 2/3 FPS over the
10 surface above the opening and only minor damage for estimated
11 peak particle velocity over the surface of 3.1 FPS. But, I
12 would also hark back to the fact that the most recent look at
13 these data indicates very little damage below 50 meters and
14 essentially none below 300 meters in depth.

15 But, now if we just take the straight ratio of this
16 13 to the .67, you get a raw knock-down factor, as I've
17 called it here, which shows that ratio of 19 or the lesser
18 raw factor of 4.2 as the ratio of the 13 to the 3.1. Which
19 leads me to the conclusion, as indicated here, it strongly
20 suggests shaking produces no problems for the openings of
21 Yucca Mountain if we use safety bolts on a 4x4 pattern. But,
22 of course, we have to be aware of some of the things that a
23 number of people have alluded to, shear zones, faults, and
24 that sort of thing, where even static conditions are going to
25 perhaps create problems for us.

1 Now, I'm changing horses rather dramatically and
2 postulating possible or potential modes of failure due to
3 earthquakes and we postulated five such principal modes;
4 spallation and flyrock, general structural failure from
5 shaking, two subdivisions of local structural failure. One
6 from shaking due to weaker generalized zones, and secondly,
7 by discrete motion along bedding planes, as already mentioned
8 by Dr. Kennedy, a so-called block motion and the weapons
9 effects area. We also postulated inundation from perched
10 water as a potential mode of failure and triggering of incip-
11 ient rock bursts as the final one. The rest of the briefing
12 I've attempted to address each of those items.

13 However, harking back to the statement that we
14 strongly--that the information strongly suggests that shaking
15 by itself is not a principal cause of damage, I shall only be
16 in the subsequent briefing looking at the remaining four
17 items; spallation, block motion, inundation, and possibly
18 triggered motion rock bursts.

19 In most cases, I'm just trying to scope the problem
20 and then summarize the indications from that scoping. And,
21 the first such attempt is shown here for spallation and
22 flyrock. Let's take the right hand side first. The under-
23 ground nuclear explosions normally characterized, as already
24 mentioned by a number of people in reference to Jim Phillips'
25 briefing, usually much longer duration, but there frequently

1 is some high frequency hash on top of that long duration, a
2 fairly simple wave form. Only one case in approximately 500
3 such examples where there's been fairly likely mode of fail-
4 ure was one of spallation.

5 If, on the other side, we look at the earthquake
6 and assume we have an incident wave as shown here, solid, and
7 a reflected wave over the free surface, the geometry shows
8 that we're dependent upon peak velocity in the medium, effec-
9 tive tensile strength, unit weight, and frequency, and I've
10 assumed a 60 cycle dominant frequency. Of course, it depends
11 upon what earthquake you're looking at and what you do to it,
12 whether you count zero crossings or you do a spectral analy-
13 sis to determine--primarily used with a scoping calculation,
14 60 cycles per second, which is consistent with apparent
15 spectral density before the earthquake down in El Centro.
16 You go through this, you compute a spall depth, the reflected
17 wave exceeds the stress in the incident wave by the effective
18 tensile strength. It creates the spall of 1.6 feet.

19 If on the other hand, I assume that the cross-
20 sectional area affectively associated with that spall is 6x6
21 inches, of course, it's going to be probably very ragged.
22 That gives me a kinetic energy trapped in the spall as a
23 result of the failure and the momentum trapped in it of 72
24 foot pounds. If, in turn, I take two crossing wires not
25 meshed, just two crossing wires of a four foot pattern and

1 vary the yield strength and diameter of the wire, it takes
2 four to six inches of displacement to absorb at 72 foot
3 pounds of energy. Of course, this would not necessarily
4 happen, at all, first of all. Second of all, it would be
5 very unlikely if it were to occur right at the middle of the
6 four foot span of welded wire fabric or chain-link fence. We
7 consequently summarized that production from flyrock that
8 occurs is readily provided by wire mesh and rock bolts.

9 Now, to get to the possibility of block motion and
10 discrete motion along planes of weakness, I'll show a few
11 photographs, first of all. Almost all of the lined struc-
12 tures used in the tests at the Nevada Test Site in recent
13 times have been pre-fabricated and moved to the tunnel and
14 then moved underground. So, this is a fairly typical struc-
15 ture shown at the portal. These are just picked up--near the
16 portal being prepared, ready to go underground. I shall
17 return to that to give you more details on what it really
18 represents.

19 But before I do that, let's look at a case where we
20 had a fault that intersected a drift at essentially right
21 angles to the axis of that drift. You're looking down the
22 tunnel here. The actual structure goes from off the view
23 over here to a point right down here as the end of the struc-
24 ture, right in here. This was the adjacent structure and the
25 bolt circle for the reinforcing the adjacent structure.

1 These are passive gauges--these are mounts for passive gauges
2 within the structure and they are two feet apart. And, the
3 fault passed coincidentally--this wasn't by design--coincidentally
4 fell between the passive gauges and the displacement you see here
5 is continued on over here so that the total. So that the total
6 displacement from right there to right over here was 19 inches,
7 about 50 centimeters.

8 I'm not saying that 50 centimeters is the criterion that we're
9 going to have to design to. In fact, I'd be surprised if we end
10 up with anything of that magnitude. All I'm saying is here is a
11 strong structure that was gullotined, as Dr. Kennedy has already
12 pointed out. These markings here are for passive gauges. These
13 are eight inches apart. So, the maximum extent of this displacement
14 on this particular fault crossing at essentially 90 degrees is eight,
15 16, 24, and about half the next one, about 28 inches. So, the
16 devastation created by that fault on this particular structure
17 was encapsulated within just over two feet of the length of the
18 structure. Again, it crossed at right angles to the particular
19 structure.

20 DR. DEERE: On the left side, there's no displacement.
21 Am I looking at it right?

22 DR. MERRITT: That is correct. That is correct. This is still
23 relatively pristine and you've led me into the next chart.
24
25

1 This is a companion structure further down the
2 drift. This one is the 11th structure on further down the
3 drift. All 10, between the one you saw guillotined and this
4 one, had no perceptible damage on the inside. This one--and
5 again I intentionally pointed out the gauge mounts here near
6 the center of the structure--the fault that you saw started
7 right there and extended for 28 inches along that structure.
8 This structure is a much weaker structure. This one has
9 only three and a half inches of concrete surrounding it. The
10 one you saw that was guillotined had 12-1/2 inches of
11 concrete, so almost four times as much concrete. This one,
12 incidentally, saw two loadings. One of almost 50 FPS moving-
13 -a stress wave of moving across right to left and then it was
14 reloaded with a loading of about 30 FPS with the stress
15 weight moving axially along the length of the tunnel. But,
16 here is a structure much weaker than the one with the--that
17 by happenstance crossed the fault; yet, it withstood the
18 loading with no difficulty whatever. You might say what
19 happened here--you see the weld right there and there's
20 displacement along the weld--part of that is due to the lack
21 of precise alignment of the weld by the manufacturer. The
22 principal criterion for emplacing these was to make sure the
23 passive gauges fell exactly at the cardinal points, zero
24 degrees, 45 degrees, 90 degrees, and so forth. So, if the
25 fabricator, as it turned out, was not precise in aligning his

1 field, he missed his angular position by that.

2 But, more importantly, the slight relative dis-
3 placement you see right here is a result of the fact that
4 this structure in the foreground, from here on back, was a
5 stronger structure and did not have as much displacement as
6 this one right here. That deformed to a greater extent
7 because of the lesser amount of structure there.

8 MR. TILLSON: Is the geologic conditions in the two
9 tunnels exactly the same or the rock types?

10 DR. MERRITT: To the degree that that's possible, yes.
11 They were all in--

12 MR. TILLSON: The general quality of which--

13 DR. MERRITT: Yes, yes, yes. All of these were in, I
14 believe, the four bed, but I'm not sure. But, to the degree
15 that the geologic setting could be made the same over a
16 length of some hundred feet of drift, they were the same.

17 To further put that into context and to lead to the
18 bottom line of this segment of the presentation, here is a
19 structure that saw in two loadings--in the first case, almost
20 90 FPS with the loading moving across this way, and then
21 subsequently, almost 120 FPS with the loading moving from
22 that dome structure back this way. So, this structure saw in
23 round numbers twice the loading of the one that you saw of
24 the guillotine and then the 111 structure further down. No
25 obvious distress when there was no fault proximity. Again,

1 here are the passive gauge mounts. So, the structure actual-
2 ly goes from there to there. Again, you've got relative
3 displacement here, but that's due to the fact that this
4 structure right here was stronger than this structure running
5 from here, this way, and consequently, it had the lesser
6 response than this one adjacent to it. These are the gauge
7 mounts. So, the actual structure goes from here to here.

8 I would also draw to your attention this upstanding
9 2x6 inches, it turns out, steel bolt circle which was used to
10 put the end closure on this particular structure. The end
11 closure was a dome with a steel manway through the end of the
12 dome.

13 So, now, let's go back to the pre-fabricated struc-
14 ture that I showed you before and I'll show you the dif-
15 ference between the structure that saw the 90 to 100 FPS
16 versus the one that saw half that. This structure--this is
17 that bolt circle I just showed you, the two inch wide by six
18 inch high steel plate merely welded to a 3/4 inch steel plate
19 that formed the interior lining of this particular structure.
20 That structure was surrounded by 12 inches of conventional
21 reinforced concrete, but with so-called Nelson studs--studs
22 welded to the outside of the steel plate--to create a shear
23 transfer between the steel plate and the concrete.

24 And then, the last of the series of structures I
25 showed you, the one that saw, let's say, 100 FPS had sur-

1 rounding it one foot of cellular concrete. Cellular concrete
2 in this particular case had a nominal yield strength of
3 1,000psi. It was 12 inches thick. And, that 1,000psi repre-
4 sents the yield plateau, if you will, and that yield plateau
5 extends for this particular material to a strength of almost
6 30%. So, had this structure been back in the case with the
7 one that was guillotined, it could have withstood something
8 in the neighborhood of four to six inches of displacement
9 without putting any distress on the interior structure.

10 But, what's the difference between the one that saw
11 the guillotine versus the one that saw twice the loading and
12 saw no guillotining? It's this frangible, crushable, break-
13 able packing material surrounding it. I'm not saying that
14 that's the solution that we're going to have to adopt
15 because, as already indicated, that was 50 centimeters of
16 displacement that we had to accommodate. It's more than
17 likely that the displacement is going to be much smaller.
18 But, if we have to over a very short length of tunnel for,
19 let's say, retrievable purposes or whatever purpose--I need
20 get back in the tunnel following an event--this short length
21 of structure provides a potential solution to having to cross
22 those kinds of conditions.

23 Now, this in a few words, I think, summarizes what
24 I just tried to say. That we're not saying that block
25 motions are going to occur of large magnitude, but should a

1 very isolated condition develop, there is a engineering
2 solution to that particular problem.

3 Inundation from perched water was the next to last
4 postulated condition from earthquake damage. Again, I relied
5 on a study done for deep basing; this one for ballistic
6 missiles off of the Air Force done by Joel Sweet and myself
7 back in '86--well, actually, late '85 and the report was
8 published in '86. Extensive series of calculations were done
9 using the SATURN Program; SATURN for saturated non-linear.
10 It's a true effective stress model. Treats water as water,
11 the porous rock as porous rock, allows the water to flow in
12 the in the interstices if you have cracks in the pores, if
13 you've got only pores. It also invokes a critical state or a
14 cap model to both control the dilatency, as well as induce
15 potential for compaction within the material.

16 We always said if a crack existed, at all, a single
17 crack, and these are the typical conditions--again this is
18 for deep basing where we were looking at high stress waves,
19 high level stress waves, .4--6,000psi, typical input, 40
20 millisecond rise time, 1.5 second duration. However, we also
21 did three problems with 3,000psi, 1500psi, and 750psi. These
22 are the variables that we considered, at least in summary
23 form--there were some variations in this. Since we didn't
24 have a three phase model to include air, we adjust the bulk
25 modulus of the water in order to approximate the conditions

1 for air flow voids.

2 If you have 6,000psi stress imposed on a 16 foot
3 tunnel, you get five gallons of water per foot driven into
4 that tunnel if you start with a fully saturated condition in
5 the rock, or 5,000 gallons for 1,000 feet of tunnel. It's
6 not quite linear in terms of size of opening. Applying the
7 same stress levels and so forth for half that size opening,
8 you only get two gallons, .4 as much water. And, you have to
9 go to a totally open crack, no impediment whatever to the
10 flow, in order to get 59 gallons per foot entering a 16 foot
11 tunnel, again driven by 6,000psi. And, for the 1/8 of 6,000,
12 only .8 of a gallon. So, if perched water is a problem,
13 pumping will suffice during construction and grouting will be
14 adequate for the long-term.

15 I might mention at that point that Mr. Joe LaComb
16 who is in charge of the DNA operations at the Nevada Test
17 Site has developed a number of means of injecting grout into
18 these ash-flow tuffs and he's a real resource in terms of
19 coming up with practical solutions for handling the multitude
20 of problems that are encountered at the test site.

21 Finally, triggered rock bursts, the bulk of the
22 information from triggered rock bursts comes from the South
23 Africans and they, of course, back in the 60's and before
24 were having a great deal of damage due to rock bursts. And,
25 they found out that the principal problem was excessive

1 compressive stress and they were able to largely eliminate
2 the problems of rock bursts at their 10,000 foot depths--as
3 an indication of the kind of depths they were looking at--and
4 were able to get around those by planning their stope
5 development to avoid regions of suspected or measured high
6 compressive stresses.

7 Now, this is a very simplified look at Yucca Moun-
8 tain. I've assumed a Kirsch sort of solution, took the
9 maximum lithostatic stress like 1600psi. The Kirsch kind of
10 solution gives you about 4500psi locally around the opening
11 which says that you've got to reserve even against the pessi-
12 mistic 6,000psi about 1500psi around the opening before you
13 start to get concerned. But, I would quickly add that this
14 is a very--quickly emphasize, as already said, that this is a
15 very simplified thing. You'd have to worry about the tec-
16 tonic stresses on linear behavior and so forth. However, you
17 know, the current RIB, as it's called, the data base, is
18 showing unconfined stress capabilities more like double the
19 10,000psi, more like 20,000psi. So, in summary, triggered
20 rock bursts look unlikely at this site for the depths that
21 we're currently considering.

22 The final summary of all the material that is
23 included is given up here and that is shaking and spallation
24 are taken care of by using safety bolts on approximately a
25 4x4 pattern. Block motions, if the developing criteria

1 indicate they may be a problem with very localized condi-
2 tions, we have engineering solutions for that. Inundation by
3 perched water, there are engineering solutions for that. And
4 then, triggering of incipient rock bursts seems unlikely at
5 this site and at this depth.

6 DR. ALLEN: All right. Thank you, Jay.

7 Do we have questions from the Board or--

8 DR. DEERE: I have a comment. I might have another
9 question later, Jay.

10 With respect to the rock bursts susceptibility, I
11 don't know what the South African experience was, how they
12 could predict zones where they thought it might take place.
13 But, in a recent tunnel that was driven for a distance of six
14 kilometers in Chile, a rather large tunnel about eight feet
15 in diameter, through some Tertiary granite which was moder-
16 ately jointed, but in general you would have to say it was of
17 good quality, seismic velocities on the order of 5,000 to
18 6,000 meters per second, and they were at a depth of 400 to
19 600 meters--so that means we had a lot of stress available--
20 and, as soon as the jointing became more widely spaced and
21 tighter, we found no water was coming in, although on either
22 side you would run into water, and the tunnelers soon learned
23 that that was country-rock because the rock quality was so
24 good, the jointing being almost absent and what was there was
25 just incipient, so that indeed there were higher stresses in

1 those zones. And, even though the rock was so great--I mean,
2 it's strength was so great, it came to the point that the
3 stress concentration exceeded that. And, the failure that
4 took place usually took place from the area that had been
5 blasted the day before. They were not from the face where
6 you had a three-dimensional stress field and, therefore, not
7 as high a stress, but about one tunnel diameter to two tunnel
8 diameters behind them where they were going into a true two-
9 dimensional effect with higher stress concentration. And,
10 they had a whole series of rock bursts to the point that it
11 became very dangerous to work there.

12 But, my key point there is wherever they had normal
13 jointing, they knew they were home free because their only
14 problem was putting rock bolts in to keep rocks from dropping
15 out. Where the rock quality got so good that it was dry and
16 practically no jointing, they were very scared.

17 DR. MERRITT: I was just trying to think, Dr. Deere.
18 First of all, I'm not familiar with the case that you were
19 referring to, the eight foot tunnel in Chile.

20 DR. DEERE: 28.

21 DR. MERRITT: I'm trying to recall the specific paper
22 and authors that I used. It was a '68 paper out of South
23 Africa and the specific conditions they found to stay away
24 from was the footwall of a normal fault. They were getting
25 suspicious, and in some cases, measured very high in-situ

1 stresses.

2 DR. DEERE: Right. I'd like to give a second case then.
3 The first case, the one in Chile, was where the rock quality
4 improved and, therefore, we had higher stress. And, when the
5 factor of safety became one, it failed.

6 The other case is in Panama in a thick andesite
7 flow. This again was considerable depth, about 400 or 450
8 meters. There, the andesite was very massive, very strong,
9 not too many joints. And, yet, the rock was strong enough
10 that it could take this high stress that's peaked up and they
11 had no particular problems. However, from time to time, they
12 would run into a zone where the andesite was vuggey. It had
13 a lot of porosity, some secondary calcite in-filling, good
14 enough to transmit the stress. So, we still had a lot of
15 high stress. But, in this case, its strength went down. So,
16 in those areas, we got continual problems with rock bursts.

17 And, the interesting thing, the solution there was
18 a little bit easier than the one in Chile. The solution was
19 instead of using for a temporary support rock bolts, mesh,
20 and one layer of shotcrete, it was to use rock bolts, mesh,
21 shotcrete, another layer of mesh and shotcrete. And, just a
22 difference in the support capacity was sufficient to stop the
23 failures.

24 DR. ALLEN: Bob, do you have a comment?

25 DR. KENNEDY: I had a comment, but first on this rock

1 burst issue, Jay, are you aware of whether there has been any
2 rock burst problems in any of these tunnels there at the
3 Nevada Test Site?

4 DR. MERRITT: I have seen none.

5 DR. KENNEDY: I have seen none either.

6 DR. CORDING: Well, we've had--the rock fracturing
7 occurs down there around the openings and there's failures
8 that develop with excavation. And, we've had one case where
9 there was a small, you might call it, a bump or a small burst
10 or pop or whatever, where the miners walked in and they said
11 it felt like it was, you know--came off the floor. It must
12 have been a little bit of acceleration. But, it was when we
13 were opening up a very large opening and we had some stress
14 concentrations and the opening was about 50 feet wide. It
15 was fairly quiet. We were getting high stresses near the
16 sidewall, but the rock is weak enough in the end tunnel at
17 that depth that it will relieve, but there's not much energy.
18 And, so the dynamic effect is almost non-existent. And, I
19 think that's, you know--with the rock bursting at the very
20 large depths, there's a lot of energy released, enough to
21 even close drifts. And, so you just don't see that.

22 DR. KENNEDY: Yes, I had some things I wanted to mention
23 with regard to the minimally hardened tunnels, not your super
24 hard, but your minimally hardened tunnels where, as you indi-
25 cated, you gave a set of criteria which by your calculations

1 would indicate about 13 FPS, peak particle velocity capa-
2 bility. I think, you know, that we may quibble a bit. I may
3 think that's a little bit more optimistic than a median. You
4 may think it's a little less optimistic than a median. But,
5 it's probably out there close to a median estimate.

6 I do think we do have to worry about large scatter
7 about those estimates. For instance, that particular shot
8 you mentioned where there were five agencies to predict the
9 damage of one of these minimally hardened tunnels, yours was
10 one, mine was another, we all predicted light to moderate
11 damage. The actual damage was moderate to heavy. In other
12 words, all five missed on the prediction. Since then, I know
13 we have lowered those strain limits that--the strain limits
14 that you showed there were back from 1982. We've lowered
15 those some since. I do think we've got to worry about this
16 scatter at depth.

17 I had one other thing. The Dowding & Rosen paper
18 which indicates minor damage below 3.1 feet per second,
19 that's very consistent with the kind of Nevada Test Site
20 experience. In other words, we would never predict damage
21 below that kind of number, no matter which of these
22 approaches. So, that's all consistent, but it is worrisome
23 to me that the more recent Sharma & Judd paper indicates that
24 you have to get down to about .12g for an 80% confidence.
25 That is outside of my range of experience if you'd have to

1 get down that low. Do you have any explanation for why
2 they're--

3 DR. MERRITT: The principal reason, I think, that it
4 gets down that low is they, like others, have put to put the
5 E.G. Wright Tunnel, for example, into their overall regres-
6 sion analysis. E.G. Wright Tunnel was damaged in the 1906
7 San Francisco Earthquake by four and a half feet of block
8 motion along its length. E.G. Wright #2 which was parallel
9 and removed by about 60 feet did not have the fault crossing
10 it and saw no damage, whatever. So, they in putting these
11 data--information, I prefer to call it, rather than data--had
12 to include all things by virtue of the fact that if you start
13 eliminating things--for example, if you start looking at only
14 brick lined tunnels, my recollection is there are nine of
15 those 192 cases that are brick lined tunnels--there are 14
16 un-reinforced concrete tunnels. So, if you start eliminating
17 things from the 192, you end up with potential statistically
18 insignificant--by the other side of that coin, when you start
19 mashing the whole 192 together, you have a number of situa-
20 tions which probably shouldn't be attempted to correlate.
21 And, their results of the rather pessimistic value of ac-
22 celeration level include all those things.

23 DR. DEERE: I had this morning two pages of comments
24 regarding the statistical use of tunnel collapses and faults.
25 I'm going to give that tomorrow morning and I hope that a

1 couple of the points will apply to the inadequacy of many of
2 the case history studies.

3 DR. ALLEN: You know, I think we're just going to have
4 to move ahead here. I'll remind you once again we don't have
5 the option this afternoon of going on forever. We've got to
6 be out of the room by five-thirty.

7 Thank you, Jay.

8 Ardyth, do you want to introduce the next speaker?

9 DR. SIMMONS: Thank you. The next speaker will be
10 Richard Quittmeyer with Woodward Clyde. Currently, Richard
11 is leader of the Seimology and Geophysics Group for the Yucca
12 Mountain Project. He has extensive experience with seis-
13 mologic monitoring networked in the area of New York and New
14 Jersey, and has conducted seismic hazard evaluations around
15 the world.

16 MR. QUITTMEYER: Okay. The last couple talks that we've
17 just heard have discussed some of the seismic vulnerability
18 aspects of the surface facilities and the underground open-
19 ings, and I'm going to kind of shift gears a little and bring
20 the discussion back to more of a geologic focus, with par-
21 ticular attention to the site characterization program and
22 how that can gather the information we need to address the
23 seismic vulnerability concerns.

24 The scope of the presentation will be first to
25 identify what the seismic vulnerability concerns that we

1 derive, that we shift out of the previous talks are, and then
2 to go over how the site characterization activities will
3 address those concerns. We'll be concerned with both the
4 surface facilities and the underground openings, and we'll be
5 concerned with two different time periods; the preclosure and
6 postclosure time periods.

7 Based on the previous discussions today, we feel
8 that there are two main concerns that we can derive from the
9 seismic vulnerability discussions, and the two concerns are
10 fault displacement and ground motion. The reason why these
11 are concerns come from various types of damage that can
12 occur. For fault displacement in the surface facilities,
13 we're concerned with release from, say, the waste handling
14 building, release of radioactivity caused by damage
15 associated with actual fault displacement. For ground
16 motion, we're really interested in the same thing, but in
17 this case, the damage from ground motion, not from fault
18 displacement.

19 In the underground, during the preclosure period,
20 our primary concern with seismic vulnerabilities are
21 maintaining the ability to retrieve the waste if that's
22 required, if the decision is made to do that. In terms of
23 fault displacement, we're concerned with things like
24 displacement in the emplacement borehole that perhaps could
25 jam the waste container and make it hard to get out. For

1 ground motion, it may be things like spalling of rock into
2 the air gap around the emplacement borehole, again making it
3 more difficult to remove. We also could be concerned here
4 with rock fall in the tunnels that provide access, that we
5 would need to maintain the access to get the--to retrieve the
6 waste.

7 For postclosure period, we're concerned with--
8 again, in terms of fault displacement, here we're concerned
9 with actual fault displacement and rupturing the waste
10 containers and allowing releases beyond those which we can
11 accommodate.

12 In the rest of the talk, I'm going to address first
13 fault displacement as it applies to surface facilities and
14 then to the underground, and then ground motion for both the
15 surface facilities and underground, and I'm going to try and
16 give a very brief assessment of sort of the current state of
17 affairs with respect to the seismic vulnerability concerns
18 that were expressed in the previous talks; then to present a
19 strategy derived from the site characterization plan on how
20 to address these seismic vulnerability concerns; and then
21 indicate the types of information that will be required and
22 then show how the site characterization activities will
23 gather that information and try and show how the current
24 focus of the site characterization plan is gathering the
25 information we need now.

1 So the preliminary assessment of sort of the state
2 of affairs concerning seismic vulnerability is that
3 reasonably available technology will allow us to design to
4 accommodate small displacements, and here we're not even
5 really thinking of fault displacements, but there are
6 displacements associated with differential displacement and
7 settlement, things like that, which it's just standard
8 practice that buildings can accommodate these things.

9 If we go back to Phil Richter's talk earlier where
10 he mentioned some of the preliminary assessments of the
11 amount of resistance that is inherent in the current waste
12 handling building design, we find that this current design
13 can accommodate several inches of vertical displacement and
14 up five-ten inches, 15 inches of horizontal displacement.

15 We realize that we'll probably never know perfectly
16 without any doubts that there would never be any new faulting
17 or faulting along unrecognized faults, but we believe that
18 given our site characterization program, the amounts of
19 displacement that we can expect from these types of faulting
20 will be small and that they'll be accommodated by the design
21 of the facilities.

22 So our strategy, then, is to detect and avoid the
23 fault locations, and any residual uncertainties that we have
24 concerning the possibility of fault displacement will be
25 accommodated in the design.

1 So rephrasing this, we can put this as a question.
2 What we need to know is: Where are the faults? What types
3 of displacements have occurred on them? And here we're
4 concerned with the preclosure period, so we're identifying
5 faults that will be of interest during that time period. To
6 do this we'll need information on detection of faults, on
7 their displacement, and on the tectonic framework in which
8 they exist.

9 By detection, we're concerned with the locations of
10 the faults, with their lengths, their orientation, their
11 width, and part of detection is also understanding the bounds
12 on detection, or our ability to detect faults down to
13 certain--well, just that some faults we probably will not be
14 able to detect and we need to understand the characteristics
15 of those.

16 In terms of displacements, we need to know rates of
17 displacements. We need to know displacements during
18 individual events. We're interested in whether displacements
19 are associated with secondary faults or with primary
20 faulting. We're also interested in segmentation of the
21 faults and as that relates to the amount of displacement that
22 may be expected in any one particular rupture of any one
23 particular segment.

24 In terms of tectonic framework here, we're
25 interested in the interrelationship of the faults. If one

1 fault goes, are other faults going to also slip at the same
2 time?

3 So how will the site characterization plan studies
4 and activities gather this type of information? The types
5 of--I tried to group the site characterization activities
6 into broad groups rather than going through in excruciating
7 detail every single activity and how it would relate to this
8 problem.

9 The four main types of studies that will deal with
10 the fault displacement issue at the surface facilities are
11 Quaternary geologic mapping, paleoseismic studies, some
12 geophysical studies, and tectonic model studies. Most
13 important, probably, here will be some of the work that the
14 preliminary--the work in Midway Valley, which the preliminary
15 results, the results from the early trenches was presented
16 earlier by Bert Swan.

17 I can see that we're going to excavate trenches
18 across the proposed site of the surface facilities, and this
19 will be to either--hopefully to document the absence of
20 faulting there, but when we do it we'll see what we find.

21 In terms of identifying the locations of some of
22 these faults with quaternary motion, a lot of that work is
23 ongoing and has been ongoing for a number of years now.

24 The next topic will be fault displacement as it
25 affects the underground facilities. Here our preliminary

1 assessment is that the most vulnerable areas are those where
2 faults are going to intersect the underground openings, and
3 we do have technology available that allows us to design the
4 tunnels to accommodate some of this fault displacement if we
5 deem that that's necessary.

6 Our strategy, again, will be to attempt to avoid
7 the faults in siting the emplacement of the waste containers.
8 We'll provide an appropriate design for the ramps and
9 tunnels to maintain the retrieval options, and when we say
10 appropriate, it may be that we don't need to do extensive
11 reinforcement of the tunnels given the low probability of
12 fault displacement. We may decide that the best and most
13 cost effective way to go about it is just to do standard
14 reinforcement, and if you do get some fault displacement, you
15 can go in and mine out the debris and if you need to retrieve
16 the waste, you can do that.

17 Also, finally, part of the strategy is to design
18 the emplacement to accommodate any of the residual
19 uncertainties we have concerning detection or amount of
20 movement on faults.

21 So what types of information do we need to
22 implement this strategy? Pretty much the same as for the
23 surface facilities, except now we're concerned about both the
24 preclosure and postclosure period. Again, we'll be requiring
25 the same types of data; detection of faults, displacement on

1 faults, how they fit in the tectonic framework, how the
2 faults are related to one another.

3 For the underground, a lot of the same site
4 characterization activities apply. Additionally, though,
5 we'll have the studies carried out in the Exploratory Study
6 Facility which will provide sort of the ground truth on the
7 faults that are occurring in the--beneath Yucca Mountain. So
8 we still will rely some on the surface studies because they
9 will also be telling us about where the faults occur, but we
10 feel that our primary ability to identify faults and
11 fractures in the underground is going to come from the
12 studies carried out in the Exploratory Study Facility.

13 Okay, now we'll shift over to ground motion, and
14 here, as Terry discussed this morning, we think we're dealing
15 with earthquakes somewhere in the magnitude range of $6\frac{1}{4}$ to
16 $7\frac{1}{4}$. We also believe that probably the types of ground motion
17 that's going to be driving our assessments of seismic
18 vulnerability are going to be those from earthquakes rather
19 than underground nuclear explosions. There may be some
20 periods of interest where the UNE's may contribute, but it's
21 going to be primarily an earthquake ground motion problem.
22 And we also have reasonably available technology that allows
23 us to design for the levels of ground motion that can be
24 expected at the site.

25 This figure over here just shows--this is a figure

1 taken from the cost benefit analysis showing the difference
2 in costs of designing for different levels of ground motion,
3 and you can see that between about .24 and .53 it's fairly
4 insensitive. Even as you get up to higher levels, the cost
5 doesn't become too bad. The point here is that we've been
6 designing engineered structures for ground motion for quite
7 awhile. There are a number of nuclear facilities that are
8 designed for ground motions, accelerations on the order of,
9 say, .7 g. This is not something where we're going to have
10 to go out and reinvent the wheel. It is part of the standard
11 practice of today.

12 So what is our strategy? Our strategy is to carry
13 out the studies needed to determine the appropriate design
14 basis for the surface facilities. To do this, we're going to
15 have to answer the standard questions for, you know, seismic
16 hazard analysis: What are the sources of the earthquakes?
17 This will include evaluations of which model or models are
18 credible. What is the rate of recurrence of these
19 earthquakes? How big are they going to be, and what is the
20 level of ground motion that they're going to generate and how
21 is that going to attenuate with distance?

22 To gather that information, we have a number of
23 activities and studies in the site characterization plan.
24 Some of the studies we've already seen because they also
25 apply to the fault displacement issue. We also, though, now

1 have seismic monitoring studies. These will help us in terms
2 of evaluating our ground motion model.

3 In terms of evaluating the seismic sources, we'll
4 be using the geologic mapping studies, the paleoseismic
5 studies will be giving us information on recurrence rates.
6 Our tectonic model studies will be helping us to evaluate the
7 different models that we'll incorporate into our hazard
8 assessments, and in terms of hazard assessments, we'll be
9 looking at both deterministic and probabilistic approaches.

10 In terms of the underground and vibratory ground
11 motion, just showing a figure from the Sharma & Judd paper in
12 which they indicate the type of damage that they noted in
13 different cases versus the depth of overburden. We see that
14 heavy damage is primarily occurring for the shallower depths.
15 As the overburden gets up to about 300 meters, the
16 occurrence of heavy damage is no longer observed.

17 As we've seen from some of the previous discussions
18 today, the levels of ground motion from UNE's are quite a bit
19 higher, although we recognize that ground motions from UNE's
20 is not the same as ground motion from earthquakes. But they
21 seem to indicate that the tunnels can withstand quite large
22 ground accelerations and velocities.

23 So again we come to what our strategy is here.
24 We're going to design the underground openings to remain
25 stable for the expected ground motions. We have the

1 technology available to do this and we'll provide seismic
2 design values for design of the waste container and
3 emplacement.

4 Moving through this fairly quickly, it's again the
5 same as for the surface facilities. Here one difference,
6 though, will be that for the ground motion model, we'll also
7 be very interested in the effect of depth on the ground
8 motions that are observed. Data to address that issue will
9 be coming from the seismic monitoring, which will be
10 gathering site specific data to develop models or to
11 calibrate models that exist.

12 And just to summarize now, one of our basic
13 strategies is going to be to identify and avoid faults in
14 siting both our surface facilities and the waste emplacement
15 boreholes. The site characterization activities that we're
16 currently carrying out, the geologic mapping that's going on,
17 the studies that are underway in Midway Valley directly
18 address this issue.

19 A second point, secondary faulting, undetected
20 faulting, and new faulting, these are issues that we need to
21 evaluate further, to think about some more, but it seems that
22 right now the rates of--the amounts of displacement and the
23 rates of occurrence for these types of faulting are going to
24 be small.

25 And finally, the anticipated ground motion levels

1 at the site, both for the surface facilities and in the
2 underground, can be accommodated and designed for using
3 reasonably available technology, and our site
4 characterization plan includes a number of activities that
5 are aimed directly at coming up with the value that is
6 appropriate for design.

7 So those are the end of my remarks.

8 DR. ALLEN: Thank you, Richard.

9 Your presentation brings up a number of questions
10 of prioritization, and so forth, and I think they're the
11 kinds of things we might want to be talking about tomorrow
12 afternoon in the session. We might all be thinking about it.

13 Any specific comments from Board members? If not,
14 Ardyth, I'd like to suggest maybe we take a break and then
15 have your summary at the end of the break. Is that okay, or
16 would you rather do it continuously right now?

17 DR. SIMMONS: It's okay, but my summary's going to be so
18 brief that we can get it over in like a minute or two.

19 DR. ALLEN: Okay. Let's do it right now. You were
20 allocated 15 minutes.

21 DR. SIMMONS: I know.

22 Richard has said much of this more eloquently than
23 I'm going to say right now, but I just wanted to leave the
24 audience with the highlights that we would emphasize in the
25 presentations, and that is that for the ranges of seismic

1 loading that have been given and are anticipated at the site,
2 we believe that they're within the design capabilities and
3 experience of common practice.

4 Also, the underground facilities, as you've heard
5 through presentations that have drawn analogs to Yucca
6 Mountain through experience with some of the tunnels at the
7 test sites show that the underground facilities would be
8 naturally robust and could readily accommodate the expected
9 seismic events that we would find during the postclosure
10 period. However, considerations that are important are the
11 geologic setting of the tuffs and the fault crossing. Those
12 will definitely have to be accounted for and localization of
13 minor damage would have to be dealt with as a possibility.

14 Finally, the surface facility is inherently robust
15 in its design, and the design for anticipated ground motion
16 is well within the available technology.

17 As Richard pointed out, we have a number of ongoing
18 studies. For FY92 the things that are either beginning or
19 ongoing will be additional Midway Valley trenching and
20 mapping that Bert Swan described to you to understand fault
21 displacement near the location where the surface facilities
22 would be. We're also going to be starting a seismic
23 reflection line across Yucca Mountain this year, and that
24 will help provide information that will go into the
25 discrimination of tectonic models.

1 We have Quaternary faulting studies and
2 paleoseismic faulting studies that should be added to this
3 that provide information on fault detection with the fault
4 zone length, and so forth, the amount of displacement and
5 tectonic setting, and then, finally, the seismic monitoring
6 network which is ongoing to provide information on
7 contemporary seismicity, earthquake recurrence and size.

8 So these are the things that we will be doing in a
9 large sense in this area. We recognize that once we are able
10 to study the underground area through the Exploratory Studies
11 Facility, we'll have a great deal more information and be
12 able to refine our knowledge of the hazards, and that's all.

13 DR. ALLEN: Thank you, Ardyth.

14 Questions, comments from the Board?

15 DR. DEERE: I guess just one question. With your
16 trenching across the Midway Valley area where we have some
17 deeper alluviums, are we sure that when we get movement in
18 the bedrock on the same fault that the surface displacement
19 will be on a previous one, or is this a little haphazard?
20 Maybe we have some parallel ones simply because the surface
21 break is in a little bit different position, and--I haven't
22 heard that referred to, I don't think, today.

23 DR. SIMMONS: Dave Schwartz, that's something that
24 you're going to address. I don't think we can necessarily
25 make that assumption, but you'll be hearing more about that.

1 DR. ALLEN: There are several things you've said I want
2 to get at tomorrow afternoon.

3 MR. WHITNEY: John Whitney, USGS.

4 We do believe there are faults at depth in the
5 bedrock at Midway Valley, both from our balanced cross-
6 sections of Yucca Mountain, and there's been some shallow
7 gravity traverses which actually do show up some faults so
8 it's a good test to do this trenching across the Valley
9 because if these deposits are hundreds of thousands of years
10 old and they're not--don't demonstrate any fracturing or
11 faulting, we can be reasonably certain what their activity is
12 in the late Quaternary.

13 DR. ALLEN: Other comments?

14 (No audible response.)

15 DR. ALLEN: Okay. I'd like to suggest we take a
16 fifteen-minute break and be back here at 3:25, and continue
17 with the program. We'll be back a little bit more on
18 schedule by then.

19 (Whereupon, a brief recess was taken.)

20 DR. ALLEN: Okay. Our next presentation is by Dinesh
21 Gupta of the Nuclear Regulatory Commission.

22 DR. GUPTA: Thank you. Good afternoon. First of all,
23 I'd like to thank the Board for giving us this opportunity to
24 express our views on the vulnerability of the geologic
25 repository to vibratory ground motion from a regulatory

1 perspective.

2 Earlier this morning, the Board has heard from
3 various speakers, a discussion on this subject from a
4 designer's point of view and what I intend to do is discuss
5 the same subject, basically, from a regulatory perspective.
6 My presentation will cover the principal regulatory
7 requirements that are related to vibratory ground motion and
8 fault displacement, and then I would like to discuss a
9 frequently raised question, whether the NRC staff are going
10 to impose the requirements of Appendix "A" to Part 100 for
11 the seismic and faulting design of the geologic repository.

12 Then finally I'll discuss from a regulatory point
13 of view what components of the geologic repository are
14 vulnerable to the seismic hazards and displacement and should
15 be considered in meeting the regulatory requirements.

16 Starting with the contents of the regulatory
17 requirements, the requirements that deal with the geologic
18 repository design for vibratory ground motion and for
19 displacement are contained in 10 CFR Part 60, and as you all
20 probably know, they are stated in very general terms. There
21 is no specific requirements stated which give detailed
22 guidance to DOE as to how to proceed with consideration of
23 vibratory ground motion and fault displacement in the design.

24 What this staff intends to do is provide the
25 specific guidance to DOE through pre-licensing interactions

1 on as-needed basis. We start currently developing a number
2 of staff technical positions, and my colleague, Keith
3 McConnell, is going to present one of the technical positions
4 on this subject tomorrow morning.

5 Also, we've started also developing license
6 application format and content guide, and a license applica-
7 tion review plan that will provide some guidance on this
8 subject and other subjects.

9 The key requirement in Part 60 deals with the
10 performance objectives, and the performance objectives deal
11 with the time period of preclosure performance and the
12 postclosure performance. The preclosure performance
13 objectives require DOE to design the geologic repository
14 operations area so that the radiation exposures, radiation
15 levels and releases of the radioactive materials will meet 10
16 CFR Part 20 requirements, and then the rule also requires
17 that the design should preserve the option of waste retrieval
18 throughout the period of waste emplacement. Retrieval can
19 start any time up to 50 years after the initiation of waste
20 emplacement operations, and to meet this requirement, the
21 preclosure time period may have to be about 100 years.

22 For postclosure performance objectives, Part 60 has
23 basically requirements in two categories: One category
24 requires the performance of the overall system. The
25 requirement is that the geologic setting should be selected

1 and the engineered barrier system should be designed along
2 with the seals for shafts and boreholes so that the release
3 of the radioactive material to the accessible environment
4 conform to the EPA standard, and with regard to that, the
5 other part of the requirements state that individual
6 components of the geologic repository also meet certain
7 requirements.

8 To this effect, the requirement that the
9 containment of the high-level waste within the waste package
10 should be substantially complete for the first 300 to 1,000
11 years after closure, and after the containment period is
12 over, the release rate has to be gradual for the next time
13 period following the containment period.

14 Finally, there is a requirement for the geologic
15 setting which is stated in terms of pre-waste-emplacement
16 groundwater travel time.

17 In addition to the performance objectives, Part 60
18 also specifies certain design criteria and siting criteria.
19 The design criteria specify minimum criteria for the design
20 of geologic repository operations area, for the design of
21 seals for shafts and boreholes, and for the design of waste
22 packages.

23 It requires that the engineered barrier system
24 should be designed to assist the geologic setting in meeting
25 the performance objective for the postclosure period, and for

1 the preclosure period the requirements include specification
2 that says that the structures, systems and components
3 important to safety shall be designed to protect against
4 natural phenomena.

5 As far as the siting criteria are concerned,
6 identify certain favorable and potentially adverse conditions
7 for the site which need to be considered in evaluating the
8 post-closure performance of the site.

9 Let me turn my attention to the applicability or
10 inapplicability of Appendix A to 10 CFR Part 100. A question
11 is often raised to the staff: "Are we going to require DOE
12 to use the requirements of Appendix A? And you know that
13 over the years nuclear power plants have been designed using
14 very conservative methods, and the issue is often raised:
15 "Is this same level of conservatism necessary for the design
16 of geologic repositories?" And Part 60 is silent on this
17 issue.

18 The NRC staff position is as stated in the
19 technical position that Keith is going to mention tomorrow.
20 We say that Appendix "A" does not provide for the differences
21 in the function and periods of performance between geologic
22 repositories and nuclear power plants.

23 There are some specific differences that I would
24 like to point out here. Basically, the nuclear power plants
25 are designed for a 40-year life span, and even with some life

1 extension of these spans, the hazard only applies to a period
2 of a few decades. The geologic repository, on the other
3 hand, must meet performance objectives for many thousands of
4 years.

5 Also, the geologic repository would be basically a
6 passive system. It's not going to be a pressurized system,
7 and therefore, there's no risk similar to a nuclear reactor
8 core melt down.

9 Thirdly, the portion of the geologic repository for
10 which performance objectives must be met for the postclosure
11 period will be deep underground, and as many speakers stated
12 this morning and as is common knowledge, that underground
13 structures have been observed to be more resistant to ground
14 motion than surface facilities.

15 Also, there might be a need to consider the effect
16 of repeated ground motions because of the long time period
17 for which the performance objectives have to be met. Now,
18 repeated ground motions and fault displacements could have
19 cumulative adverse effects, and those may have to be
20 considered for geologic repositories.

21 Also, there would be a need to combine the effects
22 of heat generated by the waste emplacement and the seismic
23 loads. There's no such case for the nuclear power plants.
24 Thermal effects may increase the loading because seismic
25 loads may have to be superimposed on thermal loads, and the

1 heat effects may also reduce the strength of the underground
2 rock mass and could thus reduce the system's resistance to
3 earthquakes.

4 Also, the damage modes for a geologic repository
5 may be quite different from those considered for a nuclear
6 power plant. For example, vibratory ground motion and fault
7 displacement can widen or close existing fractures and can
8 create new fractures between ground surface and underground
9 facility, and from underground facility to the water table.

10 In addition, the earthquakes can cause possible
11 change in groundwater tables, hydraulic gradients, and degree
12 of saturation of the repository horizon and those may need to
13 be considered.

14 Due to these differences in the nature of the
15 facilities, NRC staff considers that the regulatory
16 requirements for seismic and faulting design of nuclear power
17 plants, given in 10 CFR Part 100, Appendix A are not
18 applicable to the design of geologic repository operations
19 area.

20 Now, moving on to the vulnerability issue, the way
21 I have subdivided the discussion of this topic is first I
22 will discuss the vulnerability during preclosure period; and
23 second, I'll discuss the vulnerability during postclosure
24 period.

25 Now, as you know, during preclosure period there

1 would be a surface facility and there would be--there would
2 be surface facilities and there would be underground
3 facilities, so you have to consider the vulnerability of both
4 surface and underground facilities during preclosure period;
5 while in the postclosure period, only the underground
6 facility would remain, so that's the only thing that you need
7 to worry about. The focus of NRC's staff review would be on
8 the design of structures, systems, and components that are
9 important to safety.

10 With respect to surface facilities, the waste
11 handling building would be the main surface facility. In the
12 current conceptual design, as was discussed this morning,
13 this is a large structure. Based on the conceptual design of
14 the repository, it would be about 500 feet by 500 feet. It
15 is to be embedded some 25 feet into the ground and would be
16 40 feet above grade, and it would consist of various cask
17 receiving areas and unloading areas, package and hot cells,
18 and so on.

19 To some extent, the requirements for radiation
20 shielding may result in a robust design for waste handling
21 building to take care of the vibratory ground motion effect,
22 even though the structure would need to be designed for
23 whatever is the design ground motion at the surface, and I'll
24 talk about the fault displacement consideration for design in
25 a minute.

1 As far as the underground facility is concerned
2 during preclosure period, the underground openings need to be
3 designed to reduce potential for deleterious rock movement or
4 fracturing, and the facility needs to permit retrieval of
5 waste. To meet these requirements, the design and
6 construction of the facility may need to consider inflicting
7 only a limited disturbance to the underground and DOE's
8 already working on that.

9 The design may also need to provide adequate roof
10 support to withstand vibratory ground motion. In addition,
11 as Dr. Kennedy pointed out earlier this morning, the drift
12 orientations may need to consider the kind of known faults to
13 the extent practical. In addition, the waste package, waste
14 emplacement holes and waste packages may be vulnerable and
15 need to be designed to avoid damage to these phenomenon.

16 There are certain vulnerabilities that apply to
17 both the surface and underground facilities, and that might
18 include a ventilation system, the utility service systems,
19 the instrumentation and control systems, and they need to
20 remain operative and their vulnerability to seismic and
21 faulting effects may have to be considered in the design.

22 Now, with respect to the design of surface
23 facilities and waste packages to accommodate fault
24 displacement, NRC staff concurs with DOE's position as stated
25 earlier today, that the faults should be identified and

1 avoided in siting the surface facilities and waste
2 emplacement boreholes, but I would hasten to add that Part 60
3 has no specific requirements to this effect, but it would be
4 prudent for DOE to exercise caution regarding making an
5 attempt to design the surface facilities and waste packages
6 to accommodate fault displacement.

7 Now, coming to the vulnerabilities during
8 postclosure period, as I just mentioned, only the sealed
9 underground facility would remain or would exist during the
10 postclosure period. During this period, the engineered
11 barrier system, the repository seals, borehole seals, and the
12 geologic setting would be of interest from a vulnerability
13 point of view. If not properly accounted for, the waste
14 package--the fault displacement can shear a waste package or
15 could cause an emplacement hole to collapse and damage a
16 waste package.

17 Also, if a waste package is emplaced too close to a
18 fault, a fault displacement could open a pathway for
19 groundwater to flow into faults and fractures, and thus,
20 water could contact the waste packages. Also, the relative
21 matters of whether the waste packages should be emplaced
22 horizontally or vertically or in some other mode may be of
23 interest from a vulnerability point of view.

24 If an air gap is a design feature between the waste
25 package and the surrounding rock, the analysis needs to

1 evaluate whether such an air gap can survive over the long
2 period of time of interest of 10,000 years or so. The liner
3 material and thickness need to be designed to withstand the
4 tectonic effects.

5 Also, the current design concept for vertical
6 emplacement considers the use of partial liner near the top
7 of the waste package. In this regard, the relative matters
8 of using a full liner versus a partial liner may need to be
9 considered, the advantages versus disadvantages in terms of
10 its resistance to vibratory ground motion and fault
11 displacement.

12 Coming to the access drifts, ramps, and shafts,
13 they may be backfilled at closure. Now, do we have any
14 concern after the drifts are closed? In that regard, I would
15 just mention that there might be a scenario that may need to
16 be considered in that the--what could be the effect of long-
17 term backfill settlement that could make the drift
18 susceptible to damage due to vibratory ground motion and
19 earthquake, and any collapse of the--just the roof portion
20 may affect the potential changes in the pathways of water.
21 So even though the drifts might be backfilled, the effect of
22 backfill settlement may need to be considered.

23 Also, another component of the underground
24 facility, another component of the geologic repository that
25 may be vulnerable during postclosure period is the shafts,

1 the seals for shafts and boreholes, and their vulnerability
2 may need to be considered.

3 Those are the comments on the engineered barrier
4 system and seals. There is also consideration for a natural
5 system that needs to be paid attention to. The aspect that
6 needs to be considered is changes in fracture characteristics
7 and how to predict them for long periods of time. As I
8 stated earlier, the vibratory ground motion and fault
9 displacement may open up new fractures or widen or close
10 existing fractures, and there may be a potential for
11 groundwater changes in the hydraulic gradients or water
12 levels.

13 Let me summarize by saying that the requirements
14 related to vulnerability of the geologic repository due to
15 vibratory ground motion and fault displacement include
16 performance objectives, design criteria, and siting criteria.
17 These are stated in general terms in the rule, and the
18 specific guidance is to be provided through DOE on an as-
19 needed basis to others.

20 The requirements are different from those for
21 nuclear power plants because of the differences in the nature
22 of these facilities, and therefore, the staff considers that
23 Appendix "A" to Part 100 is not applicable to geologic
24 repositories.

25 I may also mention that the NRC staff is

1 considering currently modifying the requirements or adding
2 another appendix to the rule that would update the
3 requirement of Appendix "A" because of many other reasons.

4 As far as the design of surface facilities and the
5 engineered barrier system where ground motions are concerned,
6 the NRC staff believes that there is sufficient confidence--
7 that the state of art provides sufficient confidence in the
8 ability to design the system for seismic motion. However,
9 with respect to the design against fault displacement,
10 prudence suggests caution to design the facilities to
11 accommodate fault displacement.

12 Now, with respect to the behavior of the natural
13 system, the staff believes that additional research may be
14 needed to develop the ability to better predict the response
15 of natural system to future vibratory ground motion and fault
16 displacement and its effect on long-term repository
17 performance.

18 I'll be glad to answer any questions.

19 DR. ALLEN: Thank you. Are there questions from the
20 Board or staff? Don Deere.

21 DR. DEERE: In an earlier, one of your earlier
22 presentations or slides, you mentioned containment of the
23 high-level waste within the waste package, and then you
24 commented for 300 years. I notice you didn't say 300 to
25 1,000, or greater than 1,000 if justified. Do you have any

1 comment on that?

2 DR. GUPTA: No, that might be just a slip. I think the
3 requirements are very clear that the containment has to be
4 substantially complete for a period from 300 to 1,000 years.

5 DR. DEERE: Then Mr. Bob Bernero's later staff position,
6 was it, or a staff paper that stated that was not a
7 restriction if it could be proven that you could have
8 something for a few thousand years or 1500 whatever--

9 DR. GUPTA: Absolutely.

10 DR. DEERE: --it could be considered.

11 DR. GUPTA: It would, yes. That may be an approach DOE
12 can take, yes.

13 DR. REITER: Dinesh, this is a question that's for you
14 or for anybody, Ron Ballard, anybody else within the
15 audience. Earlier we heard Ardyth present something called
16 issue resolution at which some issues would be raised and
17 they would propose it and bring it to the NRC. I guess what
18 I'm getting at is we've been hearing all kinds of things
19 about seismic issues, and it appears that some are more
20 important and some are less important. Is there some sort of
21 vehicle by which NRC and DOE could reach some sort of
22 agreement as to what constitute the more important issues and
23 what constitute the less important issues? The idea is that
24 to allowing site characterization and work in DOE to
25 concentrate on those things that really count, putting more

1 emphasis on that than those that don't count as much.

2 I guess the question to you is, is there some
3 willingness or some mechanism within NRC to accommodate that?

4 DR. GUPTA: Oh, yes. Keith can correct me, or if he
5 wants to add anything. We did receive from DOE a letter last
6 year requesting some clarification of position from NRC on
7 certain issues, and the staff is working on those items in
8 consideration that those issues might be of significance to
9 DOE for resolution.

10 The staff is also in the process of developing
11 technical positions in which the staff positions would be
12 clarified to provide guidance to DOE on some of those issues.
13 We also have frequent meetings with DOE in which free
14 interactions take place on various issues and of resolving
15 many of those issues.

16 DR. REITER: But could there--I mean, is there a
17 mechanism, I guess what I'm getting at, where NRC would say,
18 "Yeah, DOE, we agree with you or we disagree with you. This
19 item is really not as important as other items and we
20 understand your reduced emphasis on this and we agree with
21 that." Does such a possibility exist?

22 DR. GUPTA: Keith, do you want to comment on that?

23 MR. McCONNELL: Keith McConnell, NRC staff.

24 I think that mechanism exists in the resolution of
25 the comments on the site characterization plan. The DOE

1 wants to come in and say certain of those comments are not of
2 high priority at this time. They can propose that and then
3 we can make judgments based on what they submit to us at that
4 time, but again, I think that you have to go back to the--
5 what we call our site characterization analysis and what Bob
6 Bernero put in his cover letter of that site characterization
7 analysis which emphasized those aspects the staff felt were
8 the most important at the time of the review, and I think
9 they probably still remain the most important in the view of
10 the staff.

11 Is that clear?

12 DR. REITER: Yeah, I guess the question is would some
13 sort of risk-based analysis which said--let's take it with
14 some hypothetical, a certain level of ground motion is of no
15 concern and therefore, we think that the kind of efforts
16 which--it would end up with trying to refine it more within
17 that level of ground motion. Though it may be scientifically
18 interesting, because it's of relatively little impact upon
19 public health and safety, therefore, we would recognize a
20 reduced emphasis on that.

21 DR. GUPTA: Yeah, I think Ardyth should really address
22 this issue. Do you have any comments?

23 DR. SIMMONS: I can address it from the point of the
24 Department of Energy. The fact that we agree that we are
25 going to, as part of issue resolution, address the issues

1 that were in this cover letter from Bernero based on the
2 comments on the site characterization plan, that's certainly
3 a very important element of it.

4 My understanding, however--and there might be
5 people who have worked in the licensing area for a longer
6 time than I have who could address it a little bit more
7 precisely, but I don't know of any single mechanism that has
8 been decided upon for issue resolution. I believe that there
9 are really two areas or approaches, rather, that can be used.

10 One is, first of all, common recognition on the
11 part of DOE and NRC that a certain issue is a topic for
12 resolution, and then from there, one can focus on the
13 mechanism of resolution, the approach towards it for
14 licensing and obtain agreement from the NRC on that approach;
15 or, number two, we could go a step beyond that and say that
16 based on the data that we've collected to date, we feel that
17 we have enough information to address that particular issue
18 and not close it out, but essentially say that we've
19 collected enough information and we're not going to go any
20 farther.

21 And I believe that various approaches would be
22 through the kind of topical report that we're talking about,
23 and then requesting NRC's agreement; or another way of doing
24 it is the NRC might make a rulemaking on something. So I
25 don't think there is any single way, but it starts out with

1 common agreement of what the issue would be to be resolved.

2 DR. ALLEN: Any questions or comments from the audience?
3 Jay Smith?

4 MR. SMITH: I have two questions; the first one
5 regarding the inapplicability of Appendix "A" at Part 100.
6 It was interesting to note on your graph, of the six points
7 of difference between a repository and a nuclear power plant,
8 there were really only two that might be considered to
9 indicate that the NRC staff would consider the repository to
10 have lower vulnerability, or would be less susceptible than a
11 nuclear power plant, which might lead one to not take much
12 comfort in the assurance that you give that Appendix "A" or
13 something like Appendix "A" would not be applied.

14 The implication might be that if an Appendix "A",
15 perhaps, to Part 60 were developed, it would have an impact
16 maybe even more severe than for nuclear power plants; right?
17 Okay.

18 Well, it's not so much whether Appendix "A" of Part
19 100 is applicable, but whether the de facto effect of
20 Appendix "A"-type criteria would preclude site suitability at
21 a location like Yucca Mountain where there are Quaternary
22 faults known to be present, and where consideration may need
23 to be given to design to accommodate fault displacement.

24 So I'm wondering if--could you clarify what your
25 intent is with regard to this de facto application? In other

1 words, might a site still be considered suitable even though
2 there is the mere presence of Quaternary faults; and
3 secondly, in your concluding remarks where you talked about
4 you can design for some extent for seismic motion, but then
5 you say prudence suggests caution regarding design to
6 accommodate fault displacement. I mean, one could read that
7 last statement as suggesting, "Hey, fellas, don't try it."

8 Now, can you give some clarification on that
9 aspect? Are you saying that, like for nuclear power plants
10 which sites were killed if you had to consider the design for
11 fault displacement, are you considering that fault
12 displacement is not--design for fault displacement is not
13 going to be acceptable for a repository?

14 DR. GUPTA: Okay. Let me take your first question
15 first. With respect to site suitability, as far as the
16 regulations are concerned, Part 60 does not have any specific
17 site suitability or unsuitability criteria other than meeting
18 of the performance objectives. If the site can be shown to
19 meet the performance objectives, then there's no criteria
20 bigger than that that need to be considered in terms of
21 acceptability or unacceptability of the site. There are, of
22 course, as you know there, Part 960 defines some qualifying
23 and disqualifying conditions and with respect to vibratory
24 ground motion and fault displacement, those criteria are
25 specified in Part 960.

1 With respect to your other question on fault
2 displacement, let me just flash this view graph. If you look
3 at the third bullet here, the Part 60 does not have any
4 requirement for a specific setback distance. It does not say
5 that you can or cannot design a facility on a fault. Our
6 position is that it would be very hard to prove that the
7 facility is safe, and DOE should apply some caution in taking
8 a position that they can design to accommodate a large amount
9 of fault displacement for--whether it's a surface facility or
10 whether you're talking about waste packages.

11 Design for fault displacement must provide
12 reasonable assurance of meeting performance objectives, and
13 that's our bottom line from a regulatory point of view. What
14 we suggest is that if DOE proceeds to or if they have an
15 intention of designing for fault displacement, an early
16 resolution of fault-related design and performance issues
17 would be needed if DOE contemplates such a design approach.

18 MR. SMITH: Well, I don't disagree at all that the--it
19 is meeting the performance assessment objections that's
20 really critical. Appendix "A" to Part 100 did not preclude
21 site suitability if Quaternary faults were present, nor if
22 you had to design for fault displacement, but you and others
23 that have worked on nuclear power plants know that in a de
24 facto sense, the presence of Quaternary faults and the need
25 to design for fault displacement effectively precluded site

1 suitability for nuclear power plants.

2 So Appendix "A" didn't say you couldn't do it,
3 either, and you're just saying Appendix--or Part 60 doesn't
4 preclude it or specify it, either, and I think clearly this
5 is an area for some very specific guidance, whether it's
6 informal or in the form of rulemaking.

7 DR. GUPTA: Thank you.

8 DR. ALLEN: Other questions from the audience?

9 (No audible response.)

10 DR. ALLEN: Okay. Thank you, Dr. Gupta.

11 The next presentation is by Jacob Philip and Simon
12 Hsiung, and the presentation will be given by Mr. Philip.

13 MR. PHILIP: First of all, I'd like to thank the Board
14 for giving us the opportunity to talk about our program. My
15 name is Jacob Philip. I'm a geotechnical engineer with the
16 Office of Research at the Nuclear Regulatory Commission, and
17 our basic objective is to do research to help our licensing
18 folks when they review DOE documents. I'm the project
19 manager. The research is being conducted at the Center for
20 Nuclear Waste Regulatory Analysis, the Center.

21 Assad Chowdhury, who is back there, he's the
22 Project Manager for the work at the Center. He's assisted by
23 Simon Hsiung; M. Ahola, who's not here; Dan Kana, who is not
24 here; and a task force of sub-consultants, subcontractors to
25 the Center.

1 What are the objectives of our work? Basically,
2 the objectives are to just get an understanding of the
3 important parameters that affect, that are associated with
4 the response of underground structures, and to see the
5 effects, how seismic pumping occurs due to the seismic motion
6 particularly for repetitive seismic motion, and to develop
7 methodologies to see and assess the results to see how good
8 they are, can we make predictions, and this is particularly
9 important when we have--look at scenarios for integrated
10 performance assessments, that we should have some hard data
11 with us for making those determinations.

12 We have a regulatory basis. I'm not going to go
13 into too much detail on that because the previous speaker,
14 Dinesh, has spoken a lot about it, but one thing I'd like to
15 point out is that the integrated performance assessments is
16 an important part of our trying to understand the phenomenon
17 and trying to quantify it somehow.

18 The way we are conducting the research project is
19 have a set of tasks. The first task, Task 1, the focused
20 literature search. We look at the literature to see how
21 underground structures are affected by earthquake and stuff
22 like that, and then we have some focused laboratory work
23 supplemented by field studies, and look at the NTS data to
24 see if we could come up with something that could give us a
25 quantitative feel for the effects of seismicity, particularly

1 for our performance assessments.

2 I'm not going to dwell too much on the next one.
3 It's just the logic and integration of the project tasks, so
4 basically it tells us the lab, the field, and the ground
5 shock data.

6 The projects and schedules, we have a NUREG-CR
7 report. Anybody who's interested in looking at that, that
8 talks about the state of the art on seismic response of
9 underground openings. We have done some code qualification
10 studies seeing how good the codes are by comparing it with--
11 comparing some of these codes with codes that may be used
12 with the semantical solutions that we have. We have
13 published eight papers in international conferences. We have
14 quarterly and annual reports, technical reports which are
15 available to the public. We finally hope that we get some
16 technical recommendations, technical position papers, or
17 technical positions that we can give guidance to DOE, and the
18 project time frame is from 1988 to 1994.

19 We have only 30 minutes to talk about our project
20 and I will like Simon Hsiung to give some specific
21 information on the field studies. We have some data. It's
22 preliminary. They are making some judgments. We are going
23 to analyze them in more detail in the future. Maybe we have
24 to do some more experiments to really get a feel as to what
25 is happening, but Simon will give some more information on

1 that.

2 MR. HSIUNG: My name is Simon Hsiung, Center for Nuclear
3 Waste Regulatory Analysis. The title of my talk is "Seismic
4 Field Studies at Lucky Friday Mine located at Mullan, Idaho,"
5 which is about 90 miles east of Spokane, Washington.

6 This field study has three objectives. The first
7 one is to investigate mechanical response of underground mine
8 facilities, and here we're really talking about the
9 underground openings associated with repeated seismic events.
10 In here we mention seismic events. Really, it's mining and
11 deals with seismic events. It's not earthquakes, and the
12 second objective is to clarify and possibly quantify the
13 relation between underground seismic events and the changing
14 groundwater conditions; and the third objective is trying to
15 generate a set of data that can be used to determine whether
16 the established numerical models can adequately describe the
17 effect of seismic activities on underground structures and
18 groundwater hydrology.

19 Now I'd like to take a moment at trying to draw the
20 similarity between the mining-induced seismic events and the
21 earthquakes, and literature--research results has shown that
22 basically there is no systematic differences between the
23 mining-induced seismic events and the earthquakes, and they
24 are similar basically in seismic signals, including the P-
25 wave and followed by a shear wave or those type of stuff,

1 although the origin of the seismic event may be different.
2 In this case here, the original that we have observed at the
3 Lucky Friday Mine, all of them are lasting 25 second--half-
4 second.

5 DR. ALLEN: Excuse me. Would you define what you mean
6 by a mine seismic event?

7 MR. HSIUNG: Yeah. I'm going to go through that point
8 when I say this point here. Basically, they are similar in
9 mechanism. By saying that, I'd like to say that for the
10 underground mining seismic events, there's really two sources
11 of it. One is the quashing modes, which is--where we induce
12 some kind of rock bursts. I think Dr. Deere has mentioned
13 that and it's a type of quashing of the rock, intact rocks
14 near the stope, or maybe the creation of new fractures near
15 the stope area while mining.

16 And the second mode of mining-induced seismic
17 events is really a type of fault slip. It would be some
18 mechanism that is basically similar to earthquake mechanism.

19 DR. ALLEN: But these both occur within the mine itself?

20 MR. HSIUNG: Yes, within the mine itself, and in the
21 case of the Lucky Friday Mine, all of the seismic events
22 really, as far as I know, were induced by a weakness of
23 bedding plane slip and some of fault slip as well. None of
24 them is because of the quashing mode. It does observe some
25 type of strong vibration because of that--the fault slip in a

1 forced rock burst. So the rock burst is really a result of a
2 fault slip induced, the ground shaking.

3 It is also observed that most physical and
4 geomechanical principles for earthquakes can also apply to
5 mining-induced seismic events, which give--a very serious
6 implication is that the results that we observed are from
7 underground mining induced by the seismic event, and may be
8 useful for assessing the repository opening responses as
9 well, subject to earthquake motion.

10 The last point is the mine seismic events occur
11 more frequently than, of course, a natural earthquake so it
12 will give us the opportunity to observe the responses of
13 underground openings.

14 DR. ALLEN: I still don't understand completely. Are
15 these events that occur on bedding planes, say, sure.

16 MR. HSIUNG: Yes, because of the--

17 DR. ALLEN: Are they the release of tectonic strain
18 related to the changing stress distribution because of the
19 mine, or are they the result of stresses induced directly by
20 the mine itself?

21 MR. HSIUNG: Well, a little bit of both, a little bit of
22 both. Basically, it's because of the stress field
23 modification because of the mining itself. So you create a
24 condition that is favorable for the fault slip.

25 Okay. In this particular mine that we're looking

1 at, the in situ stress condition with a horizontal stress,
2 and 1.4 of the vertical stresses, and the deepening of the
3 bedding plane and also the deepening of the orebody, when
4 you're mining you reduce the stress field. In this case, the
5 hypothesis is that somehow in some area you reduce the
6 clamping force, which is the normal force that prevents slip,
7 okay? And also, on the other hand, you increase the shear
8 stresses, so create a situation that the fault is prone to
9 slip.

10 Lucky Friday Mine currently is mining Lucky Friday
11 vein and the Lucky Friday vein is bounded south by a south
12 control fault, and the north and by a north control fault,
13 and there is some dipping by 75° southeast in the bedding
14 plane on the floor wall and the hanging wall there's dipping
15 in the range of 60 to 70° .

16 There are two basic rock formations in this region.
17 The first one is the St. Regis Member. It's found in many
18 locations in Lucky Friday Mine. It's about 1800 feet deep.
19 In the lower rock formation is a, they call it the Revette
20 formation, Revette Member. The Revette Member consists of
21 three sub-members. Currently, the mining is in the Lower
22 Revette formation and I will talk about the local geology
23 just a little bit.

24 For the mechanical response study, we are trying to
25 take the measurement of our rock displacement around the

1 openings; also trying to measure the closure of the
2 excavation, and trying to obtain some of the seismic wave
3 data at the location of the instrumentation.

4 The instrumentation site was selected at the 5210
5 feet beyond the ground surface. They call it the 5210 sub-
6 level, and here is the first site. This is the second site
7 that was erected and their relative location with respect to
8 the orebody they are supposed to mine. Here is the local
9 striking of a bedding plane and a localized syncline in this
10 area, so this somehow changed the striking of the--strike of
11 the bedding plane. This area was mined between February to
12 the end of October of last year, so considerable stress
13 modification around this area was observed and I will show
14 the data for the closure measurement in just a little bit.

15 Consequently, because the first site is about 260
16 feet away from the orebodies, so the stress condition change
17 is relatively minor as compared to the second site.

18 DR. DEERE: Question; Don Deere.

19 What was the overall depth of that level that you
20 showed? 5210 is--

21 MR. HSIUNG: Is about 5210 feet below the ground
22 surface.

23 DR. DEERE: Okay.

24 MR. HSIUNG: This view graph shows the instrumentation
25 array. This is the array for the first site. That one over

1 there is for the second site. For each cross-section, we
2 have a total of five multiple position extensometers. On the
3 floor is extensometer No. 1, and to your left are No. 2, No.
4 3 up there, and No. 5 is to your right, and for each
5 extensometer, we have a total of five anchor points, or I
6 call them anchor positions.

7 The numbering sequence is Position No. 1, 2, 3, 4
8 and 5, okay? All the relative distance that was calculated
9 between the anchor, each anchor and also assembly head. In
10 this graph, two convergence stations are also shown;
11 horizontal convergence station and a vertical convergence
12 station. We also have a triaxial velocity gauge installed
13 near to the surface of the opening. It's about one feet into
14 the rock.

15 This graph shows the relative distribution of the
16 seismic events that occurred since we started taking the
17 measurements, and these are the events that are of interest
18 up to now. For the past 12 months, the mine has more than 40
19 seismic events with a Richter magnitude of more than one, and
20 here is some of them. They are fairly close to the first
21 site and the second site; each cross representing one seismic
22 event, and the first number here is the event and the second
23 is the magnitude in terms of Richter. And the third order of
24 value--the first one is for the peak particle velocity that
25 are calculated based on the seismic data we have measured,

1 and the first value is for the first site and the second
2 value is the peak particle velocity for the second site here,
3 and the unit is in terms of millimeter per second. The last
4 value is the depth of that event measured from the ground
5 surface in terms of meters.

6 Here is some correlation between the peak particle
7 velocity and also the scale, the distance. R here is the
8 source location relative to the mechanical measurement site,
9 and it was scaled by this factor. M represents the magnitude
10 of the event. Basically, it shows the linear relationship
11 and you can find the linear equation over there where you see
12 R^2 close to .9.

13 DR. ALLEN: Excuse me. Do you have focal mechanisms on
14 these events?

15 MR. HSIUNG: Pardon me?

16 DR. ALLEN: Focal mechanisms?

17 MR. HSIUNG: Focal mechanism, that's being studied by
18 Bureau of Mines currently; that basically the concept right
19 now is the, you know, the use of role model in trying to
20 calculate the stress property and also the--

21 DR. ALLEN: I guess my question, how do you know there
22 is shearing?

23 (Inaudible response from audience.)

24 MR. HSIUNG: You're talking about that; single or
25 double, okay.

1 DR. ALLEN: Ivan Wong of Woodward Clyde reportedly says
2 they do have focal mechanisms showing double.

3 MR. HSIUNG: Well, there are some events showing the
4 single, also. It's not necessarily double, similar to
5 earthquakes, you know, when you have single and double.

6 This view graph shows the displacement of the rock
7 mass around the opening. This is for the extensometer No. 1
8 at 52, and this curve shows certain trends. One if the
9 influence by the mining itself, and also by the seismic
10 event, and also by some other mining activities; this view
11 graph basically showing that we have three distinct
12 displacement changes--I shall not say increase because some
13 of them actually decreased, okay?

14 These are for certain seismic events, okay? For
15 the March event, May event, also November events. For this
16 March event, the peak particle velocity is at 140 mm/sec, and
17 for the May event it's more than 300 mm/sec; and also,
18 November event, more than 200 mm/sec, and in here the reason
19 I put on two events in there is on that May 22nd and May 23rd
20 we had two events occur side-by-side. They are three hours
21 apart.

22 Here is the closer look of those two events. For
23 the May events, these are not for displacement, I realize,
24 okay, but for the May 22nd event, with a similar peak
25 particle velocity, it will only see a very small amount of

1 displacement. This tells us that maybe the fault stick-slip
2 theory may be able to explain this type of behavior because
3 after the first responses, that the stress drops
4 substantially. Then you need to have a certain amount of
5 energy in order to build up shear stress back to the shear
6 strength level, okay, in order to cause another slip around
7 the fracture.

8 Another thing I'd like to point out is that for
9 this October 4th displacement change, there was no seismic
10 event associated with it. Just this happened for
11 Extensometer No. 3, No. 2, and a little bit for the No. 4 as
12 well, and the only explanation that we can come up with right
13 now is that's still using that stick-slip mechanism.

14 Here I show the closure measurement at the second
15 site as well, and as you can see the maximum closure, that
16 the measure dropped to five inches and the closure
17 measurement was broken down purposely trying to show the fact
18 of the seismic event. So the closure measurements were taken
19 every two weeks, so there's no way that we can actually put a
20 very close correspondence, so that's the best we can do. We
21 can assume that a year and there's no seismic event, and the
22 closure will continue to smoothly increase, okay, since we
23 have this as an event and view certain amount of closure of
24 the opening.

25 And a point of interest here is that on the July

1 31st event, that it does somehow--you can see a small amount
2 of increase in the closure but we cannot accept that in the
3 rock mass displacement, okay, so basically rock mass did not
4 respond for the long-term displacement effect to this
5 particular seismic event.

6 This view graph shows the damage observation, and
7 for the May 22nd or May 23rd event, unfortunately we cannot
8 distinguish which event caused the damage. At our second
9 site, we observed some shotcrete cracks and in this area we
10 observed a very small amount of bedding plane slip as well,
11 very close to our instrumentation of cross-section, and we
12 also observed in this one here that shotcrete cracked and
13 bulged, and also, floor had been pushed up.

14 Okay. I forgot to mention the rock formation,
15 local rock formation. Basically, the rock formation is
16 dipping 70° in this direction and is actually a layer of
17 quartzite. In between the layer of quartzite, we have some
18 kind of argyllite in between which is very weak, so makes
19 very sensitive to the seismic motion. And bear in mind, for
20 this damage we're looking at a big particle velocity, around
21 332, that range. This is a typo here. It's supposed to be
22 332 mm/sec, and I'm going to show you another damage
23 observation for the November 11th--

24 DR. KENNEDY: Excuse me; Bob Kennedy.

25 Can you give us a little better feel for what we're

1 really talking about in the way of damage? What percentage
2 of tunnel closure did you have or, I mean--or was the damage
3 just limited to those corners, or did the tunnel have some
4 permanent fraction closure?

5 MR. HSIUNG: Well, when we're talking about in here, all
6 we observed is the crack of the shaftway, and some push up
7 of the bore for these typical events. But for this one, for
8 the November 11th event with the peak particle velocity only
9 at 220 meter, mm/sec, the same location and the damage
10 observed below this cross-section, all the shotcretes are
11 pretty much cracked, okay? And also, in this area we
12 observed that one to three feet of rock spalling, okay?
13 Consequently, we lost the anchor of this extensometer No. 1
14 because of that.

15 So this give us some kind of feeling that really
16 it's the progressive accumulation of the joint displacement
17 that controls the damage of the opening, and although the
18 peak particle velocity or peak acceleration are also
19 important, but it seems to me that in this case we need to at
20 least study the effect of the repeated seismic impact.

21 And my next topic is the groundwater change study.
22 In this study, we're trying to monitor the water pressure at
23 the selected geological features, and also we're trying to
24 monitor ground motion using hydrophone.

25 In order to study this groundwater change, we

1 drilled a 1180 feet long borehole, four inches in diameter,
2 started at corner of 5700 level below the surface with a
3 angle of--downward angle of 20° , and we identified four
4 zones, each zone that contained specific features, and the
5 Zone No. 1 is the lowest and Zone No. 4, located closer to
6 the 5700 level, and incidentally, the packers that were used
7 trying to seal the Zone 4 somehow malfunctioned so we cannot
8 collect data for Zone 4.

9 Again, I'd like to show this distribution of the
10 seismic event again. Based on the observations so far, all
11 the seismic events with magnitudes of more than two have
12 somehow caused groundwater table change. I will show the
13 results in just a little bit, and we also observed for this
14 event occurred right in the event with a magnitude smaller
15 than two; 1.8 also caused some kind of groundwater responses.

16 Here's the one result of a water pressure change
17 for Zone 3, and as you can see in here, that the water
18 pressure responds to a seismic event and experiences a sharp
19 increase in water pressure, and after that it started to--the
20 groundwater pressure started to decrease, but after it
21 decreased to this point, another seismic event occurred
22 coming in and instantly the water pressure responded to have
23 another sharp jump, then started to decrease. And normally,
24 the groundwater change, it returned to the normal condition
25 within a few hours to even a few days.

1 For most of the groundwater changes that we
2 observed is associated with a water table--a water pressure
3 increase, but for this typical case, okay, for the Zone 1 we
4 actually experienced a pressure drop. Then it started
5 gradually to recover. At this point, there's 25 minutes
6 before we had another seismic event coming in and, of course,
7 an instant increase in the water pressure, then gradually
8 recover.

9 MR. TILLSON: Will you point out where that event is
10 relative to the--I see two on December the 11th, but I don't
11 see a December 12th event.

12 MR. HSIUNG: Oh, okay.

13 MR. TILLSON: Or a series of events. There was one on
14 December 12th, and where was that--

15 MR. HSIUNG: There are two on December 11th. One is in
16 here.

17 MR. TILLSON: Yeah, that's the 11th.

18 MR. HSIUNG: Yes, sir. The other one is in here.

19 MR. TILLSON: Where's the one on the 12th?

20 MR. HSIUNG: 12th? Oh, okay. This is the water
21 pressure measurement, okay. We continuously measure the--we
22 take the measurement every 60 seconds, okay. These are the
23 data points that we have got.

24 Based on the limited data that we have obtained we
25 may come up with some summaries. I am kind of hesitate to

1 call it a conclusion at the moment and the causes of the step
2 displacement change may be due to several conditions. One is
3 the seismic impact, and the other one is the mining activity
4 itself caused the stress redistribution, and the shear stress
5 along a weakness plane exceeds the residual stress and
6 suddenly give in and the third type is the backfill
7 operation, and I did not show you the results, but it is in
8 your package.

9 The second point is openings did not necessarily
10 respond to all seismic events with higher than threshold peak
11 particle velocity, and another observation that we have come
12 up with is the opening had a relative higher local state of
13 stress are more sensitive to seismic events. That's been
14 evidenced by the relatively insensitive response of--to the
15 seismic events at the first site. This is the second site
16 and they are very close to the mining activities.

17 The other point is the joint stick-slip mechanism
18 may be used to explain certain phenomena that we have
19 observed. The first one is the difference in displacement
20 changes induced by events with similar particle velocities,
21 why we have different displacement; and the second one is why
22 openings sometimes do not respond to mine seismic events with
23 high enough peak particle velocity.

24 For the groundwater pressure part, the current
25 observation indicates that groundwater responded to almost

1 all the seismic events with a magnitude of greater than 2.0,
2 and water pressure normally will increase in all three areas
3 that are packed off for the mines due to the seismic events,
4 but we did have one observation that only one zone responded
5 to a seismic event and the other two zones did not.

6 That pretty much concludes my talk. Any questions?

7 DR. ALLEN: Thank you very much.

8 Do we have questions from the Board? Don Deere?

9 DR. DEERE: Yes. I have a question about the
10 groundwater rise. It seemed like it was quite uniformly
11 between about 1½ and 2 feet of head difference, potential
12 head.

13 MR. HSIUNG: The maximum that we have observed is about
14 close to 4.4 feet. That's because of seismic event of a
15 magnitude 3.5, which is maybe 300 meter away from our area of
16 interest.

17 DR. DEERE: Did you show that in one of your slides?

18 MR. HSIUNG: I don't know whether that I included it in
19 there or not.

20 DR. DEERE: I looked at two or three of them. There
21 seemed to be about two feet--

22 MR. HSIUNG: If you can check to see whether you see
23 that; a September 19th event. That one shows you about 2 psi
24 increase, equivalent to 4.4 feet.

25 DR. DEERE: I see. I wondered if that particular one

1 took the same six hours, more or less, to stabilized, or was
2 it somewhat different?

3 MR. HSIUNG: It's a about a little bit over three hours,
4 I believe.

5 DR. DEERE: In about three hours?

6 MR. HSIUNG: Yes.

7 DR. DEERE: Perhaps an explanation of the difficulty
8 making interpretations is that you have apparently a very
9 well-pronounced bedding and very rigid, or at least very
10 hard--and I presume fairly high modulus quartzite beds,
11 occasionally separated by a very weak argyllite and,
12 therefore, the stress is probably carried almost entirely
13 along the beds and the argyllite is just sort of sitting
14 there, and suddenly it has a chance to get into the act
15 because when a free excavation is made and the low strength
16 is there, it is able to move in.

17 And are there folds in the area, or faults that
18 change the orientation of the beds, or are they fairly
19 consistent across the mine?

20 MR. HSIUNG: I think that I have shown that one view
21 graph in showing one minor fold, folding around our
22 instrumentation area. Let me put that up again.

23 (Pause.)

24 MR. HSIUNG: This is the folding that we have observed,
25 and also, in this area, in the--the dipping is not really

1 like a straight line. It's really like a ripple, so it's
2 also folded in this way and folded in--folded downward and
3 upwards, and also folded in this direction.

4 DR. DEERE: Okay, thank you.

5 DR. ALLEN: Other questions?

6 (No audible response.)

7 DR. ALLEN: Questions from the audience?

8 MR. WANG: Ivan Wong, Woodward Clyde. I'm a
9 seismologist.

10 Just maybe for clarification, on a worldwide basis
11 on studies of mine seismicity, we cannot differentiate
12 between a rock burst or mine tremor and a typical tectonic
13 earthquake. They both appear to be the result of shear
14 failure. If you look at the seismogram of a rock burst, you
15 see a very well-pronounced S-wave. You can do focal
16 mechanisms and you come up with a classical double coupled
17 failure. So we think that earthquakes and rock bursts both
18 have the same mechanism.

19 Rock bursts also follow the typical Gutenberg-
20 Richter relationship for frequency. They have very similar
21 source parameters. The difference where we've seen rock
22 bursts, in particular, in South Africa and earthquakes is
23 that in some cases, we will see stress drops for rock bursts
24 that are on the order of several hundred bars vis-a-vis
25 stress drops for typical tectonic earthquakes, which are on

1 the order of 100 bars, and the thinking is that these high
2 stress drop rock bursts are due to fracture of intact rock
3 where, in most cases, earthquakes and the majority of rock
4 bursts are due to slip on preexisting zones of weakness,
5 either joints or faults or those type of discontinuities.

6 The Lucky Friday Mine happens to have a major fault
7 system running through it, and so there are faults and joints
8 of varied orientation.

9 DR. ALLEN: Thank you.

10 MR. HSIUNG: Thank you for clearing that point for me.

11 MR. SUMMERVILLE: Paul Summerville, seismologist at
12 Woodward Clyde.

13 Just pursuing the issue of the focal mechanisms, if
14 you have a normal faulting event, you should get a pressure
15 increase; and if you have a reverse faulting event, you
16 should have a pressure decrease. I think it would be
17 interesting to see whether there is that correlation of your
18 events, a mechanism correlation with the sense of the
19 pressure change.

20 MR. HSIUNG: Yeah. We are also interested in that
21 because I mentioned the point, and right now, currently,
22 Bureau of Mines in Spokane Center is doing that type of
23 analysis. We will be able to get those information from them
24 and try to correlate all those things then with our responses
25 to see whether we can establish some kind of relationship or

1 not.

2 DR. ALLEN: Okay, thank you very much.

3 Our final presentation today was to have been by
4 Carl Johnson of the State of Nevada. He could not be here,
5 but David Tillson is, and as I understand it, Johnson and
6 Tillson are both co-authors of this particular paper. I'll
7 be following this with some interest since I have two
8 telephone calls from Las Vegas reporters this afternoon
9 asking the Board's comments on what you're going to say.

10 MR. TILLSON: I have some good news and some bad news
11 for you. The first is, the bad news is that Carl could not
12 be here. He is constrained to traveling within the
13 boundaries of the State of Nevada due to some minor
14 bureaucratic problems that restricted the travel. He has no
15 money. The good news is that that allowed him to travel to
16 Las Vegas and perhaps make statements there.

17 (Laughter.)

18 MR. TILLSON: There is also some good news in the effect
19 that I am not an employee of the State of Nevada. I am a
20 consultant to the State of Nevada. I do not speak to them.
21 I will--have been constrained to read the text, and for those
22 of you who have been with me before in meetings, this is good
23 news because I have a tendency to ramble otherwise.

24 Now, for those of you who also will follow to see
25 how well I read a speech, I've put up some view graphs. You

1 will not find these attached. They are more to set the stage
2 for what we will be saying.

3 A key health and safety issue at any site proposed
4 for the disposal of high-level radioactive waste is the
5 seismic hazards. Of primary concern are the effects of
6 earthquake-induced vibratory ground motion and fault movement
7 during both the preclosure and postclosure phases. One might
8 assume that to minimize these effects on health and safety,
9 repository sites having low potential for seismic hazards
10 would have been selected. However, as the case with Yucca
11 Mountain, it is possible that a site could be selected in
12 which little attention was given to its seismic hazards
13 during the selection process.

14 A repository sited in a seismically active area is
15 vulnerable to damage and possible loss of isolation from
16 seismic events during both the preclosure and postclosure
17 periods. Seismic activity can affect the site in the form of
18 vibratory ground motion, fault displacement within the
19 repository, or both. Such events, individually or
20 cumulatively, have the potential to significantly compromise
21 in an unpredictable way the integrity of the repository
22 engineered barrier system; that is, waste canisters, seals,
23 et cetera during both the preclosure and postclosure phases;
24 the surface radioactive waste handling facilities (that is,
25 the hot cells, for example) during the preclosure phase; and

1 perhaps most importantly, the system performance (through
2 changes in the site geology and hydrology) during both the
3 preclosure and postclosure phases. This paper explores the
4 potential seismic hazard at Yucca Mountain from vibratory
5 ground motion and fault displacement.

6 The Great Basin of Nevada is seismically active.
7 For those of you who don't recognize that, perhaps the
8 picture on the right will sway you to that view. The
9 historical record lists numerous events in the 6 to 7
10 magnitude range. In addition, paleoseismic evidence suggest
11 many more large magnitude events during the Quaternary
12 period.

13 The pattern of regional seismicity consists of the
14 North-South Trending California Seismic Belt, the southern
15 end of the Intermountain Seismic Belt in Southeastern Utah,
16 the East-West Seismic Belt encompassing the Nevada Test Site,
17 and Yucca Mountain. The East-West Seismic Belt is a diffuse
18 pattern characterized by clusters of intense activity
19 separated by areas of lesser activity. Studies by the
20 University of Nevada-Reno have suggested both a temporal and
21 spatial clustering of regional seismicity in the Great Basin
22 through geologic time. This clustering response to
23 extensional tectonics in effect produces great uncertainty in
24 predicting patterns of future events during the postclosure
25 period.

1 The casual mechanism of earthquakes in the Southern
2 Great Basin is not well understood. As a result, seismic
3 source zones are generally used to define the seismic hazard.
4 Yucca Mountain is located within one of those seismic source
5 zones, the Walker-Lane. The Walker-Lane seismic zone also
6 contains the Cedar Mountain Fault, the site of a magnitude
7 7.3 earthquake in 1932. Analysis of the fault lengths versus
8 earthquake magnitude data used in the Site Characterization
9 Plan for Yucca Mountain indicates a maximum magnitude at the
10 site would be magnitude 6.4. However, fault length versus
11 magnitude calculations by the Nevada Bureau of Mines and
12 Geology suggests a magnitude 7.0 earthquake would be more
13 appropriate.

14 Translating these datas into vibratory ground
15 motion at the site, the SCP suggests a maximum acceleration
16 of 0.4g is to be expected at the site, while the Nevada
17 Bureau of Mines and Geology estimates from its data that the
18 ground accelerations could be as high as 1.0g. The
19 differences in these calculated accelerations can be ascribed
20 to differences in the geologic models used to define fault
21 processes at Yucca Mountain; that is, a discrete normal-slip
22 model versus a distributive oblique-slip fault model.
23 Resolution of these models will be critical, of course, if a
24 consensus is to be reached on seismic design parameters
25 before any significant design work begins.

1 Clouding the issue of determining an appropriate
2 ground acceleration for the site is the position of the U.S.
3 Nuclear Waste Technical Review Board that, "It is the opinion
4 of the Board that the vibratory ground motion associated with
5 a relatively large local earthquake, and even some surface
6 faulting beneath critical areas of the loading facility,
7 however unlikely, may not entail untoward concerns for public
8 safety provided they are adequately foreseen and compensated
9 for in the engineering design."

10 This conclusionary statement about the seismic
11 hazard potential at Yucca Mountain was not supported in their
12 report by any data or analysis. Instead, it was argued in
13 the report that if the potential occurrence of natural
14 phenomena alone, such as an earthquake ground motion or fault
15 displacement, should be the sole criteria for defining the
16 viability of a repository site, then many large regions in
17 the United States and throughout the world would be
18 considered unfit for construction or human habitation simply
19 because earthquakes have occurred. At the very least, this
20 cavalier attitude suggests a level of naivete as to the
21 hazard imposed on public health and safety by a high-level
22 radioactive waste repository.

23 The NWTRB appears to have forgotten that from 1983
24 to 1987 there were nine potentially acceptable sites being
25 proposed by the DOE, and only one of those sites, Yucca

1 Mountain, had significant faulting, active or not, present
2 within the repository site area. It appears that political
3 and economic expediency may have somehow changed the rules to
4 allow for active faulting at and within Yucca Mountain, when
5 it is almost certain that active faulting at any one of the
6 other eight sites would have readily been used as a
7 disqualifier. In lieu of empirical data, how can rational
8 decisions be made on whether the effects can be adequately
9 foreseen and compensated for with engineering design?

10 Yucca Mountain site and area studies have
11 identified at least 32 faults with demonstrated or suggested
12 displacement within the Quaternary period. This includes at
13 least one fault, the Ghost Dance, within the proposed
14 repository perimeter, and at least two faults--Solitario
15 Canyon and Paintbrush Canyon--that bound the proposed
16 repository block. The probability that other active faults
17 will be found underground within the repository block is
18 relatively high.

19 Early field studies suggested that these faults
20 were characterized by normal dip-slip motion. However, more
21 recent work has indicated these faults also show evidence of
22 left-lateral strike slip motion. Field observations by the
23 Nevada Bureau of Mines and Geology initially concluded that
24 at least four of the faults may have moved simultaneously,
25 possibly contemporary with a volcanic event. This is based

1 on the occurrence of volcanic ash entrapped within the fault
2 planes. This evidence suggests a model of clockwise rotation
3 of Yucca Mountain in which multiple faults move
4 simultaneously in response to either seismic events on deeper
5 structures, or tectonically coupled processes that may
6 accompany renewed volcanism.

7 Therefore, in evaluating the hazard at Yucca
8 Mountain, the site should be considered to be within a
9 seismic source zone containing numerous faults, any or all of
10 which can move in response to a single tectonic event, thus
11 requiring the consideration of multiple simultaneous fault
12 displacements, as well as the cumulative effects of ground
13 motion.

14 At a recent meeting of the NRC's Advisory Committee
15 on Nuclear Waste, ACNW--Paul, I told you I wouldn't forget
16 you--the NRC staff stated that fault displacement within a
17 repository was acceptable as long as the total system
18 performance objectives could be met. The ACNW recommended
19 that the NRC staff develop a policy position to support that
20 opinion. The TRB, in its second report, also concluded that
21 postclosure faulting within a repository should not be a
22 disqualifying condition, provided that engineering and
23 hydrologic implications have been adequately addressed prior
24 to waste emplacement.

25 These views represent a significant departure from

1 previous positions of the NRC relative to proximity of
2 nuclear facility sites to faults which could experience
3 movement during the design life of the facility. Considering
4 that the life of a repository will be 10,000 years or
5 greater, demonstration that engineering and hydrologic
6 implications have been "adequately" addressed prior to waste
7 emplacement may prove to be exceedingly difficult for the DOE
8 in light of minimal regulatory guidance.

9 A review of the past practices in siting nuclear
10 facilities is useful in discussing the ramifications of this
11 departure. In the late sixties, serious attempts were made
12 to site nuclear power stations in California astride active
13 faults. Bodega Bay and Malibu are two such examples.
14 Locating the Bolsa Island Nuclear Desalinization Plant within
15 an active fault zone was also contemplated. Nuclear facility
16 designers and engineers argued that they could design for
17 fault displacement and large ground acceleration. The
18 facility applicants argued to the NRC that regulations did
19 not prohibit such siting, and if the engineers were confident
20 that the facility was safe, then the risk to the public
21 health and safety was minimal.

22 The NRC, however, was skeptical and required
23 demonstrated proof of minimal risk. Ultimately, the
24 applicant withdrew claiming the cost and time required to
25 prove minimal risk was unacceptable to their projects.

1 Subsequently, in the early 1970's, Appendix A to 10 CFR 100
2 was added, defining the criteria for siting nuclear power
3 plants. This criteria included a de facto exclusion of
4 nuclear power facility sites within five miles of a capable
5 fault; that is, a fault which has the potential for movement
6 within the life of the facility.

7 Appendix A was the staff's response to managing the
8 large health and safety uncertainties generated by near and
9 on-site displacement and associated large ground
10 accelerations. While the exclusion zone approach adopted in
11 Appendix A may represent the influence of societal perception
12 of unacceptable risks, this cannot be documented. However,
13 it can be argued that Appendix A criteria containing the
14 exclusion is an expression of the public's view that locating
15 nuclear power stations astride or near active faults presents
16 an unacceptable and, therefore, avoidable risk.

17 Returning to the repository issue, it has been
18 argued by the TRB and the DOE that a nuclear reactor is a
19 highly complex, relatively short-lived surface facility where
20 an accident could result in an immediate and unacceptable
21 release of radionuclides, and therefore the risk is greater
22 than for a repository. However, the NRC in its 10 CFR Part 72
23 regulations for non-reactor nuclear facilities, including
24 Monitored Retrievable Storage Facilities, incorporated the
25 Appendix A siting criteria, including the fault exclusion

1 criteria.

2 Similarly, DOE Order 6430.1A, General Design
3 Criteria dated April 6, 1989--and I think we heard reference
4 earlier to UCRL 15910, which I think Bob Kennedy had a hand
5 in developing--requires that at a minimum 10 CFR Part 100,
6 Appendix A procedures be followed in establishing seismic
7 design parameters for all non-nuclear reactor nuclear
8 facilities, including waste repositories.

9 It is obvious the NRC staff viewed a reactor and a
10 non-reactor facility as posing similar and avoidable levels
11 of risk to the public. If the NRC views a nuclear reactor and
12 a passive spent fuel storage facility as having similar risks
13 relative to seismicity, then this would appear to contradict
14 the argument that risks of active and passive nuclear
15 facilities are vastly different.

16 The possibility of fault displacement within a
17 repository involves a new level of increased uncertainty and
18 an additional regulatory complication. Fault movement,
19 particularly within the postclosure period, will likely
20 generate secondary effects; that is, secondary fault movement
21 and new fractures. If the faults at Yucca Mountain are part
22 of a larger fault zone, then simultaneous movement on
23 multiple faults could amplify secondary faulting and
24 fracturing with an attendant decrease in the integrity of the
25 engineered seals and the containment capability of the host

1 rock.

2 Most importantly, however, it would also increase
3 the pathways for groundwater flow and radionuclide transport
4 to the accessible environment. Compounding the problem is
5 the need to provide an adequate physical characterization of
6 the three-dimensional nature of the geologic system between
7 the repository block and the saturated groundwater regime.
8 Establishing hard data, sufficient hard data on all the
9 parameters that can affect performance will be difficult to
10 accomplish without drilling a considerable number of
11 boreholes which, in turn, will likely jeopardize system
12 integrity even further. Prediction of effects of any
13 additional changes that may be caused by cumulative vibratory
14 ground motion and/or fault displacement and their impact on
15 site performance is necessarily highly uncertain. Credible
16 demonstration of the performance of such effects on the
17 system will be impossible.

18 Finally, the view that near or on-site fault
19 displacement is acceptable assumes that no new faults will be
20 created, especially within the repository. Nevada is an
21 active seismic area where fault movement has occurred and
22 will continue to occur for the foreseeable future. Field
23 observations after current tectonic events indicates that
24 most surface displacements occur on faults displaced during
25 past events. Studies of active faults throughout the Great

1 Basin substantiate this observation.

2 However, as must be expected, this is not always
3 the case. For example, observations of the Cedar Mountain
4 Fault Zone by the Nevada Bureau of Mines and Geology document
5 displacement at a location with no evidence of previous
6 activity. This occurrence indicates either formation of a
7 new fault, or extension of a previously displaced fault and
8 confirms that in the Great Basin faults can be created during
9 current tectonic events with a magnitude similar to that
10 which could be expected at Yucca Mountain. Prediction of the
11 location and magnitude of displacement of newly generated
12 faults will be difficult, if not impossible. There can be
13 little confidence in engineering designs that would attempt
14 to compensate for such unpredictable events.

15 The DOE's 1979 Environmental Impact Statement for
16 mined geologic repositories contained a list of geologic
17 factors which must be considered in assessing sites for
18 repositories. The existence of seismic hazards were
19 considered to be of key importance, and sites with such
20 hazards were considered undesirable. In fact, DOE siting
21 guidelines, 10 CFR 960.4-2-7(d) list seismic hazards as one
22 of the few disqualifying conditions. Yet in 1987, the Yucca
23 Mountain site, which was known to be subject to seismic
24 hazards, was selected.

25 The DOE and the TRB have recommended engineering

1 design solutions to compensate for this hazard. Also, the
2 NRC staff appears to be of the view that a seismic hazard is
3 acceptable as long as site performance can be achieved.
4 However, this contradicts the NRC staff position relative to
5 other nuclear facilities.

6 A geologic repository for high-level radioactive
7 waste is a first-of-a-kind facility. It has been argued that
8 the technology required for development of a nuclear waste
9 repository is not new; however, predicting performance of the
10 geologic environment for 10,000 years and beyond with
11 reasonable confidence is new, having never before been
12 attempted. Given the long-term risk posed by such facilities
13 and the inherent difficulty in predicting future performance,
14 will society accept siting such a facility in the area with
15 certain yet unpredictable seismic hazards? The answer to
16 this question cannot be cloaked in contradictory regulatory
17 policy.

18 And I have one last slide which some of you may
19 have seen before. It's been around for awhile, and we think
20 that this is one of the major problems.

21 That's all I have, Clarence.

22 DR. ALLEN: Okay. Thank you, David. I think you've
23 made your position clear.

24 MR. TILLSON: Well, I'll be certain to stay around just
25 in case.

1 DR. ALLEN: May I ask if there are questions or comments
2 from the Board or staff?

3 (No audible response.)

4 DR. ALLEN: Let me ask, or let me make a statement. In
5 just my hurried reading of this as you read it, as far as I
6 can see, you quoted our Board correctly. Some of the
7 conclusions you drew were not the same as we drew but,
8 nevertheless, I think, as far as I can tell, we were quoted
9 correctly.

10 May I ask the Nuclear Regulatory Commission is they
11 think they were quoted correctly or interpreted correctly?
12 There are many statements here concerning NRC regulations and
13 so forth, that I'd be interested in knowing whether you think
14 you've been quoted correctly on those.

15 MR. BALLARD: Ron Ballard, NRC.

16 Yeah, in general, I believe the statements were
17 fairly accurately stated as to what NRC has said. We've
18 been--we've commented on this just a few weeks ago with the
19 Advisory Committee and our own Advisory Committee, and those
20 are pretty accurately stated. I believe I agree with Dr.
21 Allen that the conclusions we may want to debate a little
22 bit, and that's about all I would say at this stage.

23 MR. TILLSON: I don't think that you'll find, if you
24 read it, that we reach too many conclusions. We're really
25 calling for consideration of what we consider to be one of

1 the key issues, and that is regulatory consistency, and I
2 think this was mentioned before, the need for guidance from
3 the NRC, specific regulations to handle what I see is going
4 to be one of the most difficult problems, and that's
5 prediction of performance on fault displacement once the
6 repository has been closed. That's very difficult.

7 MR. BALLARD: I would just say that I agree that's going
8 to be a difficult problem. That's one that we've reflected
9 very clearly in our comments on the site characterization
10 plan, and that I guess--I believe the comments were already
11 made that, of course, Part 100 does not exclude siting.

12 MR. TILLSON: I don't think we were talking about Part
13 100, really. We're talking about the concept, as Jay said
14 earlier.

15 MR. BALLARD: Well, okay. I'm not sure what exactly
16 that was, but we have all acknowledged that we do have a
17 different kind of facility here and we're really relying on
18 the site characterization to resolve the issue as far as
19 regulations go.

20 MR. TILLSON: I think we could carry on this debate for
21 a long time.

22 DR. ALLEN: Let me ask if there are others in the
23 audience who would like to have some comment or questions?
24 For example, the U.S. Geological Survey; any particular
25 comments? Even Jay Smith doesn't want to say anything.

1 MR. TILLSON: I think one of the points, Clarence--just
2 led me add one thing--that I personally would want to make--
3 and this is--I'm not speaking for the State of Nevada--and
4 the reason I chose those illustrations to use is to indicate
5 that there are very large expenditures of time and money, and
6 perhaps in this case, even more importantly is the time
7 element than the money because the nation does need a waste
8 repository, and the issue of fault displacement in that
9 repository generically is no different than the issue of
10 fault displacement in a nuclear reactor in terms of the
11 public perception, and I would hate to see a considerable
12 expenditure of money and time--particularly time--and then be
13 found that it's not going to be acceptable under any
14 condition.

15 But we're just calling for some more specific
16 regulatory guidance to deal with this issue as early as
17 possible.

18 DR. ALLEN: Oh, Jay Smith does have a comment.

19 MR. SMITH: Well, it's hard to pass up an opportunity
20 when Dr. Allen invites one to speak or to comment.

21 I think that there's a lot of parallel between the
22 points that Dave Tillson and Carl Johnson have presented here
23 and some of the comments I have made. My comments reflect
24 some views of the nuclear utility industry, which has been
25 speaking for some time of its concern over regulatory

1 consistency and a proper scope of new regulations to provide
2 the kind of guidance that we're all asking for.

3 Personally, I feel that if the NRC staff, let alone
4 future ASLB's or Appeals Board, hold the view now that
5 designing for fault displacement is fundamentally not
6 acceptable, then DOE ought to be advised of that now or as
7 quickly as possible so that the impact on suitability of
8 Yucca Mountain can be determined as soon as possible. The
9 utility industry certainly supports the DOE program and would
10 like to see an early determination of whether the site is
11 suitable, and if it is, let's get on with it. If it's not,
12 let's start considering some contingency plans.

13 MR. TILLSON: One caveat there. I think Jay is
14 referring to displacement during the operating or the
15 preclosure phase, primarily, and I'm not so sure that that
16 couldn't be accommodated. I have a lot of confidence in the
17 engineers. I'm not so sure that it could be effectively
18 licensed through the regulations just as Bodega Bay had a lot
19 of problems. However, the postclosure is another matter. I
20 don't think anyone has the ability to say that they can
21 effectively design for displacement in the repository during
22 the post-closure.

23 MR. SMITH: Well, I haven't limited my remarks just to
24 the preclosure period.

25 MR. TILLSON: Right.

1 MR. SMITH: But I think we certainly are in a relatively
2 new field from a regulatory standpoint of plowing the ground
3 with regard to the ability, fundamentally a a concept, to
4 design to accommodate faulting.

5 DR. ALLEN: Yes.

6 MR. FENSTER: Dave Fenster, Woodward Clyde.

7 I just wanted to state that DOE has not chosen to
8 interpret the applicability of Appendix A in Part 72 as an
9 interpretation of, let's say, a disqualifying condition at a
10 potential MRS site. So we basically looked at that as if
11 there's large areas of the U.S. The only document out right
12 now is basically large scale screening site requirements in
13 considerations, so if you looked at the entire U.S., large
14 areas do not contain faults that we would consider
15 disqualifying.

16 MR. TILLSON: That wasn't the point I was trying to
17 make. One, 10 CFR 960 refers primarily to the waste
18 repository not the MRS; and two, it was the issue that active
19 tectonics in faulting in the repository was considered by DOE
20 as a disqualifier at a very early stage, and yet they chose
21 to ignore one of the few disqualifying conditions in
22 recommending a site. That was the point we were trying to
23 make.

24 MR. FENSTER: There was another point I guess I'd like
25 to make, which is something DOE and NRC really haven't

1 addressed, mainly because we don't have an MRS site, and
2 that's the interpretation that perhaps east of the Rocky
3 Mountain front, you're really not applying Appendix A.

4 MR. TILLSON: It was a philosophical point that the NRC
5 had chosen to use 10 CFR 100, Appendix A in evaluating
6 meeting 10 CFR 72, that's all. It wasn't whether 10 CFR 100,
7 Appendix A applies to the high-level waste repository. That
8 was not the point. There is an inconsistency in the NRC's
9 regulatory requirements.

10 DR. ALLEN: Just a moment. Leon had a question here.

11 DR. REITER: Dave, in the spirit of Clarence attempting
12 to make sure things are quoted correctly, I wonder if you or
13 anybody else would have a full statement of the disqualifying
14 condition in 10 CFR 960.4.2.7?

15 MR. TILLSON: Uh--

16 DR. REITER: Is that a full statement?

17 MR. TILLSON: Hopefully. I meant to bring one along
18 because I thought that question would be asked.

19 DR. REITER: Okay. I wonder if you could read that.

20 DR. GUPTA: As you know, there are two disqualifying
21 conditions in 10 CFR 960. One deals with postclosure and the
22 other one deals with preclosure guidelines that relate to
23 vibratory ground motion and fault displacement.

24 The one that deals with postclosure states that:
25 "A site shall be disqualified if, based on the geologic

1 record during the quaternary period, the nature and rates of
2 fault movement or other ground motion are expected to be such
3 that a loss of waste isolation is likely to occur."

4 For preclosure, the guideline states that: "A site
5 shall be disqualified if, based on the expected nature and
6 rates of fault movement or other ground motion, it is likely
7 that engineering measures that are beyond reasonably
8 available technology will be required for exploratory shaft
9 construction or for repository construction, operation, or
10 closure."

11 If you look at the postclosure guideline, I think
12 it is very consistent with the statement that I made earlier,
13 that the bottom line is whether the site can meet the waste
14 isolation requirement; whether the site can be shown to meet
15 the performance objectives. With respect to preclosure, the
16 emphasis here seems to be whether the technology is available
17 to design the facility to account for the rates of fault
18 movement or other ground motion.

19 DR. REITER: I think the point is made.

20 MR. TILLSON: Yeah, the point that we would like to
21 emphasize here is not whether you could design or whether
22 there is a credible loss of waste isolation that is likely to
23 occur, but how will you demonstrate that? How can it be
24 demonstrated?

25 We heard discussions earlier by--I'm sorry, your

1 name is John, no, the--yes.

2 MR. MERRITT: Jay Merritt.

3 MR. TILLSON: Jay, I'm sorry--about how one would have
4 to be able to grout for displacement in the repository to
5 handle the problem of influx from perched groundwater, and
6 that's fine. How would one handle the problem of those same
7 faults that extend from the repository down to the
8 groundwater, being able to grout those to keep the water from
9 going further on down? I can see how you could keep it from
10 coming in, but I'm not sure how you would keep it from going
11 out, and therein lies the crux of the problem, being able to
12 demonstrate performance for 10,000 years.

13 DR. DEERE: Don Deere. I'd raise the question that Jay
14 really was talking about the repository in any detail at all.
15 I think it was a generic term.

16 MR. TILLSON: Well, I don't know of any perched
17 groundwater sitting above surface facilities. You
18 specifically said perched groundwater. The only perched
19 groundwater that I know to exist would be over the repository
20 block.

21 DR. ALLEN: Yes? Larry Hayes, USGS.

22 MR. HAYES: Larry Hayes, USGS.

23 First, Dave, I'd like to compliment you on doing
24 what I thought might have been impossible, and that's making
25 a very exciting and interesting reading of a paper.

1 Certainly, you were interesting and had our attention.

2 Could you put back your last slide where you
3 referenced Geologic Survey?

4 (Laughter.)

5 MR. HAYES: Okay. I've learned that I'm normally
6 mistaken when I assume something, but I have assumed you're
7 referring to the U.S. Geological Survey in your overhead?

8 MR. TILLSON: Yes, that is correct. That is actually
9 reproduced in toto right out of Geotimes, so I won't take
10 responsibility for that.

11 MR. HAYES: Could you give me the date of the Geotimes
12 article, because in interest of getting the whole story, I'd
13 like to sort of read that in context with--

14 MR. TILLSON: Well, as I recall--and Clarence probably
15 might even remember this--as I recall, that was a comment
16 letter or an appendix to a safety evaluation statement by the
17 NRC, or it may have been prior to the NRC. It might have
18 been the AEC, and it was either on Malibu or it was on one of
19 those California sites. But yes, I can get you that
20 reference.

21 MR. HAYES: I'd appreciate that and take it from there.
22 Thank you.

23 DR. ALLEN: We'll take some from G.K. Gilbert.

24 (Laughter.)

25 MR. TILLSON: For those that didn't hear me, that won

1 the People's Prize for Purple Prose from Bob Bates in
2 Geotimes.

3 DR. ALLEN: Any other comments? Yes, Ron Ballard.

4 MR. BALLARD: Just one more. The NRC really is
5 sensitized to this particular problem. I don't--many of you
6 ought to know, regulations kind of--the production of
7 regulations goes rather slowly. I think tomorrow you'll be
8 hearing from Keith McConnell the first of a series of
9 technical positions the staff is trying to develop that's
10 trying to approach this problem, not necessarily the
11 inconsistency you speak to, but nonetheless, trying to work
12 out with DOE an appropriate way to handle it. We are also
13 actively involved in so-called -- performance assessments.
14 This is the process required by the EPA standard on the total
15 systems analysis, and primarily to develop staff skills and
16 to see if the regulations can really be implemented. I
17 believe DOE is doing the same thing. We've worked with them
18 for the last couple of years on this, encouraging rather
19 strongly and vociferously a move in this direction, and I
20 believe they're responding very well and I believe they could
21 speak to the fact that there is supposed to be some work
22 coming out to see if we can demonstrate, in fact, what the
23 EPA standard and the statutes call for.

24 MR. TILLSON: Just to be sure that I don't only cast
25 stones, I want to compliment Dinesh--and I'm sure the other

1 people who were involved, and there were many--that it was
2 very encouraging for me personally to see the reference to
3 the kinds of problems that we are alluding to, and I am
4 encouraged that the NRC is starting to think about this
5 problem much more seriously than they have been in the past.

6 DR. ALLEN: Okay. Thank you, David, and thanks to all
7 the other participants today. With our typical cavalier
8 attitude, I'll declare the meeting closed for the day and
9 remind you that we will commence at eight-thirty in the
10 morning.

11 And also, since this room is going to be used for
12 other purposes tonight, you must remove your belongings over
13 the evening.

14 Thank you very much.

15 (Whereupon, the meeting was adjourned, to reconvene
16 at 8:30 a.m. on January 23, 1992.)

17

18

19

20

21

22

23

24

25

1