

UNITED STATES
NUCLEAR WASTE TECHNICAL REVIEW BOARD

FULL BOARD MEETING

July 8, 1992

Stouffer Concourse Hotel
3801 Quebec Street
Denver, Colorado

BOARD MEMBERS PRESENT

Dr. John E. Cantlon, Chairman

Dr. Clarence R. Allen

Dr. Garry D. Brewer

Dr. Edward J. Cording

Dr. Patrick A. Domenico

Dr. Donald Langmuir

Dr. John J. McKetta

Dr. D. Warner North

Dr. Dennis L. Price

Dr. Ellis D. Verink

ALSO PRESENT

Dr. William D. Barnard, Executive Director,
Nuclear Waste Technical Review Board

Mr. Dennis G. Condie, Deputy Executive Director,

Ms. Karen Severson, Congressional Liaison

Dr. Sidney J. S. Parry, Senior Professional Staff

Dr. Sherwood C. Chu, Senior Professional Staff

Dr. Leon Reiter, Senior Professional Staff

Dr. Carl Di Bella, Senior Professional Staff

Dr. Robert Luce, Senior Professional Staff

Mr. Russell McFarland, Senior Professional Staff

I N D E X

<u>SPEAKERS:</u>	<u>PAGE NO.</u>
Opening Remarks Dr. John E. Cantlon, Chair Nuclear Waste Technical Review Board (NWTRB).	262
Opening Remarks Mr. Carl Gertz, Project Manager Yucca Mountain Site Characterization Project Office.	262
Introduction Mr. William A. Lemeshefsky, Department of Energy, Office of Civilian Radioactive Waste Management (DOE/OCRWM).	269
Overview of Top-Level System Studies Program Dr. Larry D. Rickertsen, Management & Operating Contractor (M&O).	274
Update of Throughput Study. Mr. William Bailey, M&O.	305
Alternative Cask and Canister Concepts for Storage, Transportation, and/or Emplacement. Dr. William Hollaway, M&O.	333
Update of the System Implications of the Repository Thermal-loading Study. Dr. Peter Gottlieb, M&O.	369
Closing Remarks Dr. Bartlett, DOE/OCRWM.	403
State of Nevada, Comments on Board's Fifth Report. Mr. Steve Frishman.	407
Closing Remarks Dr. Cantlon, Chairman.	416

P R O C E E D I N G S

1

2

8:30 a.m.

3 DR. CANTLON: Let's convene the Board, please.

4 The Board is reconvened. For those of you that
5 weren't here yesterday, my name is John Cantlon. I am
6 Chairman of the Board, and we are meeting to be brought up to
7 date in the broad area of the systems approach to the Nuclear
8 Waste Management System.

9 One minor change in the agenda for this morning,
10 Wednesday, July 8, we are going to insert Carl Gertz in
11 immediately after my remarks, to close out a number of the
12 questions that came up from yesterday, but since we have a
13 very tight schedule, we will defer any lengthy questions here
14 and take maybe one or two brief questions and then we'll get
15 right on to Dr. Lemeshevsky.

16 Carl.

17 MR. GERTZ: The first question I would like to address
18 came from Dr. North yesterday about the study plans. Since
19 we had several discussions on it, I asked my staff to prepare
20 an answer to me which just came back. So, I have not edited.
21 What you have in front of you is once again raw, draft data.
22 But, it at least gave me some comfort that, in effect we
23 were aware that that study plan that we submitted on 4/22 had
24 not incorporated the changes to the ESF. And on 6/8 once we
25 approved ramps instead of shafts by change board, we then

1 sent documents and notices not only to that principal
2 investigator but for 13 other study plans saying, you now
3 must change your study plan and update it to reflect
4 whatever. Change in testing strategy will occur because we
5 are doing ramps and not shafts. So the process is following
6 our procedures. It does work; but it is cumbersome
7 sometimes. Of course, the question you might ask, why did
8 it take that long to get our change board into effect to
9 change from ramps to shafts and we waited for our Title I
10 design so we had a better baseline was what I was told.

11 But, the key thing is the reason we put in the 422
12 in '92 changes, we wanted to add a couple of activities that
13 were surface based, not underground. So, that is our process
14 that is there for you. It may not be perfect, but it is
15 fairly well documented. You will find 13 other study plans
16 that have the same problem right now.

17 When we update those is going to depend upon lots
18 of things. It will depend on funding for '93 relative
19 priorities, and if we are not going to any tests we are
20 probably not going to spend a lot of time.

21 But, I want to follow that up with one more thing.
22 The exercise for 2001 that Bob Sandifer talked to you about,
23 includes the principal investigator's best estimate of how
24 they are going to do tests in ramps. And that includes, as I
25 am told right now, continuous TBM operation. The PIs are not

1 going to require the TBM to be stopped, unless there is a
2 major anomaly. So, our philosophy in our cost estimate that
3 is going into the 2001 estimate includes the latest thinking
4 of the PI even though that is not reflected in a study plan
5 at times. So, that closes that issue.

6 The other issue is one that John brought up and let
7 me give you some handouts. What I am going to condense for
8 you is either a three month exercise that we have gone
9 through with independent cost estimators or a three day
10 exercise that we have gone through with the utilities. And,
11 I am going to do it in three minutes. And you can of course
12 have an expanded briefing later on in the year, if you would
13 like.

14 But, off the top of our head, \$6.3 billion is our
15 estimate that has been validated. It includes a couple of
16 things. It is 20 years of activities; it is total cost
17 required to determine suitability and to prepare an LA.
18 Previous costs are about \$1.3 billion. There is some
19 escalation in the future, so that is in there. Excuse me,
20 there escalation in here at \$600 million; there is
21 unescalated state payments at \$800 million. There is a cost
22 to complete of \$3.6 billion for direct project activities.
23 And, if you want to know what is in that \$3.6 billion, that
24 is in the next handout.

25 And very roughly top level just the way to think

1 about it, \$.8 billion for testing site investigations; \$1
2 billion for facilities to test in; waste package design,
3 systems engineering, technical data base, institutional and
4 project management and training. That is a very broad break
5 out.

6 I have provided for you, as I did I think in
7 January, our official accounting system. It is a work
8 breakdown structure. When the cost estimators were in, they
9 looked at 710 planning and summary accounts that make up this
10 \$6.3 billion. This is by our traditional work break down
11 structure at the top level: systems, waste package, site,
12 repository, et cetera. Keep in mind project management
13 includes lots more things. It includes QA; it includes
14 project control system; it includes the rent; it includes all
15 those kind of things. And in case you are wondering what our
16 formula is for state support, it includes 5 percent for
17 oversight, 3 percent to the universities, 2 percent for
18 impact, and \$50 million for benefits agreement. So that is
19 how we came to the \$6.3 billion.

20 I have provided for you another work break down
21 structure down to the fourth level. Actually, we go to the
22 sixth level. As I said the independent three month exercise
23 by Gilbert Commonwealth looked at 710 planning summary
24 accounts and probably over 2,000 summary accounts below that.
25 That is our official way of keeping track.

1 In case you are wondering where we are going and
2 another way to look at it, this was presented to you in one
3 form or another, talks about the firm foundation and our
4 required costs to do business and then other things that are
5 going on. That is provided for you both in what was spent in
6 '92 and what we would like to spend in '93, recognizing it is
7 the "administration request", because the additional 75
8 million may not be an official administration request. So, I
9 have another chart that I didn't give you to confuse you to
10 show how we split out 240 if we get it. As you can see we do
11 have a fairly good emphasis on ESF with that kind of an
12 approach.

13 Once again, the theory behind this is that you need
14 these kind of things in place before you can do other things,
15 whether it is drilling, whether it is design activities,
16 where it is monitoring, you have to have a sound foundation.

17 DR. CANTLON: Carl, before you take that off, did I
18 understand that the 70 million addition is in the 318?

19 MR. GERTZ: Yes, sir. That is in there.

20 DR. CANTLON: That includes.

21 MR. GERTZ: When Dr. Deere, testified and the utilities
22 testified in front of Senator Johnson's committee as well as
23 when John and I were there, when we alluded to the additional
24 \$75 million, that is the number that we get when you add the
25 \$75 million. However, I am told that is not part of an

1 official budget amendment at this time. So, we are really at
2 the will of Congress, I guess, because that is the next
3 chapter in the process as to what the appropriations might
4 really be.

5 I need to caution you, as John pointed out, right
6 now not this number, but John's entire number for the program
7 is 275 on the house side. That includes MRS, transportation,
8 federal salaries, and everything else. My share of that
9 would be significantly less than 25.

10 DR. CANTLON: Roughly what percent?

11 DR. BARTLETT: 150.

12 DR. CANTLON. 150

13 MR. GERTZ: 150. That is 30 million less than we are
14 spending this year.

15 So, John has a lot of tough decisions to make to
16 come to allocate that. And then once we get 150 at the
17 project, we have some tough decisions to make as to how we
18 allocate it. As I say, that is one way to look at it and the
19 other way is what blocks we spend money on in here.

20 These are just summary activities. So, you have to
21 keep that in mind.

22 DR. CORDING: That 43 for support facilities and
23 equipment, what principally would that be?

24 MR. GERTZ: That is getting the electrical system in
25 place to support TBMs. That is additional pads and roads, I

1 believe, for the drilling program. And that is our sample
2 management facility our hydrological research labs, all the
3 facilities, support facilities. But the big player in this
4 is about 20 million, I believe is to get the electric line
5 into the site. And of course, you could use stationary
6 power, if you decide to that to temporary diesels if you
7 wanted to too. That is a trade-off that we need to make.

8 DR. BARTLETT: Let me underline that this is just the
9 Yucca Mountain portion of the budget. We are also trying to
10 design an MRS and construct one, procure casks and do other
11 things. So, this is only part of the activities.

12 MR. GERTZ: This is what we are spending this year. As
13 John says, it is highly speculative of what the number will
14 be next year. Which makes, as the M&O pointed out very
15 aggressively makes it difficult to plan on whether I am going
16 to have a 318 program come October or 150 million program
17 come October.

18 You know as a project manager, I hear the same
19 debate that goes around the table. Some people would like
20 more engineered barriers. Maybe some would like more
21 geochemistry. Maybe some would like more performance
22 assessment. Some would like some more surface based testing.
23 Some would like to get underground. Some would like a
24 broader institutional outreach program. You can't have all
25 those kind of things. And there is more and more and more.

1 We go through this debate fairly regularly in the program.

2 And just to clarify on paper schedules, and I know
3 Ed this comes to answer your question, a 240 million budget,
4 that is what our--and this is 318. Now of course we are
5 going to be looking at whatever money we get to still try to
6 do some things early, one TBM or whatever. But, that was our
7 planning case and the dates for start TBM and for reach main
8 test level with those type of budgets.

9 DR. CORDING: That would be TBMs from both portals?

10 MR. GERTZ: No. It's just the one portal at this time.
11 The second one follows it by about eight months or a year.

12 DR. CORDING: But I mean the cost is for basically two
13 TBMs being mobilized within that fiscal year or something?

14 MR. GERTZ: Ed, I don't know the answer for sure. I
15 know it is probably buying two, I remember that. I think it
16 is mobilizing one--getting ready to mobilize one. The other
17 one would be in '94.

18 DR. CANTLON: Okay. Thank you, Carl.

19 Now, we are right on time. We will proceed now
20 with Dr. Lemeshefsky looking at systems area.

21 DR. LEMESHEFSKY: Good morning. I would like to go over
22 some introductions here. We have one change from the printed
23 list although it is in the agenda. Larry Rickertsen will be
24 replacing Frank Ridolphi in the listed presentation. He is
25 in the agenda but not on the sheets that are either in my

1 slides

2 or your books, probably for the papers.

3 Bill Bailey, Bill Hollaway and Peter Gottlieb, you
4 will hear a lot and you will have a lot of questions today.
5 I wanted to capture this change of pace of going into the
6 systems studies area by giving a little background on our
7 systems engineering work and some key activities.

8 Obviously, as I think you have heard from me and
9 others before the systems and compliance generates
10 requirements documents mainly. Part of this generation of
11 requirements documents is the identification of decisions
12 that need to be made in the program. Obviously, these have
13 to be tied into the program schedules in some kind of a
14 decision tree and scheduling network.

15 Two efforts that then trigger all this are then the
16 identification of system studies that need to be performed,
17 both at a system level and then those that affect the
18 individual program elements.

19 Part of this is more than just identify the
20 individual system study by a sentence, but is to identify the
21 scopes, inputs, outputs, resources, form of the output,
22 schedules, phases and the sequences by which these studies
23 need to be done.

24 Hand-in-hand with this goes the evaluation and
25 development of a series of models that have been developed

1 over the last six or so years that the M&O is using to
2 perform these studies. In being able to be flexible in doing
3 new studies, we have to keep a continued enhancement going
4 for these studies. And to the models that support them and
5 also in the operational scenarios that we run in performing
6 these studies and that triggers the interest in terms of
7 human factors and approaches to the program that may be
8 sometimes too detailed. But, we need to make scenarios
9 regarding them in order to come up with cuts that perform in
10 these studies.

11 The objectives of our studies, and these are not
12 all, but certainly key, is we have to develop these
13 requirements documents for the program. So, we not only
14 define the requirements, we also have to develop records of
15 these decisions using these studies, by which we will
16 converge on the program. One other thing that is of
17 paramount importance to us is a concept of evaluation of
18 these studies; the criteria; the measures of effectiveness.
19 It is not always cost. It is not always X, Y or Z. It is a
20 family of parameters, measures of effectiveness of things
21 like that that are a little bit different for each study. So
22 that has been a uniform approach we have tried to put in all
23 these studies, so that we don't have to go back as we have in
24 the years past and redo the same study with a different
25 measure of effectiveness because of time changes and other

1 things affect it. So, we have to--when we identify these
2 studies we look at the full suite of measures that we want to
3 look for for impacts.

4 Hand-in-hand with this, these studies support
5 decisions that are being made by the individual elements of
6 the programs. With the M&O and the DOE people this is a kind
7 of a hand-in-hand operation in that the M&O is able to work
8 within their organization with their design agents as these
9 studies are being done, so that the trade-offs can be
10 occurring at the working level without undue delay and
11 formality in terms of scenarios and things like that. We
12 obviously don't want to evaluate a scenario that is not of
13 interest to the designer and that type of thing.

14 A little history on where we have been on system
15 studies. It is hard to believe we have been doing them since
16 1984 in this program. As early as, in my experience, in '86
17 and '87 time frame we identified that we could not complete
18 our requirements documents without certain key system studies
19 being done. With the M&O's arrival we feel that we have
20 sufficient resources, integration and the ability to talk
21 with the designers and interface with the right number of
22 people to converge on these decisions and get this effort
23 done.

24 One recent activity that we have done is just
25 publish last month a digest of all the studies that were done

1 since 1984 and their preliminary assessments. So, that is
2 kind of an important--we want to converge on this. We don't
3 just want to do the same studies and it is remarkable to see
4 how some of the studies resemble the ones that we are doing
5 today.

6 The last two are an ongoing activity. This isn't a
7 static effort. We have to continually resolve the scope of
8 these studies. The priorities change. The sequences. The
9 near-term--the phasing activities. You'll hear a lot of that
10 today.

11 In summary, what you hear today, I think with the
12 M&O and Board, we are now in a position to accomplish and
13 address these critical areas out of these studies. Although
14 these studies will continue to raise significant interest, if
15 they didn't raise this interest, they wouldn't be worth
16 doing. I guarantee you that.

17 The decisions in these areas are needed now, not to
18 hold up the program. We need to make some kind of
19 established positions on these so that we cannot hold up
20 activities that are going on. We don't want to go and
21 converge on the wrong solution. But, we are at a time in
22 this program where we need to make some firm decisions. They
23 don't have to be detail design decisions, but we have to
24 resolve certain approaches.

1 I am sure you will agree after you hear these
2 presentations that one, you will be stimulated; two, I think
3 you will be favorably impressed as, I am, about the
4 information that these presenters will cover. And I think
5 that this is, at least in some cases, maybe the first time
6 you have heard some of the results of these studies that we
7 have briefed you on previously about our scope and scenarios
8 that we are going to perform. So, I think it will be very
9 interesting.

10 Thank you.

11 I will introduce the next speaker as Larry
12 Rickertsen.

13 DR. RICKERTSEN: As Bill said, I am not Frank Ridolphi.

14 Frank is the manager of Systems Analysis at the
15 M&O. And in that role, he has had the responsibility for not
16 only managing the analyses that are done, but the development
17 of the overall approach to pull together the various studies
18 to make sure that they will be timely, be able to provide
19 support to the particular decisions that need to be made.

20 That development is one that we hope to conclude
21 with about September of this year when we produce, what has
22 become and has been called the roadmap or the frame work for
23 the system studies that will be done to evaluate alternative
24 concepts, design concepts and so on.

25 I recently have come on with the M&O. I have been

1 with a program for I don't know how many years, but several
2 years. And one of the initial assignments was to also work
3 in this same area. The emphasis is a little bit different.
4 Frank's role focuses on the design issues, the design
5 concepts and mine is focused a little bit more on the
6 strategy area. But, you can see that there is a blending of
7 those. So, Frank and I have worked fairly closely in that
8 development.

9 What I would like to do here is to provide you an
10 overview of trying to do a lot of things at one time to get
11 it to show and illustrate some of the studies that are
12 ongoing and also to get at this overall picture of how these
13 things fit together, both how we see it now and how we
14 envision that will evolve with time.

15 This particular viewgraph just illustrates for you
16 what we mean by system analysis. It is one that where
17 effects in one area, one element of the system actually
18 affects multiple elements. So the idea is to make sure that
19 you take all that into account, so that as you begin to work
20 on the system to improve it and to evaluate it in various
21 ways, that you make sure that various measures of performance
22 or measures of effectiveness are satisfied, such as safety in
23 cost and how the thing fits together.

24 An important point in developing any overall
25 framework is to recognize that in the phasing of the program

1 that you will do actually different kinds of analyses. They
2 are strongly related to one another, but the specifics of the
3 analysis will have a different focus.

4 For example, in the early stages of the program
5 which is what we are in now, will be called concept
6 definition. Whereby concept, we mean the design concepts.
7 Concept of operation. What generally facilities you will use
8 and what functions they will have. That is one set of
9 analyses.

10 During the requirements definition, once you have
11 your concept and we set up the requirements of that, you will
12 do another set of tradeoffs associated with identifying what
13 parameters you are going to set requirements on and so on.
14 Likewise in design, you will wind up refining the design to
15 meet those requirements and there will be another set of
16 tradeoffs that you will do trading off various aspects of the
17 system one against another to optimize the design.

18 Then, finally in the close-out stage the compliance
19 statement you will also do analyses. And as I said, they are
20 related to one another. The work that you do during
21 compliance verification is a lot like the work you do in
22 development of the requirements. A very similar analyses but
23 with a different focus.

24 However, it is important that to see two basic
25 kinds of studies that you do. One is the development of

1 information just to set up the cases you are going to look
2 at. You need some basic raw numbers, data that help you
3 understand what you can do. What kinds of alternatives you
4 can set up just how to define the various cases that you are
5 going to evaluate. And then there is a set of analyses to
6 actually compare various options and various alternatives
7 that you have in mind.

8 Those are also closely coupled. You don't really--
9 sometimes you are doing both things at the same time. So, it
10 is important to know that sometimes you'll begin studies,
11 even if you don't know where those studies are going to go
12 because the studies help you set up before you are going to
13 go.

14 DR. PRICE: Before you leave that slide, what phase is
15 this program in right now?

16 DR. RICKERTSEN: We are clearly in the concept
17 definition phase. We have a concept for the SCP. That
18 concept has evolved and we are evaluating alternatives to
19 that concept. You heard yesterday about the robust waste
20 package. The SCP concept is a thin-walled package. So, that
21 is an alternative concept that is being evaluated at the
22 present time. Cask alternatives and so on are being
23 evaluated. So, we are still in the concept definition phase.
24 We are doing a lot of requirements definition with this
25 phase also.

1 The program, for example the MGDS is at a stage,
2 the MRS is at a stage, so we are going to begin license
3 application for the MRS in the fall. So we will be at the
4 design and development stage for the MRS soon. So, you have
5 to take into account--the main point of this slide is that
6 there are different kinds of analyses that you have to build
7 a roadmap for. But we are at different stages. We are at a
8 variety of stages. We are clearly not at compliance
9 verification yet, so essentially in my opinion, most aspects--
10 -the thing I am worried about is the concept definition
11 stage. The critical issues happen to be in that area right
12 now. That is the one we get asked the hardest questions
13 about.

14 DR. PRICE: The reason I asked the question is because
15 as your answer indicated, I don't think that the phase of
16 this program if you look at it as an overall program, is very
17 clearly determinable. Some of the things blur at me as I
18 look at it in trying to figure out what phase are we really
19 in.

20 DR. RICKERTSEN: Well, in most large projects of this
21 size there is always that blurring. It is hard to separate
22 out things. There are people who might be made managers over
23 various aspects now wind up working for one another at
24 various times. But clearly the concept definition phase we
25 are still in that. We haven't left that one yet. And there

1 will be some--and I would imagine as you move into the latter
2 stages of design that that will begin to diminish, although
3 there will always be new ideas proposed by people; good ideas
4 that ought to be looked at. And I will come back to--most of
5 what I have to talk about is what you are doing in the
6 concept definition phase.

7 DR. PRICE: It appears to me though, just a quick
8 comment, that the design and development is kind of
9 intermingled with this thing and tends to get confused with
10 other concepts and Freeze's decisions along the way before all
11 alternatives are carefully massaged.

12 DR. RICKERTSEN: Actually, it is a point I wanted to
13 make and I am glad you made the point for me.

14 In the development of the roadmap, it is very
15 important to us to emphasize the fact that there are people
16 who--as I will talk about later, there are stages that you go
17 through in this phase itself, and you will be looking at
18 alternatives. Sometimes people feel we are not examining
19 those alternatives. We have already sat on a particular
20 pathway by the SCP. And we want to emphasize that there are
21 in that roadmap that will be developed, you will see actually
22 comparisons of various alternatives. I will talk a little
23 bit more about that.

24 As I mentioned to you, there are some of the
25 analyses that you do, system analyses that you do right up

1 front to produce data. In addition, sometimes even though
2 you don't know quite where you are headed in detail, you know
3 that some decisions are going to have to be made early and so
4 you will begin to do system evaluations, even though you
5 don't have the roadmap completely mapped out. And that has
6 already begun. We have already completed a number of study
7 evaluations, some are also ongoing to feed particular near-
8 term decisions.

9 One of the studies that was begun early, almost as
10 soon as the M&O came on board was the Throughput Study. You
11 are going to hear more about that Throughput Study. Bill
12 Bailey will be talking about that. And that is providing
13 information not only--well, basic information that you will
14 need just to set up what the MRS will look like, what the
15 throughput rates and what the capacity rates are and so on,
16 that help you define the various options that you will look
17 at in those cases.

18 In addition, there are some natural evaluations you
19 do as you evaluate throughputs. You begin to do some
20 optimizations right away. It is very natural to look at
21 costs to the extent that you can incorporate them and so on
22 and Bill will be talking a little bit more about that.

23 I want to talk about building a framework that you
24 would do for system studies during the concept definition
25 phase. And analogous framework or generalization to this

1 will apply during other stages, but let me go on with this.
2 The main point I want to emphasize on this viewgraph is that
3 the framework needs to provide an integrating mechanism for
4 all your studies. One of the things you will find right away
5 is that people looking at the MRS will say what is the
6 throughput for the MRS? What is the capacity for the MRS.
7 And that question is not an MRS question. It is system
8 question. You answer that one by knowing what throughput for
9 the entire system is; what the interfaces are with the other
10 aspects of the system.

11 Therefore, beginning an MRS study of throughputs
12 doesn't quite answer--doesn't get at what you need to know.
13 So, you would like to have a map of all the studies that you
14 do to see how they tie together.

15 The real integrator is, I don't know how to emphasize
16 this, maybe it is so obvious that I don't need to emphasize
17 it. The studies that you do don't make decisions. There is
18 some decision out there somewhere that you are going to
19 resolve. Some higher level decisions and then lower level
20 decision for that feedback. And that is what controls what
21 you do. The system studies merely provide information that
22 you need. If you decide up front that you are going to make
23 a decision and you don't need any more analysis than that,
24 automatically says for the purpose of that decision, you
25 don't need a bunch of system analysis.

1 There is--I don't know if the decision has been
2 formally made, but in the presentation on waste package,
3 there is a fairly strong pressure to move toward robust waste
4 packages. It is almost as if that decision has been made. I
5 am not sure it has been formally made, but I suspect if
6 whatever was discussed yesterday, that there will be an
7 effort to change the baseline toward a robust package. There
8 are some refinements as to exactly what you mean by that.
9 But, system analyses to decide whether you are going to go to
10 a robust waste package or stick with a thin-walled waste
11 package are probably not necessary. The decision may have
12 been made. I am not sure that that is really true. I don't
13 look at the decision makers that say that. But, if that
14 decision had been made then it wouldn't be worth a whole lot
15 of money to do that analyses to see if the thin-walled waste
16 package is a good idea.

17 Once the decision has been made, that determines
18 how your studies go and that is the focus here. It doesn't
19 show that in order, but basically third bullet on here
20 essentially deals with that.

21 DR. PRICE: Could I just comment on that. If you turned
22 that around a different way and say that the decision has
23 been made for thin-walled container, therefore we are not
24 going to do a systems engineering evaluation of it, because
25 we have already decided we are going with a thin-walled

1 container. The program may suffer a great deal unless you
2 can support that with a system study, because later when
3 demands are placed to justify this decision and show that the
4 decision was in the best interest of the American public, you
5 say well somebody made a decision, so we didn't do any system
6 engineering. So, I would like to challenge what you said by
7 turning it around the other way and indicate I think the
8 systems engineering with all of the alternatives have to be
9 on display as having had a reasonable and prudent evaluation.

10 MR. RICKERTSEN: Somehow, I knew you would say that.

11 I guess the point I wanted to make, and it is an
12 important one, is that there is a time at which a decision is
13 going to have to be made. There are some cases where
14 decisions could have been made in the past and just weren't
15 made. And one of the things we are afraid of is closing off
16 options. And appropriately so.

17 At some point though decisions with more or less
18 degree of information. We want to make sure that we have
19 adequate information, but if we hold off on that forever
20 there are decisions that will never be made. At some point
21 we are going to have know the thermal loading for the
22 repository. We may not have all the information that one can
23 gather to do that. We need to do everything that is
24 appropriate for that, but at some point the decision maker or
25 whoever it is out there will have said, I am going to take

1 the risk based on what I have. And all I am trying to get at
2 is to look at that opposite side of the question that at some
3 point you have to make a decision, and you may not have all
4 the information that someone thinks you might have, and you
5 are going to have to defend the case against Boards like this
6 and the public and other people.

7 The main point I want to get out at this point, is
8 that the studies that you do don't have a life of their own;
9 should not have a life of their own, that we do studies just
10 because we like doing studies. The purpose of the study is
11 to support some decision out there. And, you would like to
12 know what that decision is. You would also like to know when
13 the decision has to be made, latest date, earliest date,
14 whatever it is, so that you can say, do the evaluation and
15 say, you know, to get the information to do that and make
16 that decision, I am going to need ten years of information,
17 but I need the information today, or I need it in two years.

18 Therefore, the studies that we are going to do we
19 are going to be very limited and we are going to have to go
20 with that. And the roadmap allows you to think that through
21 and that is the idea. All of the kinds of risks that we need
22 to take that will be taking and so on, you can get a heads up
23 view of that by looking at this roadmap and seeing what is at
24 stake.

25 You begin with something called a Reference System

1 Description. A little hard to get at that. We have begun on
2 that process already. It is not clear to people what you
3 mean by the reference system. Is it the baseline? Is it
4 what we are currently doing? Is it what we would like to be
5 doing five years from now? What is it?

6 Basically, the view that we have is the system
7 studies are ways of comparing various alternatives. The
8 reference is just one of those alternatives. So, out of the
9 baseline, the current baseline may have several alternatives
10 in it. The reference system would be one of those
11 alternatives. There would be other alternatives that would
12 also be described, maybe still within the baseline. I don't
13 know if I made that very clear. There is a difference in the
14 baseline and the reference system description.

15 Then you can also define what those alternatives
16 are, and then based on what those alternatives are, you set
17 up a decision, a hierarchy for getting at those alternatives,
18 drawing it down to lower and lower level detail that you
19 think is appropriate.

20 An important point about that is, this milestone,
21 the timing, when you need decisions by. And so one of the
22 things that we found very important was to include a
23 reference and description of a list of milestones, when
24 decisions have to be made in that reference system. You
25 probably need the same thing in each of the alternatives.

1 You'll find out that there may be some information that just
2 isn't timely and therefore that study may not be as necessary
3 and we are lowering the system priorities.

4 Once you have that decision hierarchy, milestone
5 schedule and so on, you can develop your roadmap of system
6 studies, and the models needed and the data needed and so on.

7 An important point of this is that when you are
8 completed with this, you have gone through the process of
9 developing the roadmap, you have this top down approach to
10 developing studies, an important point is it doesn't stay
11 static. You find right off the bat, that as you proceed
12 through the different phases you will be adding studies to
13 that list, timing them according to what you need for those
14 decisions.

15 In addition, you find that in some cases there will
16 be decisions made along the way that will determine which
17 direction you go with your studies. So you'll close out some
18 studies and you will introduce new ones or you will clarify
19 ones that you had stated fairly ambiguously before because
20 you didn't want to go too far down the road until you had
21 some more information.

22 So, the roadmap needs to be a dynamic thing. A
23 very flexible thing, casting it in stone will be a
24 disservice. And one of the interesting things since I have
25 come on the M&O one of the things I have been interested to

1 find out is how flexible the M&O is in dealing with the
2 configuration management and change control that is
3 automatically on our program on us, and at the same time
4 handling this dynamic approach.

5 In talking with people, they don't seem to be
6 afraid of this and they seem to be aware of the problem. It
7 will be interesting to see how we are able to deal with the
8 problem. It is one that has faced us in quality assurance
9 and in other aspects. We get frozen into things that we feel
10 we have to do although they are no longer timely.

11 Let me just say that where we are at. We have
12 almost completed with the reference system description and
13 with alternative descriptions. Not quite done; it hasn't
14 gotten all the review that it needs to have. We have begun
15 to flush out the decision hierarchy. We plan to have the
16 decision hierarchy and the roadmap system studies and so on
17 by September. So, that should be just about in time to help
18 drive us through the rest of the program.

19 However, that doesn't mean that you can't be doing
20 studies now. We have found already, we know from the
21 preliminary work we have done in developing this decision
22 hierarchy that there are some decisions that are near-term
23 that need analyses right now. We need both information to
24 set up cases that we are going compare and we need to have
25 some analyses done already.

1 Two of those areas that we know are very--that we
2 need information on very quickly, thermal loading study and
3 alternative cask concepts. Work is already ongoing on those.
4 We won't stop that work waiting for the roadmap to go. In
5 fact, it doesn't make sense, because the roadmap will be
6 constantly moving anyway. I have to be careful saying
7 constantly moving. That scares a lot of people. But you
8 need to make sure that it moves as the program moves.

9 Let me just give you a little brief introduction
10 because Bill Hollaway is going to talk more about what has
11 been done on the cask studies, some that have already been
12 done and then one that is ongoing that is based in part on
13 those studies.

14 I think what I hope is you will look at that in
15 addition to all the things he wants you to look at, that you
16 will kind of get a grasp of the scope and the approach that
17 is used and look at that critically to help us.

18 Another one that we'll be discussing is the thermal
19 loading analysis which apparently you have some interest in
20 and I want to make sure that we are doing some work in there.
21 You actually have been briefed on this already. Peter
22 Gottlieb will be presenting something on this, basic problems
23 of thermal loading as a question to help in some aspects of
24 the repository either to help by condition the system so that
25 it performs better, it is safer or it is easier to

1 demonstrate compliance, or maybe you can put more waste in
2 the repository and so on. At the same time there are system
3 implications. And Peter will be talking not about the whole
4 question, but the system implications, that is impacts on the
5 MRS and the transportation system.

6 Now, what I want to do, having said all that, I
7 would like to, hope if I can talk about an example of what I
8 mean by the system roadmap, studies and models roadmap and
9 use thermal loading strategy as an indication of how we are
10 proceeding. I hope I don't steal much of Peter's thunder in
11 doing this.

12 But, I will just give you a little brief notion of
13 how we are proceeding and how we have chosen to do pieces of
14 the work initially and so on.

15 The work is actually in two phases as was given in
16 the briefing before. The first phase work is essentially
17 completed. There needs to be a report written and the draft
18 should be soon and the final will be out in September. And
19 it will address some aspects that we consider important to
20 get at in the very early stage.

21 I don't want to do too much with this slide,
22 because Peter will do a much better job, but talk about the
23 last thing that it is important to note this. The thermal
24 loading study that he reports on would discuss does a couple
25 of things. It gets at some aspects of the problem, but it

1 doesn't get at the whole question. You won't find out from
2 Peter's talk what the thermal loading should be, because we
3 don't know yet. We don't have enough information. Peter's
4 focus was on what the system provides. There was a little
5 bit about what will happen in the MGDS but not enough to be
6 able to make a decision yet. So, that is not in there. And
7 that is not the focus of what he will be presenting.

8 Let me talk about what happens in the roadmap.
9 Basically you have a couple of decisions as you aware.
10 License application and design of MGDS starts in about the
11 middle of 1996. So a decision on what the thermal loading
12 strategy should be for the repository should come somewhere
13 about that time frame. I don't know, maybe 1997, depending
14 on how far along in that design process you could carry
15 alternatives; but, somewhere in that time frame.

16 The MRS license application design begins in the
17 fall of this year. Therefore, decisions about the MRS need
18 to be made early. If there are any implications of thermal
19 loading on the MRS. And for that reason, the phasing thing,
20 that we needed to get some information just to set up what we
21 are going to do for the whole question, but also, we need to
22 get at what kind of a decision are we going to have to make
23 with the MRS? Here is a couple of alternatives.

24 You can adopt a strategy in which, for example, you
25 can pick a thermal loading strategy based on whatever

1 considerations you want to make. For example, there may not
2 be sufficient information from the testing program for the
3 MGDS to influence your decision, you might as well make the
4 decision now. There has to be an evaluation of whether that
5 is true or not. That is part of the early phase of the
6 thermal loading strategy.

7 Another approach is to adopt an MRS design that can
8 handle any thermal loading strategy. It would obviously be
9 more costly, so you would have to go through and figure out
10 whether there is an effective trade off there.

11 One of the things that you have to do to prepare
12 for that is to evaluate the range of possibilities for the
13 MGDS. What kind of package loadings are possible? What kind
14 of areal thermal loadings are possible? What kind of waste
15 characteristics determined by cooling or other aspects of the
16 system are possible so that you know what range you would
17 have to be considering in evaluating this strategy. And
18 another one is the minimum impact to say MGDS be damned, we
19 are going to design the MRS this way and MGDS you will have
20 to thermal loading strategy within that set of parameters.
21 And that is a third case. You are going to have to provide
22 information to decide which of these there is the case. And
23 that is the focus of the early phases of the thermal loading
24 strategy to decide early what kind of decision to make for
25 the MRS.

1 And, early on you needed some information to set up
2 those cases and also to do a preliminary screening. You
3 might find out that it is not practical to even consider some
4 thermal loading strategies, as I said and that is the subject
5 of the Phase I study.

6 Well, what I would like to do here is just
7 introduce the next three speakers who will give aspects of
8 system studies that are currently ongoing and in some case
9 Bill Hollaway will be talking about some past ones which are
10 relevant to this and I will tell you the scope that they do
11 and the kind of information that is being provided that will
12 set you up and also tell you a little bit about what we think
13 is in store the next stage. And then after that
14 presentation, I would like to come back with one additional
15 slide and try to draw one more point out of all of this.

16 DR. PRICE: Excuse me. Let me simply ask about the
17 roadmap. What you have presented at this point is a concept
18 of a roadmap. Now you are going to--the next time we hear
19 from you going to present something more concrete about that
20 roadmap, is that what we should be expecting?

21 DR. RICKERTSEN: Yes. We will be prepared to make a
22 presentation in the early stage, I think I'm scheduled with a
23 meeting with PMR to talk about the roadmap and where we are
24 at with that. As I said, the development will be completed--
25 the milestone in September, and I would certainly expect, I

1 am not the decider on that, but I would expect at that time
2 we could provide a fairly comprehensive view of what that
3 roadmap is. I would expect.

4 MR. MCFARLAND: You made a couple of comments, very
5 interesting that you would develop a baseline configuration
6 and there would be alternative configurations that would be
7 developed also. You mentioned that this Phase I would be to
8 look at these alternative configurations, and at the
9 completion of Phase I, like to identify a preferred
10 configuration for which--although the first phase does not
11 address the ability to achieve the desired effects.

12 DR. RICKERTSEN: Thermal loading you are talking about?

13 MR. MCFARLAND: Yeah.

14 How will you make the decision for thermal loading
15 if you don't have the ability to achieve the desired results?

16 DR. RICKERTSEN: Well, here is what you need to do to do
17 thermal loading.

18 First of all, you have to go through this
19 evaluation to find out what your constraints are; what you
20 are allowed to do. And that is actually a fairly difficult
21 job, so you are going to have to speed through it in some
22 way. We have a notion of how to do that. We are able to get
23 at it, I think we have got good information with regard to
24 the constraints that the MRS and the transportation will put
25 on it. We don't know exactly yet how the MGDS will constrain

1 it. There are some notions that you could, for example
2 emplace the waste and then to get a higher density go back
3 and emplace it again. We are not sure you can do that or if
4 it is appropriate to do that. We don't know what the safety
5 aspects are, there are a number of questions in that regard
6 that still need to be answered. That is the first thing you
7 need to know.

8 The second thing you need to know is then to define
9 for yourself a set of scenarios if you like, that are true
10 thermal, alternative thermal loading strategies. In our
11 case, you will see in Peter's case that he will provide a set
12 of scenarios. We think they give you--they bound the
13 problem. They may not. We are not sure exactly what
14 temperature conditions, thermal conditions and mechanical
15 conditions and so you are going to get in the repository.

16 So, the next phase would then to be define real
17 scenarios. And the work that you will see Peter report on
18 helps you get a handle on that. There is another piece you
19 need to do with regard to the MGDS. Then once you have done
20 that, you need to get at what the impacts are. Those impacts
21 are do you get a thermal loading strategy that you want? Do
22 you dry it out for 10,000 years or can you put in the amount
23 of waste you want? Whatever it is.

24 Then you need to look at system impacts in detail.
25 You need to look at designing impacts on the casks and the

1 canisters on the repository design. You can see how this
2 question goes on and on.

3 You want to know about cost? And there are a
4 number of associated costs. Those things go on down the
5 line. You can't get at all those without--well I don't know
6 how much information you can at all those. To do the full
7 scale modeling that you need to determine what the--when you
8 get the thermal loading strategy, I am not sure you can do
9 that within the next five years, because you have to take
10 into account boiling, evaporation, so on and so forth.

11 MR. MCFARLAND: If it is determined or that you come to
12 position that says that testing is needed in order to make a
13 definitive selection, will there still be an effort to make a
14 decision prior to that testing?

15 DR. RICKERTSEN: What we will evaluate is, whether it is
16 worth making--whether you really need to get all the test
17 data. Whether you should get the test data. Whether the
18 benefit is so high out of a particular strategy that it would
19 really pay you to get the data, then at the same time you
20 need to look at how long it would take you to get the data
21 that you need. It may not come by 1996 or 1997 and then you
22 have to evaluate just how much this particular strategy worth
23 it for you. And that is a very important question.

24 In the 2001 exercise there are a number of efforts
25 to look at that very question. To look at what information

1 you get early out of the ESF and what information you can get
2 later and whether you can get the information some other way.
3 That hasn't--we haven't come to those conclusions yet,
4 however, that should be done in the early phase of the
5 thermal loading strategy. It hasn't been done yet.

6 We hope that--well, I don't know. If I had to
7 guess what the answer is, having worked on the thermal
8 loading problem in 1976 and 1979 and 1981, when the decisions
9 were made there, the basic conclusion is that there are some
10 intuitive feelings that you get. Of course, none of those
11 really looked at the unsaturated zone, so there is some new
12 impacts. But there are some intuitive feelings that you get
13 about the value of a thermal loading strategy. One of the
14 conclusions you can find is that it is hard to get a hot
15 repository. And maybe going for a hot thermal loading
16 strategy, may be a lot harder than you think. You may be
17 impacting the system, I may be giving the answer ahead of the
18 time, I don't know what the answer is, but that is what my
19 intuition says, that you will really be impacting the system
20 in a very significant way to get a hot repository. I think
21 we all know that.

22 DR. CANTLON: Thank you.

23 DR. PRICE: Could I ask another question?

24 DR. CANTLON: Go ahead.

25 DR. PRICE: You indicated that the thermal loading

1 impacts on the MRS had a priority because of the date in
2 which the MRS considerations had to come by. Is it not
3 relatively true that there are certain dates that are
4 milestones in this program and which from your viewpoint are
5 pristine. That is you can't contaminate these dates. Those
6 dates are there. And these dates then force you in a systems
7 engineering context into having to make, adjust your systems
8 engineering program and having to make decisions also with
9 respect to those dates that if you didn't have these dates
10 dominating the scene, you would probably go about it
11 differently?

12 DR. RICKERTSEN: The answer is yes. That particular one
13 is driven by 1998, pure and simple.

14 DR. LUCE: In evaluating in a systems manner, the
15 thermal loading, I didn't hear you mention, but I guess you
16 are aware of the possibilities of increased uncertainty with
17 the high thermal loading as far as permeability changes,
18 chemical changes because you are dealing with a sort of a
19 never-never or a very unresearched field by and large where
20 you have both high and low temperatures and you are in a
21 situation where kinetics are not known with as much certainty
22 as lower temperatures or much higher temperatures.

23 Is this sort of thing, is this going to be factored
24 in, the uncertainty that might come from a high thermal
25 loading and also the perception that the public might have on

1 something that is not as certain as one would like?

2 DR. RICKERTSEN: The answer to the first question is
3 that it is one of the most important things that you have to
4 consider. If what you are trying to do is to reduce the
5 uncertainty and get through licensing or risk uncertainty in
6 the program that occurs because of the flow system, what new
7 uncertainties are introduced by a high thermal loading, and
8 do you gain something by going to a low thermal loading.
9 That is a very important consideration.

10 We have in, and you will see in Peter's slides, a
11 statement that says that one of thing is public
12 considerations. I don't know quite how you do that. I have
13 looked at it, you know bring in decision analysts may be the
14 answer. I don't know how you take care of that one. It is
15 there. I don't know how you would address it. I don't know,
16 some people are going to have lack of confidence no matter
17 what we do. So, I don't know quite how you assess that.

18 DR. LUCE: We learned a little bit, I think, over in
19 Finland and Switzerland as well as Sweden and they would like
20 to present their information so that the average person could
21 understand it without resorting to understanding stochastic
22 processes.

23 DR. RICKERTSEN: There is part of our effort to develop
24 a long term strategy and bring about additional confidence in
25 using the Department of Energy and the way we present things.

1 Just what do you do? What are we doing wrong that we don't
2 have the confidence? And one of the things is the robust
3 waste package to my mind, is one way to get at that. That
4 intuitively you are going to have a better system if you have
5 a robust waste package. And maybe intuitively you will have
6 a worse system if you have a high temperature regime. We
7 need to get at that.

8 DR. PRICE: Is the existence of the MRS which is kind of
9 a foundation of what some of these things are in the next
10 presentations as a matter of fact. The existence of an MRS
11 is that one of these things where a decision has sort of have
12 been made and you feel that that is a given now that you work
13 with? Or, do you feel that the systems engineering
14 background and studies to support an MRS versus no MRS have
15 indeed been made?

16 DR. RICKERTSEN: The two drivers in our development so
17 far, as I said we are only part way through that development,
18 the two drivers are the 1998 date and something like a 2010
19 date for putting waste in the repository are both drivers.
20 Of course, one is not cast in stone type of driver. Like
21 1998 is one that is not cast in stone, but there are
22 contracts out there and a regulation that says 1998. So, we
23 will have to deal with that if that is not the case.

24 So, one of the alternatives that could be introduced is
25 a different date, or no date for the MRS, or no MRS.

1 One of the recommendations made in our reference
2 system description is to consider the alternative of no MRS.
3 So far the development hasn't included that, but that is one
4 of the alternatives that would need to be entertained.

5 DR. PRICE: So your answer is, at this point it is a
6 given, but the necessary system engineering studies have not
7 been made.

8 DR. RICKERTSEN: That is correct. So far.

9 DR. BARTLETT: Mr. Chairman?

10 MR. CANTLON: Yes, John. Dr. Bartlett.

11 DR. BARTLETT: I wonder if I might make some comments
12 from the director's perspective on some of these issues and
13 talk broadly about how and when the circumstances and
14 decisions compel the studies and the studies and the inverse
15 of when the studies might compel the decisions.

16 First of all, I would observe that for the
17 technologies that we know of right now, and the alternative
18 constructs for implementing this system, there are in fact
19 over 2500 ways the system might be implemented. So, first of
20 all there has to be some sort of scoping thing that brings us
21 down to reasonableness. And that is one of the purposes of
22 system studies to bound it into reason.

23 And then there are some other issues that do
24 constrain the studies and also give focus to progress in the
25 program. For example, what Dr. Price was just addressing,

1 because the schedules for under contract to begin receipt of
2 spent fuel call for doing that in 1998 and because we know
3 that we can't begin disposal until 2010, in essence there has
4 to be an MRS and that kind of function makes sense for the
5 program as it stands.

6 Now you get into questions like have been raised of
7 "what is the throughput?" Well you can do a sort of a
8 generic or sterile system study, but the fact is the reactors
9 in the United States discharge about 2200 metric tons per
10 year. In order to eventually move the stuff at decent rate
11 and empty the pools, the throughput rate simply has to be
12 something on the order of 2500 or 3000 metric tons per year
13 at steady state. Then you get into the questions of what
14 ramp rates to achieve that and then all of the design issues
15 to achieve that rate throughout the system. You also have
16 the currently legislative constraint of a capacity limit of
17 the MRS of 10,000 metric tons. That could be adjusted if it
18 is acceptable to the host.

19 So, there are these factors that constrain it. One
20 more other illustration I might mention is that some time ago
21 there was a what we call a limited scope thermal loading
22 study done, which indicated if you wanted to run a cold
23 repository you could not begin loading until 2080. That is
24 an unacceptable result. So, what that means is that question
25 is how hot of a repository do you run and what are the

1 factors that govern your decision concerning that? And you
2 have factors such as the cost of a robust package against a
3 less robust package and the defense in depth aspects of the
4 issues encountered during regulatory reviews governing some
5 of those decisions.

6 In general, one of the questions I ask is how much
7 independent decision making can the system tolerate or to put
8 it another way, how loosely coupled or tightly coupled can
9 the system be? And to give you an illustration of why that
10 is important is under the process that is being followed with
11 the MRS, the host can have a lot to say about the design
12 choice. That is independent decision making in effect. Can
13 the system tolerate that? In fact in my judgment it can at
14 this point. We have a range of design concepts from which
15 the host can choose, and then we can work in the throughput
16 rates and everything associated with that.

17 Similarly to give you an idea of the need for a
18 loosely coupled system, we have built an inventory of
19 specific data on every sub assembly at every reactor; 111
20 reactors; tens of thousands of sub assemblies, and let me
21 say, there ain't no two alike.

22 We cannot ask the reactor to go pick a specific sub
23 assembly to meet a heat tailored objective. The system has
24 to be flexible at the detail level. When the reactor owner
25 sits in the queue where he has opportunities to ship so many

1 metric tons, he is going to ship what he wants to ship; not
2 what we want him to ship. And we have to accept that as part
3 of the requirement of flexibility in the system.

4 So, fundamentally the system has to be tolerant of
5 flexibility which accommodates these kind of details. The
6 system level study should recognize that. They should also
7 recognize these compelling constraints which affect the scope
8 of the work to bring it down to something doable in a
9 publicly acceptable time frame.

10 DR. CANTLON: All right. Woody. Dr. Chu.

11 DR. CHU: I had a question which Dr. Bartlett almost
12 completely thoroughly addressed, but I still have a little
13 bit of a question left and that is, I mean I understand that
14 you are operating under constraints, both under past
15 legislative decisions as well as policy decisions that
16 haven't been made. You have contracts that you have signed
17 and therefore, you are operating under the constraint as to
18 how the world may operate. Nonetheless, we have a physical
19 world from which we can build these models, that is derive a
20 paradigm from which we can gain understanding and a physical
21 world is unconstrained by that and that is having these sites
22 generating waste on a continuing basis and accumulating waste
23 on a continuing basis, where now the decision is being made
24 as to whether or not, some day in the future, some of this
25 waste may or may not got to some centralized site to be

1 stored and the rest would have to go to a repository. And my
2 question was as to whether you thought there may be benefits
3 gained from looking at the system as a paradigm that is
4 derived from the physical world as opposed to the constrained
5 world. As to--from the--as to the insights that you may
6 gain. Because, the way that you may want to overcome these
7 constraints having an MRS, for example, may not come out the
8 way that you hope for. And so the unconstrained paradigm may
9 give you insights which you may not otherwise gain through
10 modeling of the desired state. That was my question.

11 It would have been different, had you not gone
12 through your discourse, John.

13 DR. BARTLETT: Let me try and answer it this way, Woody,
14 I think there is quite a difference between what you would
15 think is the paradigm optimum system and an acceptable
16 system. There may be a multiplicity of acceptable systems,
17 which are being defined by not so much what is technically
18 optimum but what is practical and accomplishable given the
19 circumstances that really shaped the system.

20 I think within that field of 2500, there is a
21 multiplicity of acceptable answers. There might be one that
22 is technically or whatever optimum, but you don't necessarily
23 have to achieve that one. What you have to do broadly for
24 our program purposes is achieve the mission on behalf of
25 society that has been set by Congress. And I think that

1 gives us and requires us the opportunity to deal with the
2 flexibility that is within that.

3 DR. CANTLON: Well, let's go to Mr. Bailey before the
4 break.

5 MR. BAILEY: Last September I briefed a Nuclear Waste
6 Technical Review Board on our plans for system studies.
7 Today, as Larry has indicated we will discuss the status of
8 these studies.

9 The Throughput Study is one of the major studies
10 that is currently underway. It was started almost exactly a
11 year ago and is scheduled for completion at the end of this
12 fiscal year. We expect that there will be future updates and
13 we will probably, we'll assuredly be using the throughput
14 methodology to support other studies in the future.

15 The primary objective and purpose of this study is
16 to establish the preferred rate in which to move spent
17 nuclear fuel and high level waste through the CRWMS. As you
18 know for quite some time a 3000 MTU per year in received rate
19 for both the MRS and the repository has been used as a
20 reference. But there is no clearly documented rationale for
21 that. Evidently it originated based on logistics
22 calculations some time ago when the ground rules were
23 different from what they are today.

24 Also there was a study conducted for DOE about a
25 year and a half ago which recommended consideration of much

1 higher throughputs. This study was based using life cycle
2 costs exclusively as a measure of effectiveness and it also
3 assumed no inventory constraints on the MRS. So, we will
4 also update these previous throughput rate studies by
5 incorporating current updated cost and other data. And we
6 will also evaluate non-cost measures of effectiveness as well
7 as cost.

8 Now, I might mention that I think one of our
9 accomplishments to date is that we have significantly
10 improved the methodology that has been used before for
11 evaluation of CRWMS scenarios which allows us to evaluate
12 them much faster. This was accomplished by recosting one of
13 our primary models on a much faster computer and by
14 automating the interfaces between our waste stream analysis
15 model and our cost model.

16 Specifically, also we are developing data to
17 establish the throughput rate designed bases for each of the
18 CRWMS system elements and to provide sensitivities and trade
19 offs to guide design decisions and performance criteria for
20 inclusion in specifications. And we will also determine
21 sensitivities, identify constraints and cost drivers.

22 This chart shows the assumptions and guidelines for
23 our study. We first determined the preferred throughput rate
24 for a reference case. And then we considered impacts of
25 variations on this reference case on the determination of

1 this preferred throughput. Now let me point out at the start
2 that our reference state is the starting point for our
3 analysis. It is not necessarily at this point in time
4 intended to be a baseline, any sort of program baseline. And
5 also the variations to the reference case assumptions that we
6 use are not intended to be thought of as a program
7 alternative strategies. Rather they are--the impacts or
8 changes that might occur and contingencies.

9 Scanning down the list, for example, at this point
10 in time we are now looking at the western generic MRS
11 location. Initially we were considering only the eastern
12 generic location. We are assuming that the repository has
13 its NWPAA limit of 70,000 tons inventory of which we assume
14 63,000 tons is allocated to spend nuclear fuel.

15 And looking at the last bullet on the chart, at-
16 reactor post shut down storage costs turn out to be a major
17 cost driver. These costs are on the order of \$3 million to
18 \$4 million per year per a shut down reactor.

19 Now these costs are not part of the CRWMS at least
20 until such time as DOE takes title of the fuel. But they are
21 related costs that are borne by the utilities, so we present
22 the data both ways. We show the data including these costs
23 which we call total systems costs and without the costs which
24 we call CRWMS cost.

25 DR. PRICE: What does oldest fuel first or acceptance

1 rights and selection means since in fact the utility can
2 deliver any fuel to you when they are in the queue?

3 MR. BAILEY: Okay.

4 The allocation rights are determined by oldest fuel
5 first. The utilities do not necessarily have to give us
6 oldest fuel first, but we go to them in that order. If they
7 choose to give us fuel other than the oldest fuel first,
8 there will be some sort of negotiation between DOE and the
9 utilities as to exactly what that should be. At this point
10 in time we don't know exactly what their intentions are, and
11 we are looking at alternatives there.

12 DR. PRICE: You say there will be negotiation--I thought
13 that the utility had the privilege of delivering to you when
14 they came in the oldest fuel first to the top of the queue
15 that they delivered to you what they wanted they wanted to
16 get rid of.

17 MR. BAILEY: My understanding is there is a provision
18 for DOE to negotiate this, although that is the initial
19 interpretation that they do not have to provide the oldest
20 fuel first. I think there is latitude though for DOE to
21 negotiate.

22 DR. PRICE: On your slide for acceptance rights makes it
23 sound as if DOE has the acceptance rights based on oldest
24 fuel first. And that isn't right.

25 MR. BAILEY: That's correct. That is correct. We meant

1 the acceptance rights for the utilities. That is what this
2 line was intended to convey.

3 Our methodology begins with the generation of
4 realistic loading scenarios for spent nuclear fuel and high
5 level waste for the reference case and alternative variations
6 to it. We use the characteristics data base to provide
7 projections of spent fuel discharges. We use a model called
8 a waste stream analysis program to characterize the nuclear
9 waste streams and to sequence fuel shipments according to
10 allocation rights and it can support various acceptance
11 strategies.

12 We also use a series of interface programs to
13 aggregate the data by year, to compute cask purchase
14 requirements and to add the high level waste stream. This
15 also reformulates the WSA output into a form that can be
16 input to our cost model which is the System Engineering Cost
17 Analysis Model, SECAM developed by Pacific Northwest
18 Laboratories. Now, as Art Greenberg mentioned yesterday, the
19 M&O is developing a total system model which will when
20 completed and operational will provide still more
21 efficiencies and more flexibility in particular to when we
22 make changes and modifications.

23 And the final step is to use these models to
24 evaluate measures of effectiveness. We do consider, as I
25 said life cycle cost and other measures of effectiveness

1 which I will show on the next chart.

2 These are the non-cost MOEs that we have
3 considered. Several of them may be thought of as surrogates
4 for risk or public concerns such as waste handlings. Some of
5 them really only come into play when we make changes such as
6 having a western strategy or not having a western strategy or
7 if we alter cask capacities, or if we have MESCs or not have
8 MESCs.

9 Now this chart shows our principal results to date.
10 For our reference case we have determined the preferred
11 range of system throughput rates and it turns out to be a
12 range and not a single value as I will show on the next
13 charts. And that range is 3,000 - 5,000 MTU per year.

14 We identified the corresponding MRS operational
15 concept which is consistent with the MRS CDR reference design
16 concept which uses dry vertical concrete storage casks as the
17 storage technology.

18 We have provided MRS inspected receipt rates and
19 shipping rates for spent nuclear fuel as well as spent
20 nuclear fuel and high level waste receipt rates for the MGDS.
21 And we are continuing to analyze impacts of selected
22 variations. We are also continuing to develop cask
23 requirements data to support the Phase I transportation cost
24 procurement that Ray Godman talked about yesterday.

25 This chart provides a schematic of our reference

1 scenario. The bars refer to rates and are measured on the
2 scale to the left. The lines are inventories and are
3 measured on the scale to the right. So, for example, notice
4 that for the MRS, we initially ramp up to 900 MTU a year.
5 Then in 2010 when the repository starts to accept fuel and at
6 which the MRS inventory has reached its capacity of 10,000
7 MTU which is the most it can have, according to the NWPAA
8 until the repository starts accepting fuel. At that time, we
9 then ramp up to 3,000 MTU per year.

10 Now, after the MRS inventory reaches its statutory
11 maximum of 15,000, we continue to ship spent fuel to the MRS
12 but we switch to a pass through, flow through mode of
13 operation. And I will describe that on the next chart.

14 Notice also the line which represents the spent
15 nuclear fuel inventory at the reactors. In 1998, that
16 inventory will be almost 30,000 MTU. Notice that during the
17 900 MTU per year range, we still do not accept fuel as fast
18 as it is being discharged. But then once we switch to our
19 steady state 3,000 MTU per year we are bringing the inventory
20 in the reactors down. It never gets to zero, and that is
21 because as I mentioned before under assumptions, we have a
22 70,000 ton limit on the inventory of the repository of which
23 63,000 is allocated to spent nuclear fuel and the EIA
24 projection with no new orders and no lifetime extensions
25 beyond 40 years, is for 86,000 tons. So that leaves 23,000

1 tons unaccounted for and presumably we would either have to
2 have a second repository or have to lift the limit on the
3 first repository to eventually accommodate that fuel.

4 And by the way, I might mention that when we talk
5 about a throughput rate in this case 3,000 MTU per year, we
6 are referring to the steady state operation. And that is for
7 convenience, we define that as being the rate at which fuel
8 is received at the repository. In this particular case that
9 is also the same as the rate at which fuel is taken from the
10 reactors.

11 Now this chart may be out of order in your books,
12 but it is there (p. 10). And this shows the same information
13 focusing on operations at the MRS. And notice that again
14 that when we are in steady state operation, we go to pass
15 through and flow through. And what I mean by that is in pass
16 through, if a truck comes into the MRS carrying spent nuclear
17 fuel, the fuel is off loaded and then loaded onto a rail cask
18 for a transfer to the repository. If a rail cask comes in,
19 then that rail cask is loaded directly onto a dedicated train
20 and we call that flow through. A dedicated train for a
21 shipment to the repository. So, no fuel in the case of flow
22 through, there are not waste handlings at all at the MRS, and
23 in neither case is any fuel stored at the MRS. It is either
24 passed through or flowed through.

25 Now, the reason why we continue to ship fuel to the

1 MRS in the pass through and flow through mode is in order to
2 consolidate shipments at the MRS, and reduce total shipment
3 miles for the CRWMS. Now, obviously, this particular
4 advantage of the MRS diminishes the closer the MRS is located
5 to the repository. And in fact if they turned out for
6 example to be in adjacent states, we would probably dispense
7 with a concept of pass through and flow through and ship
8 directly to the repository.

9 I might also mention that this particular concept,
10 which is consistent with the dry vertical storage, concrete
11 cask storage technology, doesn't especially well support
12 selective withdrawal from the MRS according to age and burn
13 up which might be used to support a thermal loading strategy
14 as we talked about before. And we will say more about that
15 in Peter's talk on thermal loading strategy. If we wanted to
16 have an MRS oriented that way, there are other alternatives
17 which would be considered.

18 This chart (p. 7) shows the annual costs for our
19 reference case, in this case using the western strategy.
20 Notice the costs are broken out according to the operating
21 element of the CRWMS. The lowest set of costs there are the
22 MRS costs and the next layer is transportation and then the
23 repository surface facility and then the repository
24 underground and then lastly on top are the waste generator
25 costs which are almost entirely the post shut down storage

1 costs at the reactors.

2 Notice the spikes in the MRS and the repository
3 surface facility costs early on are the facility construction
4 costs. These data by the way are based on the Parsons Sandia
5 data which are incorporated into SECAM. We are currently in
6 the process of updating the data for the MRS based on costs
7 which are currently being generated by our MRS design team.

8 Notice also the relative magnitude of the waste
9 generator costs, those that are in green. And by the way,
10 they are cut off at the year 2041 just to have a constant
11 basis of comparison between each of our throughputs that we
12 looked at. 2041 happens to be the last year of emplacement
13 for slowest throughput rate that we looked at, which is 2,000
14 MTU per year.

15 But, you can see from the size of these costs, why
16 the utilities would have an interest in high throughput rates
17 that would move the fuel away from the reactors quickly.
18 But, from our point of view we have to look at it from the
19 total costs which includes the cost of building the
20 facilities at the MRS and the repository.

21 Now this chart shows the total system costs as a
22 function of the throughput rate at which we take the fuel.
23 And this does include the post shut down storage cost, the
24 waste generator costs that I referred to.

25 So, notice that with the exception of the 2,000

1 case, which is clearly higher, the curve is fairly flat,
2 almost all the way out to 6,000.

3 The range that we selected was 3,000 to 5,000 and
4 the reasons for not including 6,000 had to do more with
5 logistical considerations than cost considerations. It turns
6 out at the 6,000 MTU level there are years in which later in
7 the program in which we simply would not be able to take
8 6,000 because it wouldn't be available. And also earlier in
9 the program when it is available there are some difficulties
10 of actually taking the fuel at that faster rate and those are
11 being explored in more detail at this point in time.

12 I might also mention that these costs do not
13 include discounting of future costs. If we do include
14 discounting, which we have looked at, it tends to favor the
15 lower throughputs, because the lower throughputs push the
16 cost further out into the future.

17 This chart shows the reason for the relative
18 flatness of the cost versus throughput trend. Notice as we
19 increase throughput capital costs increase, and this is
20 because we are having to build larger facilities. On the
21 other hand operating costs decrease with increase in
22 throughput because we operate for fewer years of operation.
23 So, the net effect is they tend to balance out which causes
24 the flatness in the curve that was shown on the previous
25 chart.

1 Now in addition to evaluating the throughput
2 scenarios per se, we used the throughput methodology to
3 investigate special cases and to support the other studies we
4 are doing. I am including two graphs here to show examples
5 of special case analyses. In this case we were looking at
6 the optimization of the size of the trains to carry the fuel
7 from the MRS to the repository. And it clearly has an
8 optimum somewhere around ten to twelve cars per train case.

9 This is another special case that we looked at and
10 this is the variation of the oldest fuel first acceptance at
11 this time. What this does is give priority to shut down
12 reactors. It says we would go to the reactors first that are
13 shut down. And the two bars to the far right are the totals
14 of the others. Notice that there is a savings in total
15 system costs if we operate in this mode, and it is entirely
16 due to the reduction in costs in costs incurred at the
17 reactor. But notice also in the reactor costs that dry
18 storage costs actually increase. That is the white bars
19 there at the top of those.

20 And this is because by not following the oldest
21 fuel first allocation, some of the very oldest reactors would
22 lose their position in the queue and have to use more dry
23 storage instead.

24 This chart summarizes most of the activities that
25 we are working on now and will be completing between now and

1 the end of the fiscal year. I also want to emphasize that
2 besides the things that are done specifically for the
3 throughput study, that we are using the throughput
4 methodology to support each of the other studies that you
5 will hear about in a few minutes, and we will continue to do
6 that.

7 The first bullet that refers to analyses ongoing
8 regarding the transportation cask, I mentioned the work that
9 we are doing now in determining number of casks required for
10 the Phase I procurement. We are doing similar analyses for
11 Initiative I, and also we are looking at some of the
12 logistical issues associated with high throughputs that I
13 referred to before.

14 We are looking at alternative acceptance
15 strategies. I just showed one. We are also looking at
16 youngest fuel first and other strategies that we anticipate
17 or changes that we anticipate that the utilities might
18 request.

19 We are analyzing alternatives MRS operation
20 concepts. We are also looking at if we did have lift or
21 removal of the constraint on MRS inventory, then what would
22 be the optimum MRS inventory? So, we are looking into that.

23 In our nominal case there are no new reactors, but
24 it is assumed that all existing reactors have their lifetimes
25 extended to 40 years if they are not already 40 years.

1 So in this next bullet we look at extending a
2 certain number of these reactor lifetimes to 60 years and in
3 the no extension case, none of the reactors have their
4 lifetimes extended at all.

5 We are looking at the affects of delays in the
6 start in the MGDS as well as the MRS. As I mentioned before
7 we are including updated cost data for the MRS in other parts
8 of the system as it becomes available. We are also looking
9 at some methodological changes and impacts such as the
10 sensitivity of our cost data to uncertainties in those
11 numbers and the incorporation of D&E costs.

12 That is all my slides. I'll be happy to answer
13 questions.

14 DR. CANTLON: Questions?

15 Before we take questions, let me just announce that
16 there are copies of Carl Gertz's overhead on the back table
17 for anybody who would like copies.

18 Questions from the Board?

19 MR. BAILEY: Thank you.

20 The next speaker will be Bill Hollaway who will
21 talk about some work that we have done on looking at using--

22 MR. SHAW: I'm Bob Shaw.

23 I had two questions. One, you have the non-cost
24 measures of effectiveness and yet everything you talk about
25 in terms of costs, have you done any indications of those

1 other measures of effectiveness?

2 MR. BAILEY: Yes. We have. And in our next talk when
3 we talk about minimization of waste handlings, we will show
4 how waste handlings do change with changes in operating
5 procedures and with technology changes. It turns out that
6 when we just looked at throughput for the most part, those
7 other non-cost MOEs did not have a significant effect. They
8 come into play most importantly when we change procedures or
9 when we change technologies. Not so much when we change
10 throughput.

11 MR. SHAW: Your answer leads me into another question I
12 had also. That is that it seems to me that one of the
13 principal effects of the number of handlings that you have is
14 the actual personal dose that is acquired.

15 MR. BAILEY: I'm sorry, I didn't hear the number--

16 MR. SHAW: As a result of the waste handlings, I would
17 think that the measure of effectiveness might be more
18 accurately the amount of dose that people receive. And as a
19 matter of fact to a certain extent, shipment miles and cask
20 miles can also be related to that. Do you have any plans to
21 use dose as one of your non-cost measures of effectiveness?

22 MR. BAILEY: We will talk about in our next talk about
23 taking--just going the next step. At this point we just
24 haven't had time to do that. We have used waste handling as
25 a surrogate for risk, and dosage considerations.

1 MR. SHAW: I think that would really be an important
2 conditional factor.

3 MR. BAILEY: We agree.

4 MR. SHAW: I had one other question, too.

5 MR. BAILEY: Sure.

6 MR. SHAW: In recent months the magical figure of \$6.3
7 billion has been bandied around a lot with regard to the
8 total system costs. And yet yours here on the order of \$18
9 billion, and I wonder if you can tell me--

10 MR. BAILEY: No, I think that \$6.3 billion you heard was
11 referred to site characterization costs at the repository,
12 not the total system. And in fact, this \$18 billion is not--
13 does not include D&E costs which are significant in
14 themselves. We are looking at the cost of the MRS, the
15 transportation system, the surface facility of the repository
16 and the underground facility.

17 MR. GERTZ: I think that is a very important point for
18 clarification. Site characterization costs and development
19 are not in the total system cost that he has presented.

20 MR. BAILEY: That is correct.

21 MR. GERTZ: \$6.3 billion is our current cost including
22 the -- cost since 1982 for studying the site and applying for
23 a license application.

24 MR. DUFFY: I have a question, Mike Duffy from Battelle.
25 Is "first in, first out" a policy that could be applied to

1 the MRS so that all of the fuel had to basically go through
2 all of the processing steps?

3 MR. BAILEY: Yes, as an alternative. It is not the one
4 that we have used in our reference case. We have assumed,
5 and whether or not we wanted to use "first in, first out," or
6 any other withdrawal strategy would really depend on what we
7 are going to do at the repository and the order in which we
8 want to bring fuel in in order to meet a thermal loading
9 goal.

10 MR. DUFFY: Now, if you had to implement a "first in,
11 first out" policy, I suspect you are going to have an MRS at
12 least with the hot cell part of it double, probably twice the
13 size of what you currently have which is going to add quite a
14 bit to the MRS cost that you estimated there. How might that
15 change some of the conclusions? Have you looked at that?

16 MR. BAILEY: Well, I don't think I would want to guess
17 at it.

18 MR. DUFFY: Well, I guess the point is, in the purpose
19 you said that the throughput was basically the throughput
20 through the entire CRW on that system. And in reality you
21 are not pushing all of the 3,000 metric tons of fuel through
22 the entire MRS. Wouldn't you go to this--

23 MR. BAILEY: That is correct. And that is why I was
24 careful to define throughput as being a steady state
25 throughput I received at the repository. And in this

1 particular case, our reference case, it is also the rate at
2 which we take it from the reactors. But that is not
3 necessarily also the case. We could be taking less than
4 3,000 from the reactors and then also withdrawing some
5 portion from the MRS and then using that as a total of 3,000
6 which goes to the repository. So, there are a number of
7 combinations like that that we could use and we are looking
8 at several variations of that type.

9 DR. CANTLON: Other questions?

10 MR. GERTZ: Could I just clarify one thing now that we
11 have the handout.

12 I just wanted to clarify one thing since there is
13 now a handout. To put things in perspective the reason that
14 we are doing the 2001 mission study, is that in our baseline
15 we did not get that number for 1992. So, as a result we have
16 to determine the funding profile. Less money this year; more
17 money the next year. And you still get the scope worked on
18 and in addition to that we brought the M&O on board to -- to
19 one, look it all over and make sure it meets their needs.
20 So, that is why we reached the Mission 2001, recognizing that
21 this is being restructured. But it has been independently
22 estimated in a new funding profile and -- that was about
23 three months after.

24 DR. CANTLON: Thank you.

25 Okay. We are going to take a 15 minute break.

1 (Whereupon, a recess was had off the record.)

2 DR. CANTLON: All right. The Board is reconvened.

3 Let's proceed with the presentations.

4 Mr. Hollaway.

5 DR. HOLLAWAY: My name is Bill Hollaway. I am with the
6 M&O in Systems Analysis. I am going to talk to you and
7 present a few of the initiatives we have going on. A few of
8 the different system studies that we are doing related to
9 alternative cask and canister concepts.

10 In other words, right now we are looking at
11 transport only, storage only, emplacement only. But our
12 study, we are looking at alternatives to that, things that
13 would integrate, storage, transportation and/or emplacement.

14 The approach that we are taking is a broad one to
15 look at everything. Perform system studies on all the
16 alternative cask and canister concepts including universal
17 casks that would be used for storage, transportation, and
18 eventually emplacement. Dual purpose casks that would be
19 used for storage and transportation at which time they would
20 be taken out and put into a disposal container. Universal
21 canisters which would be used for storage, transportation and
22 then emplacement, difference between universal casks and
23 universal canisters being that the canister is not shielded.
24 So, it is always inside some other type of overpack for
25 shielding. Overpack for storage and overpack for

1 transportation. But the canister is not shielded itself.

2 And MESCs, that is multiple element sealed
3 canisters. And what that is is a subset of universal
4 canisters. It is a specific application of the canister
5 concept for specific technologies. The MESCs technology has
6 been used with new home storage technology, with the
7 ventilated storage cask, storage technology. Basically any
8 technology where you have concrete acting as the shielding
9 material and you want to use natural convection air cooling
10 inside. You have to have a sealed canister inside. So that
11 is what the MESCs are made for.

12 System studies that are identified and underway.
13 Ones that have been done and ones that we are working on now.
14 The first one is an assessment of multiple element sealed
15 canisters for storage and transportation focused on the MRS.
16 This particular study was motivated by issues raised by
17 potential MRS hosts regarding this type of technology, and we
18 wanted to step back and say, okay, before we consider that,
19 what would it mean to the system and I will talk about that.
20 And that represents an assessment of a limited MESC
21 scenario, a specific MESC scenario and I'll talk about that.

22 That work has been completed and a report on that
23 was issued to DOE in May of this year. So it has just been
24 around for about a month and a half.

25 In the second one, work that is going on right now

1 is a broad cut. Cask and canister concept assessments
2 looking at all of them, stepping back, looking at all of
3 them, what are they? What do they mean? What order might we
4 want to look at them in more detail and how might we look at
5 them in more detail. And I'll talk a little bit about both
6 of these.

7 The first one since it is done, I'll give you a
8 little feel for the type of work we do, how we go about doing
9 the work we do. And the second one I'll touch on what we are
10 going to do, where we are going with that.

11 So the first one is this assessment of MESCs,
12 multiple element sealed canisters for transportation and
13 storage of spent fuel at the MRS. Background, as I said
14 MESCs, multiple element sealed canisters are sealed metal
15 canisters, not just canisters but hermetically sealed
16 canisters containing one or more spent fuel assemblies. This
17 issue was raised again by potential hosts, could we use this
18 at the MRS? Could we just have these at the MRS. So, we
19 wanted to do a system study to find out what impacts that
20 would have on the rest of the system. Not just the MRS, but
21 the rest of the system elements. Waste acceptance.
22 Transportation. The MRS itself. The MGDS. What does that
23 mean to the rest of the system?

24 Visualization of the MESC itself. One thing that I
25 want you to get out of this is that the MESC technology, it

1 is more than just a piece of steel wrapped around some
2 assemblies, actually an engineered structured. Sealed, load
3 bearing. This thing is pushed and pulled so it has got to be
4 an engineered structure capable of having those things done
5 to it. So it is fairly big, robust structure. It is made up
6 of square tubes that hold each one of the assemblies. Discs
7 that space these things out. You have tubes running in for
8 backfilling for taking water out of it. You have end shield
9 plugs here and that is used when they slide these things into
10 the storage technology, then they leave and go back and put a
11 cap on it. So, you have to have some shielding there. So
12 you have all these things that make it bigger than just the
13 assemblies. If we just took seven assemblies it would be
14 smaller than this. So that is one of the things we have to
15 look at.

16 It is actually an engineered structure, welded and
17 sealed. And the welding, it is not bolted, it is welded.
18 That is one of the issues that will come up as far as impacts
19 on the rest of the system.

20 DR. PRICE: This is put together at the utility, I take
21 it.

22 DR. HOLLAWAY: Well, basically it comes with the lid off
23 of it and the rest of it there. It is built before it gets
24 to the utility and then it is shipped to the utility.

25 DR. PRICE: But the assembly is--the spent fuel is put

1 in there at the utilities and sealed.

2 DR. HOLLAWAY: At the utilities in this scenario. It
3 could also be done at the MRS, but for this scenario we
4 looked at it being done at the utilities.

5 DR. PRICE: And sealed.

6 DR. HOLLAWAY: And sealed, and welded and backfilled and
7 sealed and verified.

8 DR. BREWER: Excuse me, could you give us rough ideas of
9 dimension and weight?

10 DR. HOLLAWAY: Now dimension--if an assembly is 180
11 inches here, these end caps, inside a cask you might have 180
12 inches to get the assemblies in, these end seal caps add
13 about a foot or maybe a foot and a half onto that. So that
14 is one thing to think about when you put this into a
15 transportation cask, you have got an extra foot and a half
16 that you have to get in there and that costs you something
17 weight wise.

18 No shielding here. Shielding on the ends, but
19 outside here is just stainless steel wrapper, so there is no
20 shielding there. So weight wise, this thing could weigh ten
21 to 20 tons, big robust. That is without the fuel in it, but
22 not as big as a storage cask. We are not talking about 70
23 tons or whatever, but still big.

24 DR. BREWER: All right. The thing is what, 15 or 16
25 feet long. What is the diameter and roughly how much does it

1 weigh empty and full?

2 DR. HOLLAWAY: Empty let's say approximately 20 tons.
3 Now it depends how many assemblies are in it. Seven
4 assemblies, about half for an assembly, it is about 3.5 so
5 you maybe have 4 tons of fuel, maybe 20 tons of canister. It
6 is about 25 tons for this. Now this one holds 7 PWR
7 assemblies. Some of the ones used specifically at the Oconee
8 site holds 24 assemblies. So you are looking at a much
9 bigger, actually 70 tons for that.

10 The difference between this and a storage or
11 transportation cask is the shielding on outside of it. That
12 is the extra weight.

13 DR. BREWER: How long and what diameter?

14 DR. HOLLAWAY: 180 inches which is 15 feet, add a foot
15 to a foot and a half and you are looking at 16.5 to 17 feet
16 long. Diameter you are looking at something on the order of
17 about two feet for this up to about five or six feet for the
18 big ones.

19 DR. BREWER: So the gross weight of this thing fully
20 loaded could be as much as 80 tons?

21 DR. HOLLAWAY: Yes, sir.

22 DR. BREWER: Thank you.

23 DR. HOLLAWAY: Motivation of this particular study was
24 that a MESC system where these were loaded at the reactors
25 and then shipped sealed to the MRS could avoid the routine

1 handling of individual and canister and spent fuel at the
2 MRS. That is the motivation for this.

3 So the system that we are evaluating here was one
4 where the MESC's were loaded and sealed at the reactors before
5 going to the MRS. Only sealed MESC's would be accepted at the
6 MRS and they would not be opened at the MRS. So, we wanted
7 to perform a system study, whole system, all system elements
8 to look at what that would mean.

9 Now status, this work is completed and this report
10 has been issued. As I said, this was a limited assessment.
11 Other ways of looking at this, we are looking at that in the
12 cask and canister concepts assessment I'll talk about after
13 this.

14 Methodology to give you a feel of the way we go
15 about doing these things, first and almost foremost is to
16 identify and lay out what the ground rules are so that if you
17 see the results you understand what it is you are looking at
18 and where it came from.

19 The second one is to define what the scenarios
20 would look like. How would this actually look like from a
21 system perspective.

22 Third, this gets back to your question, one of the
23 pieces we were missing was if we wanted to look at a small
24 MESC or large MESC, how big is big, how small is small, how
25 much does it weigh and how big is it. So, we did a lot of

1 work, because that was one of the missing pieces of input we
2 needed.

3 Identify and evaluate measures of effectiveness.
4 This came up. Things other than costs. What else is there?
5 Handlings, radiation exposure, et cetera.

6 DR. PRICE: Safety.

7 DR. HOLLAWAY: Safety. Okay. We are using surrogates
8 for safety right now. Things like handling, things like
9 shipment miles. Those things. Measures of effectiveness.

10 Next, to go through and look at what the impacts
11 are on each and every one of the system elements all the way
12 from beginning. Waste acceptance and the waste generators,
13 looking at the reactors themselves, transportation, MRS,
14 MGDS, whole picture.

15 And last after we have looked at that and said,
16 okay here are the impacts, we want to step back and say, is
17 there anything that might impeded implementing this system?
18 Any of what we have called critical issues, you can really
19 think of it as potential obstacles to implementing this
20 system. What is out there.

21 We'll run through the ground rules. First was to
22 use existing MESC technology. We did not attempt to redesign
23 the MESC technology. We used what was there. Scaled it up
24 and down as we needed it. The MESC would be loaded and
25 sealed at the reactor sites. And this would come in later as

1 one of the major impacts.

2 System must be able to accommodate all the sites.
3 We did not want to build a system where we could only take
4 some of the sites and tell the rest, sorry we will have to
5 get to you later. We wanted to make that one of our ground
6 rules. Every site has got to be able to be in this.

7 Only MESCS are accepted and stored at the MRS.
8 MESCs are not opened at the MRS. So, no routine handling.
9 But, I will point out that one of our ground rules was and
10 this will get in later when we talk about costs and other
11 impacts you still need a recovery cell. You still need some
12 way if one of these things turned out to be leaking, some way
13 that you could demonstrate an ability to recover. It
14 wouldn't be in routine use, but you would the ability to
15 recover. Mandated probably by the NRC and more likely by the
16 host site itself, so you could say if anything happened, we
17 can take care of it.

18 DR. CANTLON: This is some sort of a sleeve that it fits
19 into if it were leaking? Or overpack or something?

20 DR. HOLLAWAY: No, the recovery cell which you would
21 actually take the leaking canister in open it up, put it in
22 another--

23 DR. CANTLON: So a hot cell.

24 DR. HOLLAWAY: Basically, yeah. The reason we didn't
25 use the hot cell or transfer cell terminology is that it is

1 not something routinely used. It is something you would set
2 up and hopefully never have to use. But you would have it
3 there in case you needed to defend some depth.

4 Waste generators who are required to load and seal
5 these would have the option once the repository is opened to
6 ship directly and avoid continuing these sealing operations.
7 For the purposes of this analysis, we only looked at putting
8 the first 10,000 MTU which is a fuel up until 2010 in our
9 scenario when the repository opens. Only that fuel went to
10 the MRS in these canisters. After that it was shipped
11 direct.

12 Now that is an assumption that does really change
13 the conclusions of this work and it is something that we will
14 look at sensitivity wise later. And at the repository what
15 happens with these, is you can either integrate it into the
16 engineered barrier system, that is one possibility, or if you
17 can't do that, if it is not the right size and it is not the
18 right mix of fuel, cut it open and unload it. We looked at
19 both because it is too early for us to make a call on what
20 would happen with that. So, we looked at both alternatives.

21 DR. PRICE: If you added as low as reasonably attainable
22 as one of your ground rules you could call it a mescalero.

23 DR. HOLLAWAY: We tried to steer clear of the humor
24 here.

25 Scenarios that we looked at, the first one we

1 looked at was there are a few designs out there that are in
2 use today, 7-PWR that is in use at the Robinson site and the
3 newer 24-PWR MESC design that is in use at Oconee. Now these
4 are designed and licensed for storage, not for
5 transportation. That is another issue I'll talk about.

6 But these things are out there. Designs exist.
7 NRC has seen them. Could we do it with that? The problem is
8 that 7-PWR goes in a 70 ton rail cask. Actually it was
9 designed around the IF-300, 70 ton rail cask. 24-PWR MESC
10 would go in a 125 ton rail cask. Now those violated one of
11 our ground rules of being able to pick up from all the
12 reactor sites. So what we did was look at a version of that
13 with saying let's have small and large.

14 Okay, small, 25 tons loaded in the cask or less so
15 we could pick up from all the sites but also large where it
16 could be used to get some advantages from being able to ship
17 more in each one, less operations, less sealing, et cetera.

18 When we looked at that, the small ones are awful
19 small, about 1-PWR, 4-BWR. Pretty small. So we looked at as
20 a perturbation what about overweight truck taking you from 25
21 tons fully loaded to 35 tons moves you up from about 1.4 to
22 3.7. Advantage there but clearly the disadvantage of
23 everything being by overweight truck. But, we wanted to look
24 at what would that do.

25 The next scenario we looked at, the last one was

1 what if we didn't want to address two types of canisters, we
2 only wanted one. Well, if we only had one and we had to
3 service all the sites, it would be small. So, we looked at
4 that. Obviously it means a lot more canisters, a lot more
5 shipment miles. I'll talk about that. But only one thing to
6 look at.

7 And we included a reference scenario. We had to
8 have some baseline to be able to compare what we are doing
9 here. So we are not just comparing MESC scenarios. Do we
10 have a scenario with no MESC, which is essentially the
11 scenario we have right now. Transport only casks, storage
12 only casks, look at that and have some reference to compare
13 it to.

14 MOEs, we looked at several MOEs. These are the
15 quantitative ones that were actually quantified using the
16 codes that Bill Bailey talked about with respect to the
17 Throughput Study, the WSA code, the interface program for
18 logistic models. And I'll get into what you are supposed to
19 get out of this.

20 First, quantitative MOEs that we looked at. Number
21 of transportation casks you would need. Number of MESC
22 within the MESC scenarios. Number of shipments to be made.
23 Cask miles and shipment miles. The difference here is one is
24 a radiation exposure surrogate; one is an ordinary
25 transportation risk surrogate. So we looked at both of

1 those. Obviously, they are closely related. Then a number
2 of handlings. What does this mean for number of handlings.

3 And when you look at this, the reference scenario
4 is on top. Scenario 2 using small and large here overweight
5 truck and large and just small. Now I have pointed out here
6 that scenario 1, since it would service all the sites, we
7 didn't go through with a numerical analysis of that because
8 it violated one of the ground rules. So this is essentially
9 the reference MESC scenario compared to this. What do you
10 get out of this?

11 Advantages of MESC's. Lower number of handlings.
12 You are handling canisters and not individual assemblies, so
13 you have a lower number of handlings. What do you pay? Get
14 a larger number of transportation casks, have a larger number
15 of shipments; larger number of cask miles, larger number of
16 shipment miles. My next slide will address what some of that
17 means. But effectively you are getting an advantage here in
18 handlings and you are giving up something to get that. Now
19 we didn't put any weighting on these MOEs. We just went
20 through and quantified them, pointed out where the
21 differences were. But depending on the individual and how
22 you weight those you might feel differently about them.

23 Now, shipment miles and cask mile shipments, what
24 does that mean? Those are number surrogates for other
25 things. I have this listed as qualitative MOEs and the

1 reason is you could actually quantify these. We didn't use
2 codes to quantify these numbers. We used surrogates to lead
3 into these. These are radiation exposure. We felt this was
4 very important to get some handle, not to leave this out.

5 Radiation exposure at all the venues, waste
6 acceptance, transportation, MRS, repository, and also the
7 public. What does this mean to the public? For instance,
8 for the waste generators we looked at how many shipments come
9 from there, and what type of operations they do. More
10 intensive means more exposure.

11 Transportation, number of shipment miles that have
12 to be made. That was our surrogate. At the MRS, the types
13 of operations, the simplification of operations with the MESC
14 system, handling just canisters, less handlings also.

15 At the repository these double stars and what this
16 note means is since I said that we could either cut them open
17 and unload them or integrate them into the engineered barrier
18 system. Since it was not clear, we couldn't make a call.
19 One would go one way and one would go the other way. So, we
20 did address that.

21 Public radiation exposure linked to the number of
22 cask miles each cask having a set 10 MR at two meters from
23 the surface. The more casks you have with that the more
24 exposure to the public that you have there.

25 What do you get out of this? The same type of

1 picture. Occupational radiation exposure at the MRS goes
2 down for the MESC system. What do you give up? You have
3 more complicated operations, more of them and hands on
4 sealing operations going on at the waste generator sites, so
5 that goes up. Transportation, more shipment miles. More
6 shipments. That goes up. And to the public, more cask
7 miles. That goes up.

8 Now, the magnitude or how you weigh one of these
9 against each other, we didn't go into that. We were not in a
10 position to make a conclusion on that, only to point that out
11 and that is a very important issue, is how do you distribute
12 these things and I'll talk about that.

13 Looking at all those things, we came up with some
14 advantages, disadvantages and critical issues. We actually
15 went through each system element one by one and said what are
16 the impacts, good and bad? Positive and negative? If there
17 were none we wrote down there were none to make sure if we
18 could, we left no stone unturned. A big long 20 to 30 pages
19 on this but I condensed it down to a few points. What are
20 the primary ones?

21 Primary advantages, no routine handling of
22 uncanistered fuel at the MRS. Reduce number of waste
23 handlings in the system, particularly at the MRS. Decreased
24 occupational radiation exposure at the MRS coming out of
25 these. And the potential to integrate this canister into the

1 engineered barrier system. If you could do it that would be
2 advantageous. If you couldn't it wouldn't. And, I'll
3 mention that.

4 Primary disadvantage. The big one is, the burden
5 on the waste generators to do all these loading and sealing
6 operations. Right now there is nothing in the contract
7 saying that they have to do this. That is certainly a major
8 impact.

9 Increase number of casks, cask miles and shipment
10 miles. Increases occupational radiation exposure resulting
11 from the things. At the waste generators and during
12 transportation and to the public. Now the magnitude of this
13 I didn't go into, but it is increased. How important that
14 is, again, is how you weight these things.

15 Now, I talked about advantage, potential to
16 integrate it in it is an advantage. But if you can't and you
17 get these out to the repository and you have to cut all them
18 open, and then you have to dispose of the canisters
19 themselves, you have a low level waste problem, that is a
20 disadvantage if you have to cut them open and unload. So it
21 cuts both ways depending on what you do with it once you get
22 to the repository.

23 And this issue that Bill Bailey sort of got out
24 with the casks was restricted flexibility to support
25 repository thermal loading, specifically at the MRS. Once

1 you have loaded it in these canisters, that is what you have.
2 If you are doing it at the reactors, what goes in there is
3 what you've got. At the MRS, the only support for thermal
4 loading that you can do is basically buy a canister, which is
5 some which is valuable, but you cannot buy assembly blending
6 or selection at the MRS with this system.

7 Now critical issues, depending on how you feel
8 about the advantages and disadvantages, you may favor this,
9 you may not favor this. But what are the things that might
10 keep you from doing it at all? What might impeded
11 implementing such a system?

12 The first one is licensing of MESCs. I said there
13 are MESC technologies around. They are for storage, not for
14 transportation. No MESC has ever been licensed by the NRC
15 for off site transportation of spent fuel. That is a hurdle
16 to be gotten over. Not that it couldn't be done, but it
17 hasn't been done and the NRC hasn't really seen this canister
18 inside a cask idea, so that is something that would have to
19 be dealt with. You would have to design, license and
20 fabricate in order for the system to become operational.

21 Now what is the impact of that? The ability to
22 meet scheduled milestones would certainly be impacted by
23 that. Utility contracts, I have renegotiation of utility
24 contracts. It could be simpler than that, but basically you
25 would have to get consensus among the utilities to do these

1 operations. It might require renegotiating the contract and
2 it might just require negotiations with the utilities, but
3 nonetheless you would have to have consensus and that is a
4 fairly important issue.

5 The other one is this issue that kept coming up of
6 radiological risk partitioning. It goes down at the MRS,
7 goes up at the other site. How do you weight that. It goes
8 down at the MRS, which is a CRWMS venue, but goes up slightly
9 for public radiation exposure. How do you weight that? That
10 is an issue that would have to be looked at.

11 Conclusions that came out of this is that first the
12 system appears to be feasible. No technological reason you
13 couldn't do it. But, the merits of it depend on how you
14 weight these positive and negative impacts. And as a more
15 specific conclusion, adopting this MESC based system loaded
16 at the reactors all shipped to the MRS sealed already, to
17 avoid handling individual uncanistered spent fuel at the MRS,
18 give you positive effects at the MRS, if that was what you
19 were shooting for. But it costs you something at the other
20 parts of the system. It costs you something in waste
21 acceptance. Costs you something in transportation. Costs
22 you something at the repository. That is what effectively
23 falls out of this.

24 Now as I stated up front, this study represented a
25 limited scenario. In other words, we didn't look at what if

1 you loaded big MESCs at the reactors and ones that were only
2 truck capable and would ship spent fuel to the MRS and then
3 canister it there. We didn't look at here. And we are going
4 to look at that in the study that is now underway. So this
5 is not the final story on MESCs, it is the final story on
6 this particular way to look at it.

7 The rest of the picture, cask and canister concept
8 assessment, general look. Objective: Perform a systematic
9 assessment encompassing all of the alternative concepts.
10 Let's look at them all. Using this to provide a basis for
11 program decision making and program direction related to
12 should we potentially put research money into things like
13 this. How should we study them from a systems study? Should
14 we study this first, or this first or this first? How
15 intense should we study it? Are there outstanding issues
16 that we could go ahead and start looking at now, for instance
17 with the NRC? Start addressing now. Let's get those issues
18 out and get them on the paper so we know where we are going
19 and we are going there in orderly fashion.

20 Things that we are going to look at here again,
21 universal casks, dual purpose casks, universal canisters and
22 the subset of that MESCs. Look at all of those.

23 Methodology, now this will be a non-quantitative
24 assessment at first because we are trying to trying to drive
25 at what are those issues? Where should we go? Determine and

1 describe what those concepts will be. Define scenario for
2 that. What does that really look like for a system? What
3 are alternative ways to look at that from a system
4 standpoint. Perform a comparative assessment so we know what
5 falls out of this, particularly relative to what we are
6 looking at now.

7 Determine positive and negative impacts so decision
8 makers can get their arms around this and know, hey, what are
9 the issues related to that? What are the issues related to
10 universal casks. Before we start thinking about should we
11 study it, how do we study it? Should we put research money
12 into it. How do we do it? When? You have an arm around
13 these issues.

14 And the follow up from this will be recommendations
15 relative to which ones look promising to do system studies
16 on, research, et cetera to be passed on to the DOE. To be
17 passed on to the decision maker. They have some way to get
18 their arms around this issue and decide where to go next.
19 And that work is underway. Now this is an initial assessment
20 to get us on the road. This should be done this month, at
21 least in a draft sense.

22 I am going to switch gears a little bit to a
23 related issue that I have alluded to and that is minimizing
24 waste handlings. This issue has come up again and again.
25 The Board has raised this issue on many times, may reports.

1 Others have raised this issue. We want to have a look at
2 this issue, top down, the whole thing. Let's look at the
3 issue, figure out what the issues are related to that. How
4 are we looking at that.

5 Our approach is to perform a three-part system
6 study on minimizing waste handlings. Why three parts? Let's
7 keep it clean. You see a lot of studies that are this thick
8 and they go through the whole thing and by the time you get
9 down to the bottom, if you didn't agree with everything that
10 was done somewhere in the middle, you may not agree with the
11 conclusions and the whole study might have to be redone,
12 reshaded and in a different light. So, we are going to break
13 this into the three natural things that it falls into.

14 The first one is just identifying what technologies
15 are available and what operating strategies are available to
16 minimize handlings in the system. What are they? Now we
17 have done an initial cut at that work and a draft report was
18 issued in May. So that is in draft in comment stage with the
19 DOE. I am going to talk a little bit about our initial
20 observations from that. But that is the first step. What
21 are the ways you can do that.

22 The second step, potential limitations on adopting
23 the technologies, are there things regulatory otherwise that
24 might restrict you from adopting those things, let's get
25 those on the table. The second part.

1 The third part is minimizing handlings. That is
2 one parameter. There are other parameters out there.
3 Radiation exposure, obviously related. Operational
4 flexibility, cost and other things. We have to take all
5 those into account when we decide what are the risk in cost
6 tradeoffs involved with adopting any one of these
7 technologies or operating strategies. In other words, we
8 might find a strategy that this is a good way to minimize the
9 number of waste handlings, but we would only carry it to a
10 certain point because beyond a certain point you may get the
11 system in trouble from an operational flexibility standpoint.
12 You want to do it as best you can, but you have got to keep
13 in mind those other parameters.

14 That is future work that we are going to be doing.
15 I don't have a date for when that will be done. But these
16 are the three parts of study. We know where we are going and
17 we know what we want to do with this. This part is--the
18 first cut is done.

19 This part, potential limitations, that is being
20 addressed in this cask and canister concept. What will fall
21 out of that is what potential things could impede
22 implementing these things. And this very important third
23 step, what are the tradeoffs.

24 I am going to talk about the first part, just the
25 first part because we have some work on that. Technologies

1 and operating strategies identified to minimize the waste
2 handlings. The objective of this part of the study was to
3 identify the technologies and operating strategies available.
4 For the purposes of this first assessment, we define a waste
5 handling as a transfer of a waste type where waste type was
6 unshielded spent fuel assembly or an unshielded canister. We
7 also counted canisters if they were not shielded.

8 Now we only considered spent fuel. We did not look
9 at high level waste, just so you know what the assumptions
10 were, and where we stand.

11 Waste handlings is going to occur at the waste
12 generators, reactor pool sites, MRS repository. We looked at
13 all of them. We had a reference case so we had a yardstick
14 so we knew what we were looking at. And this is a clean
15 reference case. The assumptions for it just from a numbers
16 standpoint was 63,000 MTU of spent fuel, we just moved this
17 number up. But we targeted it on 63,000 which represented
18 about 220,000 assemblies in there.

19 We looked at individual fuel assembly handlings for
20 the reference case and individual assemblies. All the spent
21 fuel goes through MRS storage. Now we looked at that. Every
22 assembly goes to the MRS. Everyone goes into storage at the
23 MRS. Everyone comes out of storage at the MRS. No pass
24 through, no flow through for this reference case.

25 We didn't look at consolidation. That was a

1 perturbation that would add some complexity. We did not look
2 at that. What would it mean to handle each one of the rods.
3 That was not looked at here.

4 And the other one is lag storage handlings were not
5 counted for the reference case and I'll talk about what that
6 means later. So, you go out of the transportation cask into
7 the storage cask at the MRS, not in the lag storage. I'll
8 talk about what lag storage means later on. So that is the
9 reference case. And basically what that means, is from a
10 CRWMS perspective, each assembly is handled four times. Once
11 into the transportation cask at the waste generators, go to
12 the MRS. Once into the storage cask. Once out of the
13 storage cask and then at the repository once into the
14 disposal container giving four.

15 Now for the purpose of the reference case, we
16 didn't step back and say what if the reactors use technology
17 X, Y or Z, how many handlings does that mean for them,
18 because that is out of our jurisdiction to determine exactly
19 what technologies reactors will use. But, we did look at it.
20 We mapped out flow charts with the different technologies
21 available, what would it mean? But we didn't count them for
22 the CRW on that.

23 The methodology we used was to go through and put a
24 flow sheet down for all these handlings and the questions
25 related to them, throughout the system. This is one example,

1 handlings at the reactor. And I will point out that this
2 says, first box says DOE to accept fuel. That is when we
3 start looking at this.

4 Now there is one behind it that is not in your
5 package but it is in the report and actually I have an
6 overhead of it if you would like to see it that goes all the
7 way back to the fuel coming out of the core, and we step
8 through each part. This is for the reactor when it gets put
9 into the transportation casks. There is also one at the MRS
10 which is obviously very complicated and at the repository.
11 We have all of these. So, this is for example purposes.

12 It goes through the decisions you would make, the
13 types of technologies you would and the bolded boxes are the
14 handlings that would take place. Now for our counting we
15 count one into the transportation cask, one into the
16 transportation cask with the universal cask, dual purpose
17 cask, that one is shown on the one above this, but it is into
18 the thing that would be delivered to the DOE, so one there.
19 And this line here points out utility operations, utility
20 jurisdiction. They make the decisions on this side of the
21 line. This side of the line CRWMS, that is where we pick up,
22 so that is where we were focusing on. Although we recognize
23 the importance of the other thing.

24 Strategies that we looked at, operating strategies.
25 You have heard these terms today, pass through, flow

1 through, western strategy. What are they and how would they
2 minimize handlings? Up until 2010, everything that comes to
3 the MRS goes into the MRS and goes into storage. Once you
4 are full or about 2013 ramp up to about 15,000 MTU under the
5 current legislative stuff, once you are full you have a
6 decision. Do you take every one into storage or take another
7 one out? Or, if you don't need to do that, you can avoid
8 those handlings by not going in and out of storage.

9 Now what are the ways you could do that? " Pass
10 through," what we are calling "pass-through" is assemblies
11 arriving at the MRS and from reactor casks, think of it as
12 truck casks, things coming in 2-PWR, 5-BWR configuration into
13 the MRS. Let's get some gains from a transportation
14 standpoint by transferring those into a big rail cask; 100
15 ton; 125 ton; what have you. For the purposes of our
16 analysis a 100 ton rail cask, a big advantage in capacity.
17 But it doesn't go in and out of storage. Transfer it
18 directly from the "from-reactor" casks, truck casks, into the
19 "from-MRS" casks. So you save on handlings going in and out
20 of storage if you have no reason to go in there. If you are
21 blending, you may have some reason. But, if you have no
22 reason, maybe you shouldn't do it. "Pass-through."

23 "Flow-through," you bring a rail cask to the MRS
24 that may be exactly the same size as the "from-MRS" cask. It
25 may be a little smaller. But from a handling standpoint, is

1 it worth taking it in and opening it up and transferring it
2 to another cask. Why not just take it connect it to the
3 dedicated train and ship it to the repository. Save on
4 shipment miles. You have one cask coming from a reactor,
5 maybe three coming together. But from the MRS you could
6 maybe string out ten. So you have a savings in shipment
7 miles, added flexibility. "Pass-through," "flow-through,"
8 ways to save on handling.

9 The other one is western strategy when we are
10 looking at the generic eastern site for instance for the MRS.
11 Now a reactor located in California wouldn't necessarily
12 ship all the way back to the east and then all the way back
13 out to the repository. They may ship directly to the
14 repository once they can do that. Once the repository is
15 open. That saves handlings at the MRS. So, operating
16 strategies.

17 Technologies, these are things--this is the tie-in
18 that I just talked about. Dual-purpose casks, storage and
19 transportation, reduces handlings at the MRS. Cut those out.
20 Universal canisters and multiple element sealed canisters
21 could be used for storage transportation and/or emplacement.
22 So it could be used like a dual purpose for a universal
23 cask. But we did count the transfers and we did count the
24 handlings of the canisters themselves, because there is an
25 exposure issue that you have got to think about. But you are

1 cutting it down. You are handling 24 at a time instead of 2
2 at a time. So you are cutting down the number of handlings
3 with that. Reduction in handlings with canisters from the
4 systems standpoint depends on where you load them and where
5 you unload them obviously. Universal casks reduces handlings
6 at the MRS and at the repository. You'll find that that is
7 your biggest hit.

8 Results. Actual magnitude of the results may
9 change a little bit depending on how you lay the assumptions
10 out, but which ones come in which order won't change. Here
11 is the reference. Remember I said 220,000 each one handled
12 four times gets up to about 880,000 handlings in the CRWMS,
13 based on 63,000 MTU.

14 Ways to cut it down. Operating strategies.
15 Western strategy cuts out a bit. "Pass-through" cuts out a
16 bit. "Flow-through" cuts out a bit. But we can combine all
17 those. We can do western strategy where we can, "pass-
18 through" where we can, "flow-through" where we can. It gets
19 us down to about here about 650,000 handlings. It cuts out
20 about 200,000 handlings. You've still got a lot but you have
21 cut down a lot.

22 Technologies. As you would expect dual purpose
23 casks cuts down a lot and if you want to cut down even more
24 you can carry it farther in the universal cask regime.
25 Universal canisters, universal casks; universal casks being

1 the lowest as you would expect.

2 Now remember I said we didn't count lag storage for
3 the reference case, but we went back and said lag storage
4 could be very important. Let's look at that. Now, remember
5 black here is the reference case. The highest one. Now the
6 black is the one at the right here now, when we look at lag
7 storage. So we didn't count lag storage. And we are about
8 880,000. Put in lag storage at the MRS, every time you go
9 into storage you take it out of the transportation cask, put
10 it in lag storage and then once you have enough take it out
11 of lag storage and put it into the storage cask.

12 There is a hidden large potential number of
13 handlings you have got to think about. Doing lag storage of
14 every assembly coming in to the MRS and everyone that goes
15 into the MRS would bump you up above 1.5 million. Bump you
16 up 700,000 handlings from the reference case. That is a lot.
17 Relative to the operating strategies, that could dwarf the
18 operating strategies. So, lag storage is really something
19 you have to think about. It is a very important judicious
20 use. We need it. Remember, I said, minimize handlings is
21 not the only thing; one of the things. Now we need some
22 operational flexibility; we need some lag storage. But, you
23 had better be careful how you use it, because it can have a
24 big impact on handlings.

25 DR. PRICE: When you talk lag storage, could you define

1 it again because I understood your definition to be you take
2 it out of the cask, you put it into a storage and then you
3 take it out of that storage?

4 DR. HOLLAWAY: Well, lag storage is just for instance in
5 the transfer cells in the MRS, is just a rack. So not into
6 another cask or into another storage mode technology, just in
7 the transfer cell itself, take it out and put it in a rack
8 and then later taking it out of the rack and putting it into
9 the storage mode instead of transferring it directly from the
10 transportation cask into the storage cask as one step. That
11 is where you get almost a doubling you do it twice; one in
12 and one out.

13 DR. PRICE: So this pertains--does not pertain to some
14 of the technologies.

15 DR. HOLLAWAY: Correct. For instance universal casks,
16 it wouldn't pertain because you don't unload them. Dual
17 purpose casks at the repository you could use lag storage,
18 but with universal casks it doesn't. And the same with--if a
19 question came up could you combine the operating strategies
20 with the technologies, the answer is no, because the
21 technologies cut out those operating strategies which are
22 focused on the MRS. Dual purpose casks, universal casks, you
23 don't do pass through or flow through, because you are not
24 doing any handlings anyway.

25 Observations that came out of that of what you just

1 saw, this is in draft stage and I am going through comment.
2 Observations, a combination of operational strategies,
3 western strategy, pass through, flow through, could lower
4 relative to the reference case I outlined your handlings by
5 as much as 30 percent. A pretty big number. If you want to
6 go farther than that you have to go to a different physical
7 system design, different technology, dual purpose, universal
8 canisters or universal casks. It can lower it as much as 30
9 to 75 percent. If you loaded all the universal casks, and
10 remember I said four handlings, okay with the reference case,
11 if you loaded all universal casks at the reactors you would
12 have one handling. So you would go from four to one; 75
13 percent reduction. That is where that comes from.

14 A planned and efficient use of lag storage can
15 minimize incremental waste handlings over that reference
16 case. A very important issue to think about when we design
17 our system. The types of things we pass on to the designer.

18 Largest reductions in waste handlings would occur
19 with the use of universal casks. Now that is probably
20 something you may have thought of yourself before you saw
21 this, but it is nice to see the numbers actually put there so
22 you see this as a conclusion. Largest reduction with
23 universal casks.

24 But, it is only part 1. There are other things to
25 think about. Continued observations, the first one is all

1 waste handlings are not equal. I talk about handling
2 canisters and I talk about handling assemblies. Now handling
3 a canister with 24 versus handling one assembly is that
4 better or worse? If you drop it is it worse or better? An
5 issue to think about outside of this first part, something to
6 think about in the other two parts of the study.

7 Fuel assembly handling versus cask handling. We
8 haven't looked at cask handling, shielded, sealed or with the
9 head off, cask handlings we haven't looked at that. And how
10 does that boil in the equation? Another thing to think
11 about.

12 And this, implementing technologies and strategies
13 to minimize waste handlings, can and will impact other system
14 parameters. Cask shipments and shipment miles; operational
15 flexibility, radiation exposure; program schedule; program
16 cost. Others--other issues out there. Just minimizing waste
17 handlings, we are going to impact other system parameters.
18 So we have got to think about these risk and cost tradeoffs
19 of adopting the technologies or the strategies. So, what I
20 just showed you there was part one of a three part study.
21 That is not the final word the way those rank. You have got
22 to think about what are the risk and cost tradeoffs involved,
23 and that is part three of the study that I talked about.
24 But, we have got to remember to think about that.

25 So, going all the way back to the beginning, I

1 talked about our alternative cask and canister work. We did
2 the MESC study and focused on a MESC system where they are
3 loaded at the reactors, go to the MRS sealed.

4 I talked about the more general cask and canister
5 concept assessments, to get our arms around the issue. Then
6 I switched gears a bit and I talked about this issue of
7 minimizing waste handlings.

8 I talked about our three part system study we plan
9 on doing and went into part one that we have done some work
10 on and what observations we found out of that. But, said,
11 hey, remember those other two parts are there. And that is
12 work. Some of this work is underway and some of the work is
13 still in the future, but to give you guys an idea of where we
14 plan to go with what we are doing, what we have done, how we
15 do it and where we plan to go.

16 That is all I have for my presentation and I
17 welcome any questions.

18 DR. CANTLON: Questions? Yes, Dennis.

19 DR. PRICE: I generally agree with your three part thing
20 in that in some ways a sequence with the first part
21 determining what goes on in the second part and the third
22 part. If you do not completely embrace the technologies that
23 maybe--should be--embraced, and these you presented to us
24 today, then downstream things that maybe missing a loop all
25 the way, that is what was behind the suggestion about the

1 "minimizing handling" workshop. And it--the idea was to
2 surface any technologies that may be there so you could use
3 them, rather than a couple of people sitting down
4 brainstorming and saying these are the technologies which we
5 can envision, or else being pushed or pressured by potential
6 MRS hosts saying this technology--that shows you there is a
7 technology out there that they were concerned about. There
8 may be technologies of a various sort, not limited just to
9 canisters and casks. They may be involving the way you
10 automate and handle--

11 DR. HOLLAWAY: Operational strategies.

12 DR. PRICE: Yeah, operational--there may be a lot of
13 things that float to the surface if you are determined to
14 flush out all of the technologies. That is what was behind
15 the idea for a workshop.

16 DR. HOLLAWAY: And a good idea.

17 Now this part is drafted as of May, about a month
18 and a half ago. This second part should be done for draft
19 this month. This third part, we are not attempting to bring
20 a final conclusion, this is the way to go. Put our own
21 weightings in and say this is the answer, this is the final
22 number. We want to service these issues and talk about what
23 the issues are that are involved with the focus being, once
24 you know what types of things, certainly others, no question.
25 But you have some ground work. What types of things? What

1 potential limitations are out there, some of them? What is
2 an assessment, a look at what tradeoffs are involved. Then
3 we would have a good ground work for workshop. And that is
4 really the focus here is to lay out that ground work because
5 we have to have a lot of other parties besides just the
6 people working on this particular system study involved a lot
7 of other minds, a lot of other viewpoints looking at this
8 certainly. So, this should lay out the ground work for a
9 work shop that would come later.

10 Now, the content of the workshop, the schedule of
11 the workshop, the location of the workshop, out of our
12 jurisdiction. That is up to DOE and I would point to Bill
13 Lemeshewsky, Office of System and Compliance and the rest of
14 DOE for when they would like possibly to set up something
15 like this related to having this ground work laid.

16 But, I completely agree with you. The idea is
17 instead of just sitting down in a room and discussing all of
18 this let's get some of it down on paper so we have something
19 to talk about.

20 DR. PRICE: Well is your idea then to iterate these
21 three?

22 DR. HOLLAWAY: That is right. Absolutely. That is why
23 this is not final. That is why it is draft. This one will
24 also be draft. We want to iterate this. We want to get all
25 the ideas. We don't want to close any doors on this. Let's

1 make sure we have all those ideas out there. And we don't
2 know everything, but we can lay out the ground work for it so
3 we can put together some type of a focus group or some time
4 of a workshop to think about these issues.

5 But again, the reason the workshop isn't even
6 addressed on here is that it is not M&O's scope to come up
7 with a determination of what would be in it, where it would
8 be and when it would be and I would defer to the DOE on that
9 issue. But this should lay the ground work for that. A very
10 good point.

11 DR. CANTLON: Dr. Domenico.

12 DR. DOMENICO: Maybe you can just clear up something for
13 me. Is it true that of these options the universal cask
14 would force you into a cold repository?

15 DR. HOLLAWAY: Not at all.

16 First of all--

17 DR. DOMENICO: I've touched those things.

18 DR. HOLLAWAY: When you think about universal casks it
19 is almost analogous to the robust waste package. You have a
20 thick-walled package basically.

21 Now as far as thermal loading of the repository,
22 that is based on how long do you age the fuel? How do you
23 blend the fuel? And how much fuel do you put in each one?
24 Now we could have a universal cask that holds three
25 assemblies. We could have a universal cask that holds 20

1 assemblies. We are not cutting out any alternatives there.
2 In fact the size of it, think of it as analogous to the
3 robust waste package. The size of it is going to determine
4 your thermal loading. The size, how many assemblies are in
5 that package and how are they spaced. But, the universal
6 cask itself does not cut off any of those options. In fact,
7 it dovetails quite nicely with the robust waste package
8 concept.

9 DR. DOMENICO: I understand the universal package is
10 indeed a robust package. But I was under the impression that
11 it also eliminated the escape of heat.

12 DR. HOLLAWAY: No.

13 DR. DOMENICO: No.

14 DR. HOLLAWAY: If we talk about a universal package, you
15 are probably going to be talking about a metal walled
16 package.

17 Now the Delta T across the wall package is very
18 low. It is almost like a canister. It is like the canister
19 we have now; 3/8ths of an inch. Add more metal the Delta T
20 across the wall of the package is not that great. But it
21 doesn't affect that. We still have a lot of flexibility.

22 DR. DOMENICO: I see.

23 DR. CANTLON: Is it realistic in looking at a national
24 system to assume that the most constrained reactor really has
25 to be a constraint on the system. Wouldn't it be realistic

1 to visualize that if you have got a severe constraint in one
2 reactor that the utility ought to be doing a little
3 modification to adapt to the system?

4 DR. HOLLAWAY: The utility could do potentially
5 modifications helped out by the DOE, certainly subject to
6 negotiations. Or the fuel could be taken somewhere else.
7 Possibly to a DOE facility. Possibly to another private
8 facility, yes.

9 Now, remember when I talked about the MESC's where I
10 said they are all loaded there and I said this is a limited
11 scenario? That is why I said that, because that was a very
12 focused drawing of boundaries around it and saying let's look
13 at this one, realizing that there are other ways to do it.
14 And certainly that is one of the most obvious options is
15 loading them where you can, but where you can't taking them
16 somewhere else and load them.

17 And we do this cask and canister assessments, we
18 are going to point that out and talk about that. The MESC
19 assessment did not look at that, but that is not because we
20 don't think it can't be done, because those were the boundary
21 conditions for that study which is why I pointed out that it
22 was just a limited study. But we will definitely look at
23 that. I think that is probably a great idea. Trying to
24 impose on every reactor to line up and do something possibly
25 with or without consent is very difficult; very challenging.

1 One way to look at the picture, but it is only one
2 way, but there aren't an infinite number of ways. There are
3 several ways we can look at it and that is what we want to
4 scope out. What are the different ways that you could do
5 that? You could take it somewhere else and load it. You
6 could take it to the MRS and load it, which is subject to
7 what does the host want. If you couldn't do that you could
8 take it to the repository and load it. So there are other
9 ways to look at. We are certainly, certainly thinking about
10 those.

11 Taking the needs, dealing closely with our waste
12 acceptance group and taking the needs of the utilities into
13 account, I myself worked for Virginia Power for awhile and
14 the Tennessee Valley Authority, so thinking about the issues
15 of what the utilities see and what they do and don't want to
16 see is very close to home for me. So, I definitely think
17 about those issues.

18 DR. CANTLON: Following on, the utility gets the great
19 benefit of getting out from under the continuing liability of
20 having fuel on site. The trade off might be to adapt to the
21 national system, rather than the national system be expected
22 to adapt to every utility.

23 DR. HOLLAWAY: And certainly subject to negotiation.

24 And what we would be able to offer, we have enough
25 flexibility to be able to go the utilities and say we can do

1 it with System A all loaded at the utilities, or we can do it
2 with System B, take it somewhere else and load it where it
3 can't be loaded at the utilities. But, you guys are paying
4 into the fund, so you guys think about it amongst yourselves
5 of what you think is an equitable system. Because, inter-
6 utility equities is a very important issue.

7 But what we will point out here is that from a
8 CRWMS perspective, we have got the flexibility to look at a
9 lot of different ways of doing it.

10 DR. CANTLON: Any other questions?

11 MR. SHAW: I had a couple of questions and a couple of
12 comments.

13 I think it is notable that the utilities within the
14 last six to eight months have taken it upon themselves to
15 look at the universal canister as a concept they are very
16 attracted to.

17 They also have taken up some of the questions that
18 John Cantlon has just raised, and that is the fact that not
19 all utilities will be able to use the universal canister.
20 The initial look at this is to say--is to take something
21 large like a 24 PWR type of assembly for a universal
22 canister. And we do have to contrast the universal canister
23 from universal cask because they are different concepts here.
24 A good example could be Yankee-Rowe which has a 25 ton
25 crane, has no capabilities of increasing that capacity

1 without major modifications to the structure of the facility,
2 has no rail spur that could take anything of that large
3 tonnage away from there. So you have utilities which do have
4 limitations. Yet, utilities in general are looking at the
5 concept of a universal canister that is one that is very
6 desirable from their point of view of being able to once and
7 for all seal up a system and not be forced to open it again.

8 The second point I would make is that EPRI has been
9 sponsoring recently a study on universal canister concepts as
10 well. And this looks at both the heat thermal limitations,
11 which may be a significant factor in the highest temperature
12 you can get and how many elements you can put in there in the
13 effective heat transfer that would take place away from
14 there, along with the cost. And that report should be out
15 sometime within the next couple of months. It is nearing
16 completion now.

17 Then a question I had for you. In the reference
18 case, it seems to me that you have an additional problem that
19 you maybe haven't had it in. And that is the problem of
20 waste. And here it is low level waste because you are now
21 shipping material inside a canister that you are now going to
22 take out. You have the problem of the corrosion products and
23 other materials that are in there that could be inside that
24 spent canister which now has to be cleaned and you do have
25 residual waste that comes with that.

1 DR. HOLLAWAY: With the MESC system.

2 MR. SHAW: I beg your pardon?

3 DR. HOLLAWAY: With the canister system.

4 MR. SHAW: With the canister and the MESC system you do
5 not have that. But with your reference case you would have
6 that where you would have to clean that.

7 Sandia has recently been sort of exposed to the problem
8 of what they have called weepage on the actual canister
9 itself, where you get surface contamination that you think
10 you have cleaned off at the site and then you receive it at
11 the receiving point and find that you are above the limits,
12 because this material has somehow been embedded in the cask
13 and has come out as a result of that. So, some of these
14 issues with regard to low level waste and decontamination of
15 these systems have to go into the reference case as well.

16 DR. HOLLAWAY: Those are very good points.

17 We thought some about the low level waste issue and
18 what that would mean. We included some of it in the report,
19 but probably not the detail that we should have. It is
20 definitely something that merits consideration. A lot of
21 times we get very focused on high level waste, but low level
22 waste should definitely not be overlooked. It's a very
23 important issue. Thanks.

24 The EEI and the EPRI work I am definitely very
25 aware of that and that is going on. We are in touch with the

1 EPRI people that are working on that to jump start our work.

2 DR. CANTLON: Dr. Reiter.

3 DR. REITER: Leon Reiter from staff.

4 I have a question, a perspective question. I am
5 sure you don't have a definitive answer. I hope you will
6 have one. Perhaps either you or Larry Rickertsen could give
7 us an answer. We are told that the basis of the EPA criteria
8 40 CFR 191 is that the repository shall cause no more than
9 1,000 additional cancer deaths over the next 10,000 years.
10 If we believe some of the performance assessments that we
11 have seen and do some simple linear scale, this could be a
12 lot less than that.

13 Here we are talking about a case of almost a
14 million handlings. How do the kind--doing the same kind of
15 extrapolation, what kind of additional cancer deaths would
16 these handlings cause? How much?

17 DR. HOLLAWAY: From a preclosure sense, because we tend
18 to focus on postclosure. I don't have an answer for that.
19 We definitely will look at that and that is exactly what Part
20 3 of our study was going to look at that.

21 Now, Larry--do you want to say anything about that?

22 DR. REITER: Larry does a lot of backs of the envelope
23 type of calculations I am sure.

24 DR. RICKERTSEN: The 1,000 health effects in 10,000
25 years, when you calculate that in terms of an individual does

1 turns out to be on the order of five or six orders of
2 magnitude below 100 or 10 millirems per year. So the if the
3 scale that you are looking at for dose limitations,
4 individual dose limitations on casks and canisters run in the
5 order of 4 or 25 millirem per year, clearly the biggest
6 safety issue that we have in terms of individual dose is in
7 that particular phase, the transportation, MRS, and so on
8 phase. The repository scale which is based on population
9 dose turns out to have much lower impacts in that regard.

10 Does that take care of your--

11 DR. PRICE: To say the obvious though, I think the
12 mishandling, an opportunity for mishandling is greater with
13 the greater number and that is where the bad exposure might
14 occur.

15 DR. RICKERTSEN: They are obviously tied together. But,
16 what I am saying is that if you are looking at the EPA
17 standard it restricts the individual dose much lower than the
18 kinds of things that we are concerned about in this other
19 case. There is a coupling between them. One will have an
20 impact on the other. But the safety impacts and the
21 preclosure and transportation phases and so on are much more
22 severe than postclosure.

23 DR. REITER: Can you take in account the number of
24 health effects and the number of individuals that come in
25 contact with it?

1 DR. RICKERTSEN: Yes. However you do it. When I say
2 four or five orders of magnitude, you can pick up an order of
3 magnitude by doing it a different way. But your orders of
4 magnitude--

5 DR. REITER: So what you are saying is that the health
6 impact upon society of the handling is much greater--

7 DR. RICKERTSEN: Much more important than the post-
8 closure effects in terms of individual dose. There are
9 people who argue that still for a repository that population
10 dose is a critical factor. You have been in those debates.

11 DR. HOLLAWAY: What you are driving at is what comes out
12 of when we initially looked at this was that minimizes
13 handlings unto itself, doesn't necessarily mean anything;
14 it's a surrogate for other things. What are those other
15 things? Risk. Radiation. Exposure. Potential economic
16 risk of losing a transfer cell, losing a facility for awhile
17 and be shut down. Those other issues. So it is really a
18 surrogate for other things. And that is what leads us into
19 the realization that minimizing handlings unto itself is not
20 the whole picture and we better think about what those other
21 things are. What is it a surrogate for? How much is it a
22 surrogate? What other things are there. And that definitely
23 needs to be looked at and that is part of the picture. That
24 is why we framed the study the way we have. I don't have the
25 answers for you now; hope to have them sometime down the

1 road. But we know that is something that has got to be
2 looked at.

3 DR. CANTLON: Another element in the waste system, in
4 many of the other areas of hazardous waste, the regulations
5 read that the original generator of a waste has continuing
6 liability even after it is put into a repository. If you put
7 toxic materials in waste, ten years, fifteen years later, the
8 original generator has got to cost share in the clean up. Is
9 there built into this operation any continuing liability for
10 the utilities to handle a mis-sealed and other kinds of
11 things in transit and is this an incorporated element in what
12 you are looking for?

13 DR. HOLLAWAY: An interesting thing related to what you
14 bring up there is where that comes in is with the canisters.
15 We talk about sealing them, because somebody has got to take
16 the liability of verifying that it is really sealed
17 correctly. That is certainly not clear at this juncture. At
18 any event, someone has got to take the liability for bolting
19 the cask up. I think the utilities would probably take that.
20 They are used to doing that. Welding a canister closed is
21 another issue and a very important issue.

22 Now that is framed in the Nuclear Waste Policy Act
23 that when the DOE takes title to the material, that basically
24 the materials are paying "X" and that is it. But, what other
25 issues are related to that? I certainly can't answer that

1 here. That is up to the U.S. Congress. But that issue of
2 welding those canisters and verifying--somebody signing that
3 is saying yes, this is done correctly, given that the
4 utilities are doing the operations, that is a very major
5 issue, and that was pointed out in our report.

6 Any other questions?

7 MR. GERTZ: I just had one quick question. When you
8 talked about western strategy, it is a little different than
9 the western strategy that Bill Bailey talked about, because
10 he talked about western strategy, I believe for an MRS, and
11 you have not looked at a western MRS strategy.

12 DR. HOLLAWAY: No, no, that is what I am talking about.
13 And what the western strategy means, is if the repository is
14 500 miles and the MRS is 2500 miles, you may bypass the MRS
15 and go directly to the repository.

16 MR. GERTZ: Even with eastern shipments.

17 DR. HOLLAWAY: Yes.

18 MR. GERTZ: Okay. You've got that considered.

19 DR. HOLLAWAY: Other questions?

20 DR. CANTLON: Okay.

21 DR. HOLLAWAY: Thank you.

22 DR. CANTLON: Dr. Gottlieb.

23 DR. GOTTLIEB: Now this is a continuation or an update
24 of the presentation I gave at the February meeting in
25 Augusta. And the discussion will focus on the system

1 implications of repository thermal loading. Now the specific
2 repository implications and the performance assessment issues
3 will only be addressed insofar as they are already known and
4 understood. And I will speak on these topics but I will
5 cover the reasons, background, assumptions and analysis
6 methodology very quickly, because that is primarily review of
7 material which I have given before, although there are
8 several new members of the Board who may not be familiar with
9 that. I will concentrate on the conclusions, or I shouldn't
10 say conclusions, but I will concentrate on the results that
11 we have thus far.

12 First of all, very quickly, the reasons for the
13 study, the first reason is that there have been several
14 alternative thermal management strategies proposed. These
15 have been mentioned already in this session and I imagine
16 yesterday as well. And, in addition to the questions of the
17 performance assessment dealing with those strategies
18 themselves, there is the question of their impact on the
19 entire system and the requirements that they impose on the
20 system. And, so in order to reflect an understanding of
21 those impacts we are undertaking this study. Now, the study
22 is not going to make any recommendations. It is just going
23 to say what the extent of the impacts is and what the
24 feasibility from an overall system point of view is.

25 Now, in addition to addressing the overall question

1 of what the impacts are, we want to be as specific as
2 possible to assist in these system needs, particularly in
3 terms of milestones and decision points. Although, as I
4 said, we don't recommend specific alternatives or we don't
5 direct decisions, we have material which is important for the
6 background in these kinds of decisions and selections.

7 Now the specific objectives of the study, within
8 that context are to identify overall system scenarios. A
9 system scenario deals primarily with waste movement all the
10 way from the reactor storage pool to emplacement in the
11 repository. To identify system scenarios which tend to
12 support the thermal loading strategies, then to analyze the
13 impacts of the scenarios and to relate to program critical
14 milestones and to provide design basis guidance.

15 Now, this diagram shows the context of the study;
16 it is not a flow chart in any sense. But, it simply shows
17 that the study is operating in an environment of external
18 issues here; thermal management strategies being considered
19 here; and then an extensive effort at assessment, performance
20 assessment, design, site investigations and so forth relating
21 to the MGDS. Within this overall context, the study focuses
22 on the movement of the waste stream through the entire
23 system, through emplacement in the repository.

24 The study participants are relating to that context
25 are of course the DOE/OCRWM on whose behalf the study is

1 done. The M&O in Fairfax, or more popularly now, Vienna, is
2 responsible for studying management and scenario generation
3 of system analysis. The M&O Las Vegas is responsible for
4 those parts of the system which deal with the MGDS
5 particularly waste package concepts, thermal analysis and
6 operations concept for the activity.

7 The M&O in Charlotte is responsible for the design
8 concepts of the MRS and we are closely coordinating to
9 reflect that for them to understand the implications. And
10 then the National Labs Sandia and Lawrence Livermore doing
11 studies relating to performance assessment.

12 These three areas, of course, are under development
13 right now, and so they are continually turning out new
14 results and we are trying to reflect those as quickly as
15 possible.

16 Now, the study is divided into two phases. The
17 first phase dealing primarily with the waste stream scenarios
18 or system scenarios, and determining their feasibility and
19 Phase II to look at refinements of the thermal strategies and
20 the scenarios to support them, and then to refine the
21 assessments of the impact.

22 The first phase of the study will be completed next
23 month. The report will be out by the end of next month and
24 Phase II will be primarily in FY'93 hopefully to be done by
25 July of '93.

1 Now, I have alluded to thermal loading strategies.
2 We have for reference purposes used three--these are not
3 baseline in any sense, these do not represent commitments to
4 design, these just represent points on the spectrum of
5 alternative thermal loading strategies. There is the long-
6 term hot strategy which keeps the repository dry, according
7 to present performance assessment calculations for five to
8 ten thousand years. That is characterized by a target areal
9 power density of 114 kilowatts per acre.

10 Now, this areal power density is a convenient
11 reference point to use for characterizing these scenarios.
12 Although, actually the long-term thermal performance for the
13 long-term hot repository is dependent upon really the mass
14 loading, or the number of MTU per acre rather than the APD.
15 However, if you factor in the requirements of some limitation
16 on the temperatures in the rock in the near-term and so on
17 and so forth, that sort of maps into an APD. That is why we
18 use APD here and also it is convenient to use for the cold
19 scenario where it is more important because the critical
20 parameter here is keeping the rock temperature below the
21 boiling point or perhaps even below 60 degrees C as have
22 certain desirable characteristics. With that kind of a
23 target, a temperature target APD is a more meaningful
24 parameter.

25 Then in the middle, we have a alternative which is

1 similar to what was set forth in the SCP and which is sort of
2 the present baseline, except the primary difference is that
3 we are talking about fuel that is nearly 30 years old,
4 whereas the SCP analysis was for 10 year old fuel. And the
5 fact of the matter is now if we take an average waste stream
6 generating from the current EIA data base, it comes out more
7 like 26 years at emplacement if we follow the reasonable
8 kinds of throughput scenarios that Bill outlined in his talk
9 earlier.

10 Now the specific assumptions for the Phase I study
11 are very briefly summarized here. And, the one thing I would
12 like to point out is a target that we have worked toward in
13 analyzing these scenarios is to levelize thermal loading.
14 And I'll talk about the reasons for that in a moment. But
15 this means primarily that you want to keep as close to a
16 constant APD as possible in your emplacement, so that you
17 don't have great variations from one part of the repository
18 to the other, or even along single drift.

19 We have used robust waste packages, although by the
20 time you get down to this small size, which is necessary for
21 the cold strategy, it is not a very large package. But by
22 robust we mean a thick-walled package and drift emplacement.

23 Now this drift emplacement is also a variation from
24 the SCP, but we are not precluding the borehole emplacement
25 that was set forth in the SCP, but our additional analysis

1 are now for drift emplacement and whatever comparisons we do
2 can be done against borehole emplacement if that is
3 appropriate at some later time.

4 The other things I want to point out is drift
5 spacing. There have been calculations made from 85 feet to
6 100 feet and those drift back and forth, and we are trying to
7 understand the reasons for the differences and we will be as
8 consistent as possible.

9 And the repository emplacement area, we have spoken
10 of is 1250 acres. This is used for reference in comparing
11 particularly the area requirements for the cold alternative.
12 I'll show a map of where that fits into the total available
13 area.

14 Now, the potential benefits of levelizing are in
15 three general areas. First, to reduce the thermal stresses
16 which can arise from temperature inhomogeneities along the
17 drift. The second is to simplify the design and emplacement
18 operations by providing a uniform environment and uniform
19 ventilation and other maintenance situation. Which, these
20 things would be complicated if your waste package heat output
21 is varied by a factor of 2 or so. The question we have to
22 resolve in the Phase II is just exactly how uniform or how
23 levelized is really we are trying for. Is it ten percent
24 variation, 20 percent variation? We are not sure now.

25 And, then also if we have thermal performance

1 targets then levelizing assures of being able to achieve both
2 for the hot alternative and for these two reasons and for the
3 cold alternative as well, because the cold alternative
4 requires no more than a maximum temperature anywhere in the
5 repository.

6 Now, I mentioned the alternatives for levelizing.
7 Typically, when we are blending to go into a waste package,
8 we are talking about carrying hottest and coldest assembly
9 available. And this also has the added benefit that you can
10 get maximum utilization out of your transportation casks,
11 maybe, if the NRC will buy this argument. There seems to be
12 some question about that. But it is an objective to work for
13 anyway, we think.

14 Then there are, at the repository the alternatives
15 as far as infilling, leaving spaces and going back and
16 placing packages, hot package next to cold package, so that
17 even if you don't have absolute uniformity from package to
18 package you can have uniformity from one pair of packages to
19 the next.

20 And there are various degrees of elaboration on
21 that, depending on how much you can complicate your
22 repository operations by saving packages for putting in from
23 subsequent years.

24 Now, this just very briefly is a pictorial
25 representation of the previous slide talking about the

1 alternatives for the way you can accept the fuel for how you
2 can operate the MRS with respect to blending for age and burn
3 out with heat and then the ways of operating the MGDS,
4 varying in package spacing and blending within the waste
5 package and then doing the alternatives of infilling and
6 relocation.

7 DR. CANTLON: What is the acronym there, the second one
8 from the bottom.

9 DR. GOTTLIEB: This is what you do with high level waste
10 C/DHLW. That is something that we have always been talking
11 about defense high level waste. There is actually some
12 commercial high level waste, so we put that in. That is a
13 new one. You did catch that.

14 Now, the effect of blending, I am not going to talk
15 too much about this, although I have some other slides if
16 people are really interested in going into it. This is just
17 one alternative of the many that I showed in the previous
18 picture. This one has blending at the reactors at the MRS to
19 achieve instead of, if we talk straight, oldest fuel first,
20 acceptance with "pass-through," "flow-through" at the MRS,
21 what would happen is we would gradually build up hotter and
22 hotter fuel being emplaced. This is the local APD running
23 from about 85 kilowatts per acre up to 160 kilowatts per
24 acre. And this is for a target of 114, which is the hot
25 alternative.

1 Then a precipitous drop off when the reactors stop
2 shipping and we take the stuff that has been sitting in the
3 MRS for 20 years and has now gotten very cold, and we take
4 that out. So that is about the worst case as far as
5 levelization is concerned. It is the most convenient case
6 for operations, but it is the worse case for levelization.

7 Now, instead we have some inventory transactions at
8 the MRS throughout this period, which would still be--would
9 still be "flow-through" for rail, but much of the truck would
10 be shuffled in and out of inventory. We could achieve a
11 fairly level close to 114 kilowatts per acre at emplacement
12 throughout the entire time period.

13 Now to very briefly run through some of the
14 mechanics here, this is a sample scenario data sheet. We
15 have been talking about various modes of operation at the MRS
16 and the repository and so on and so forth. This idea of the
17 scenario data sheet is just to capture all of this in one
18 record for a particular scenario that we are operating on so
19 that we have documentation and we have tracks to know what
20 we've done and why. And so it lists scenario number, what
21 the thermal management strategy is, how the fuel was--the
22 allocation rights, the selection criteria and so forth.

23 Now to summarize some of the results so far,
24 looking at the three scenarios and their variations. Now you
25 will note that I have six variations of the hot scenarios and

1 four of the cold and only of the SCP. That just represents
2 our concern with looking at the newer things first. These
3 are all intended to be treated equally in the report. But
4 the difference among these is, the first set of hot scenarios
5 is for the nominal reference waste stream at 3,000 MTU per
6 year, which actually turns out to be not quite an average of
7 30 years old, but actually 26 years old.

8 And then looking at blending at the reactor
9 acceptance or blending at the MRS. And then looking at the
10 results of that which I will show in the next slide. But,
11 essentially if we address ourselves to the issue of
12 feasibility, all of the scenarios listed here on this chart
13 are feasible from the standpoint of the waste stream. Now
14 there are some immediate concerns when we talk about 56 years
15 old for this, 56 years old for this, which corresponds to an
16 average aging of 30 years and does not fit in at all to the
17 strategy--to the overall program strategy at the present
18 time. But we are putting it here just for comparison
19 purposes.

20 In all other respects all of these scenarios can be
21 satisfied with a reasonable waste stream. Now there may be--
22 there is some concern raised, usually when we talk about
23 acceptance being other than OFF. And actually, of course, we
24 don't know what the acceptance is and OCRWM has a limited
25 control over what that acceptance is. There is some

1 discussion about how cooperative the reactor owners would be
2 with regard to blending at the reactors. But we present this
3 as an example of what can be done.

4 DR. CANTLON: What does OFF mean?

5 DR. GOTTLIEB: Oldest fuel first.

6 This represents only a fraction of the cases we
7 have considered so far and we are in the process now of doing
8 our final analysis and we will have a variety of other
9 acceptance strategies reflected in the final report, because
10 of course, we don't know what it is going to be. But we
11 would like to be able to show the benefits of certain
12 acceptance strategies.

13 Now, further details of that--of those scenarios
14 presented in the previous chart are given here. Particularly
15 here where I wanted to focus on was the area required for a
16 repository to handle these scenarios. Now the long-term hot
17 scenarios, the group of four here all deal with non-aged
18 fuel. In other words average 26 years at emplacement. And,
19 the repository uses less than half--the emplacement area
20 required is less than half the 1250 acres. And it turns out
21 interestingly enough, that we use 33 foot spacing between
22 packages and that is just enough to fit the high level waste
23 package in between, so that all the high level waste can be
24 accommodated in this same area by just putting it in between
25 the waste package. The amount of extra heat that is added is

1 less than six percent, because obviously the high level
2 packages have a lot less heat output than the--only a small
3 fraction of heat output of the spent nuclear fuel.

4 If we aged above ground to provide the longer term
5 hot, this being typically 6,000 to 8,000 years, this being in
6 excess of 10,000 or 12,000, then we would have a higher
7 emplacement density, mass emplacement density and we could
8 use only this small fraction of the total area of the 1250
9 acres.

10 Now, on the other hand if we try to achieve the
11 cold objective, then we run up with unaged fuel, we have 2.75
12 times the 1250 acres and with aged fuel, 30 years aged fuel,
13 we have about 1.5 times the 1250 acres. And of course, the
14 SCP as it was designed just fits the 1250 acres.

15 Now, since I am talking about that I will skip out
16 of order slightly and go to what the map of repository looks
17 like as presented in the SCP as based on the Sandia technical
18 report which analyzed this.

19 This area here is more or less the small porkchop
20 that Hugh Denton showed in his talk yesterday. And, the 1250
21 acres comes if we take out what is nominally planned to be
22 the ESF area. Now the area up here plus down here the north
23 and south extensions and they bring it to a total of 2200
24 acres. If you will look at your charts you will see that at
25 the bottom there.

1 If you take off this northern piece here, that
2 drops it down to 1850. But we concentrated on this 1250 here
3 which is believed to be the best part of the repository.
4 These other areas that are shown here this sort of horseshoe
5 around the repository satisfies the requirement of being the
6 minimum overburden requirement for the repository. And, it
7 looks to be reasonably free of faults, although there is a
8 concern that there is significant faulting here, the
9 imbricate fault zone. And this may have some faulting too,
10 plus the fact that this area has the problem that it is not
11 contiguous. I mean it really is contiguous, but you don't
12 meet the overburden requirement here, so you have to either
13 get down lower or figure out some other way to get over it.

14 So if we take the entire horseshoe then we could
15 meet the requirements for the cold strategy without any
16 extended storage. But it is doubtful that the entire
17 horseshoe is going to be suitable. So that presents it in
18 the context, I think, of what is now known and understood
19 about the potentially feasible repository area.

20 DR. CANTLON: What extended storage would be required to
21 stay within the smaller area to keep the cold?

22 DR. GOTTLIEB: To stay within the smaller area.

23 DR. CANTLON: Yes. How much extended storage.

24 DR. GOTTLIEB: To stay within the smallest area would
25 probably then up the storage to 60 years or so.

1 DR. CANTLON: Sixty.

2 DR. GOTTLIEB: Yeah. The slide I showed here--pardon
3 me. This one here 1.5 times. This is storage for 60 years.
4 The average age if you stored it for 60 years would be 90
5 years. That would then bring this down to 1. That is what I
6 am saying.

7 This itself is for storage for 30 years.

8 DR. DOMENICO: Can you repeat the last conclusions? I
9 heard--it is not likely that the whole horseshoe can be used,
10 something to that effect. Does that mean--

11 DR. GOTTLIEB: That is not a conclusion. That is just
12 current thinking.

13 DR. DOMENICO: Is that the same as saying you really do
14 not have enough space for a cold repository unless the fuel
15 is aged for some what, 60 years or so? Is that the main
16 conclusion here?

17 MR. GERTZ: We don't know enough to say that we have
18 enough space--

19 DR. DOMENICO: No, I just heard something like that,
20 Carl. I think something about the whole horseshoe cannot be
21 used. Is that right?

22 DR. GOTTLIEB: Now, I didn't say it cannot be used. I
23 said there are questions. There are areas that are more--the
24 central porkchop looks like the most promising area. The
25 other areas are more questionable.

1 DR. DOMENICO: And that still is not considering the
2 fact that in the since we are not underground yet, we don't
3 know just how bad the material is gouged into any of those
4 faults and how much of that space is totally unusable because
5 of the geologic disturbances. Correct?

6 MR. GERTZ: That's the exact area. It is based on the
7 limited number of boreholes we have in those areas at this
8 time. And some geologists believe perhaps it is good enough.
9 Some geologist believe perhaps it--the probability is if you
10 look through all that, look at the geologic history, that it
11 may not all be useable. But there is certain probability
12 there that it could be all useable.

13 But we really don't know enough, I guess, Pat, is
14 what really what we are trying to say.

15 DR. LANGMUIR: Another question for you. We have had
16 quite a bit of discussion in the past about the potential of
17 enhanced cooling using something like heat pipe approach.
18 Has DOE discounted the possibility of using a heat pipe
19 approach to make it possible to put the waste closer together
20 and use smaller amounts of the repository block?

21 DR. GOTTLIEB: There are a number of cooling
22 methodologies of ventilation, et cetera, that have to be
23 explored, and that are being explored now as part of the MGDS
24 design. And part of that is being factored into our study.

25 In particular heat pipe is a performance assessment

1 thing, and as far as being specifically considered in this
2 study would come in in Phase II. That is still under
3 investigation. I don't know exactly where it stands.

4 Now to summarize very quickly, since I am running
5 over, the hot repository scenarios, which are feasible are
6 either blending at MRS and/or reactors with no particular
7 strategy of infilling or relocation in a repository. Or,
8 some blending at the MRS in reactors with, or no blending at
9 the MRS in reactors with the repository accomplishing the
10 levelizing by either infilling or variable package spacing.

11 And, the other note here is that since the area
12 requirements that I showed in a previous slide are less than
13 half of the 1250 acres for the 63,000 MTU, plus the 7,000
14 high level waste which you can fit in -- then you could
15 easily emplace the 86,000 in the 1250 acres. Now of course
16 we have to recognize that the NWPAA specifically states this
17 repository is only going to do 63,000. But that still is a
18 consideration, I think, so that is why we mentioned it.

19 And then the cold repository is summarized by these
20 two scenarios. Things to point out is that this 24,000 MTU
21 emplaceable means that is how much we can get into the 1250
22 acre narrow porkchop that I showed. And, even with the 30
23 year storage we could get 50,000 MTU emplaced. So, that is
24 why I would say that to get all emplaced within the 1250
25 acres with the cold strategy, we would need something close

1 to 60 years storage.

2 MR. GERTZ: Before you leave that would you put your map
3 back up. I just want to--I'll speak into your microphone.
4 You must keep in mind that our ramp going to the north is
5 about right here and our ramp going to the south is about
6 right here, if I draw that on. And that would certainly
7 provide us some opportunities to explore some of this area as
8 questionable as we start with our ESF, so the conclusions we
9 are making are based upon a few boreholes. We will know a
10 little more with that ramp. We still won't know much about
11 this area.

12 DR. DOMENICO: Gee, that seems like another good idea to
13 get underground, Carl.

14 MR. GERTZ: I want to get underground. I agree.

15 DR. PRICE: Dennis Price. I have a question here about
16 your OFF assumption. I think OFF assumption is good for
17 mosquito repellent but I am not too sure how good it is with
18 respect to a 26 year average emplacement age. You already
19 identified that you don't know what you are getting with it.
20 But, wouldn't a conservative assumption be that you are
21 going to get the hot stuff out of the pool?

22 DR. GOTTLIEB: Well, that is a possibility and that--our
23 final report will have that alternative in there. We are
24 going to address that. We have done that with our
25 Throughput Study and we will do that with this study.

1 DR. CANTLON: Have you completed your presentation.

2 DR. GOTTLIEB: Yeah. I've got a couple of more slides,
3 but it is not necessary.

4 DR. CANTLON: Go ahead and put it on.

5 DR. GOTTLIEB: We are late anyway.

6 DR. CANTLON: Discussions? Questions from the Board?

7 DR. DOMENICO: I've got an observation or a comment to
8 make that is mine; it is not the Board's. Maybe I'll try to
9 convince the Board to make this an official recommendation
10 later if I can convince them.

11 But I am not thrilled to see Yucca Mountain
12 converted into a geothermal area. Now it may be good for the
13 program. However, at times DOE has hired boards of
14 consultants to resolve certain problems, like the Szymanski
15 issue there were consultants. The DOE hired Al Freeze to put
16 together a group of consultants to address certain issues and
17 Al Freeze is a tremendous hydrogeologist and that was done
18 through Sandia.

19 It seems to me that there are not enough people on
20 this project, or not enough people working on this project
21 that have the physical, chemical background to assess the
22 coupling, hydrologic, geochemical mechanical aspects of
23 converting this region into like I said, geothermal region.
24 I hate to see the decision made on the basis of systems
25 analysis. I would like to--I mean systems analysis--I think

1 this would be a very good position for DOE to seek out some
2 leading consultant in physical phenomenon and let him put
3 together a panel of three or four people in certain areas,
4 mineralogy, chemistry, stress strain phenomenon and look at
5 this and give you a report like you have gotten with the
6 other major issues, because I think this is a major issue
7 that is not being addressed from the physical side.

8 Now, we have heard the umbrella effect, but that is
9 a model calculation. That's a model calculation in a rather
10 idealized environment. I think I would be much more
11 comfortable if we had people from the physical side that said
12 yes, it is okay to go up to 270 degrees C over this prolonged
13 period; we see no problem.

14 That is my suggestion. Again, that is just as an
15 observer looking at this. Because, I think this is very
16 critical point that is really not being addressed from the
17 physical side. From the modeling side, from the systems
18 analysis side, but now let's look at the physics of the
19 problem.

20 This may not be the right place to say this, Carl--

21 MR. GERTZ: And Pat, no, certainly we debate that within
22 the project as you are well aware. And we will certainly
23 take that idea under consideration, which--

24 DR. DOMENICO: If you need a few names, I'll be very
25 glad to get you started.

1 MR. GERTZ: Once again though, I think that then has to
2 balanced again and maybe they should ask the same question,
3 does that assure that it is dry for 10,000 years. Because,
4 if we can ensure it is dry for 10,000 years, we don't really
5 care much about the other characteristics. If no water gets
6 there we are in pretty good shape.

7 DR. DOMENICO: Well, I don't think it is good policy to
8 have a smoking mountain out there in the desert. I don't
9 think that that would lead to a lot of assurance. You know
10 what I am saying.

11 MR. GERTZ: When you say smoking mountain, I think of
12 a--

13 DR. DOMENICO: That sounds like a song doesn't it?

14 MR. GERTZ: I think you have to put in perspective that
15 57 kilowatts per acres is how many thousand watt lightbulbs.
16 You know, not to many. We don't want to give the public the
17 illusion that it is going to be a smoking mountain.

18 DR. DOMENICO: Well, I don't want to repeat myself, but
19 I mean I really think that it is being addressed from systems
20 analysis. It is being addressed from modeling. I think you
21 have got to put some physics on this. I think some good high
22 temperature chemists, some good physicists and good
23 mineralogist, people who are aware of geothermal areas, and
24 you have done this before on three or four major issues. And
25 nothing is more major than this.

1 MR. GERTZ: And of course that leads to the overall
2 performance, if we can assure it is dry, that enhances our
3 ability to meet the regulations, because water transport is
4 the question.

5 DR. DOMENICO: That's a different question. That is
6 your assumption. I am saying what is the physical effects of
7 achieving that? And--

8 MR. GERTZ: Does it compromise our ability to isolate
9 waste.

10 DR. DOMENICO: Does it compromise your zeolites--God
11 knows what it can compromise.

12 MR. GERTZ: I don't want to debate it much more, but we
13 don't need zeolites if it is dry. We don't have to worry
14 about them.

15 DR. DOMENICO: If you can be rest assured that it is
16 indeed dry.

17 MR. GERTZ: That's true. That's the key.

18 DR. CANTLON: Other questions from the Board?

19 DR. PRICE: I have a comment. I am just pleased to see
20 the studies in systems engineering and would like to make a
21 comment on the need to maintain a flexibility to absorb
22 throughout the process of convergence all of the inputs that
23 may come and that systems engineering not be a thing that
24 tends to freeze things up. Just like other things.

25 I did notice that, and it was even stated from the

1 speaker about certain things being within jurisdiction and
2 outside of jurisdiction. And this is a troubling aspect of
3 looking at the total system. We do have the problem of
4 jurisdictions and I think probably there is still prevailing
5 some compartmentalism even outside of the fence.

6 But on some of these issues that are especially
7 important to the utilities and notice that Bob Shaw indicated
8 they were doing some things along some similar lines in the
9 utilities. Is there a mechanism or could you develop a means
10 to have a very close cooperation such that you might not have
11 to end up saying there is four handlings. Of course, we did
12 not look at any of the handling inside the utilities. Just
13 kind of get past those barriers that stop you from taking the
14 complete look at some things. And I think it goes outside
15 the fence and inside the fence.

16 DR. GOTTLIEB: Well we certainly want to address that
17 issue, and we certainly before this study is over we will
18 have some utility input either through EEI or whatever. We
19 will have some utility input on the question of the
20 feasibility of blending at the utilities and so forth.

21 And I would like to point out that the only reason
22 for putting these boxes here is to show areas of
23 responsibility. The point is, the key thing here is
24 coordination. And these groups are all tied together and it
25 is not compartmentalized. And anything that gets done here

1 affects the whole system and we make that information known
2 immediately.

3 DR. PRICE: My idea may be idealized, but cooperative
4 levels such that you are able to identify the details of the
5 study in such a way that you call for the data you need and
6 they get the data and they know what the study is, and you
7 don't announce the results of the study to them, but they are
8 part of contributing to--certain parts--where especially
9 there is a great deal at stake for them.

10 DR. GOTTLIEB: Definitely.

11 I can say that most of this presentation has been
12 reviewed by this groups here and parts of it by this group.
13 So, we are in very close coordination, which represents a
14 joint product.

15 DR. CANTLON: Dr. Cording?

16 DR. CORDING: I wanted to go back to the general
17 comments that we have been making in the last two days. I
18 think that to some extent it may be preaching to the choir,
19 but I would just like make sure that we are working toward
20 being on the same page and same stanza of the book to carry
21 the analogy on.

22 It seems to me that regardless of the budget, we
23 need to treat the ESF tunneling as if it is on the critical
24 path, because I believe it is. I believe that nothing much
25 is going to happen in characterizing the site and we won't be

1 able to reach dates unless we start tunneling. And whatever
2 that budget is, it seems to me that we should consider what
3 it takes to get one TBM started say in FY'94, with enough
4 area, electrical, mucking capacity back up to do an efficient
5 operation. It has to be efficient to go some distance, of
6 course. But it seems to me we don't need to do certain
7 things like, and I would like to discuss this more with you,
8 but in things such as permanent portals that might be
9 designed for accelerations that are those for which the
10 repository has to be designed.

11 Then, just this personal perspective at this
12 point--

13 MR. GERTZ: I just need to stop you a second on that,
14 because our regulator doesn't necessarily agree with us on
15 that. That since the ESF would become part of the repository
16 and we have had this debate with them on these shafts, that
17 we believe we need to go through a full regulatory review of
18 that particular aspect of construction. But, you know, we
19 can debate that later.

20 DR. CORDING: I guess my point is that it is not that
21 one can't achieve that, but to do it before you start TBM
22 tunneling is something I would like to discuss with you more
23 and I am questioning.

24 The other is in regard to precedence of say
25 tunneling over additional dry drilling set ups. I think that

1 is something that I would like to get your opinion on the
2 DOE's reaction to that at some point.

3 And then the other is evaluating perhaps in a top
4 down way at some overview of how one can shift SCP testing
5 from surface to underground? How can that be done? It looks
6 like we have two-thirds of the testing budget on surface
7 based testing and when we are working towards a very
8 extensive platform underground that would serve, I think,
9 give us some opportunities that perhaps we haven't been able
10 to factor into the situation at this point. Those are my
11 prime comments.

12 DR. CANTLON: Other questions or comments?

13 DR. LANGMUIR: Just looking at your overhead
14 coordination among principal study participants, and I am
15 hoping and assuming that there is a secondary set of
16 participants that are built into this same loop. This is
17 coming back to what Pat Domenico had to say. But more
18 specifically, you talk about stress distributions,
19 temperature distributions, but I presume you also intend to
20 consider consequences of those distributions to waste
21 isolation, which means you are looking at all the other lab
22 organizations, the USGS, that deal with subjects such as,
23 well the waste isolation obviously. The source term, all the
24 ways we could impact the isolation of the waste as it relates
25 to the choice of thermal loading strategies. It has got to

1 be tied into the same loop. They have to be part of the
2 process all the way through.

3 DR. CANTLON: Other questions from the Board?
4 Staff?

5 Let's get Dr. North, first.

6 DR. NORTH: I'd like to give an overall impression and
7 I'll turn this into some questions.

8 I am delighted to see the extent of the systems
9 engineering that we have heard today. I share Dr. Price's
10 feelings about that. On the other hand I am struck with how
11 much more you need to do. How much we are hearing a first
12 phase and there are many, many issues for which we need to go
13 into much greater depth in order to get the insights.

14 As an example, the occupational radiation exposure
15 from the handlings. The one through four rankings seems
16 awfully primitive relative to getting at the issue. Really,
17 how do these strategies compare in terms of the very large
18 amount of dose that we are going to be subjecting the workers
19 to in one place or another.

20 I mean at this point we have a sketch. We don't
21 have a detailed analysis that really allows us to understand
22 that problem very well, and it would seem like communication
23 across the border to the utility industry on this issue, is
24 at a very preliminary stage if at all. There is work they
25 are doing that Bob Shaw talked about. There is probably a

1 lot more cooperation that could go on in this issue.

2 The point I am leading to is to commend you for
3 getting started, but noting that you are barely started.

4 Then, I am very concerned, I think we are all,
5 about the pressing 1998 date and the budget problems. And,
6 now that I understand what you are doing on Mission 2001, I
7 would urge that there be a follow on effort going back into
8 the study plans in detail and asking what do you need, and
9 when do you need it, with respect to performance assessment,
10 with respect to understanding the site suitability issue and
11 its relationship to the data you were going to obtain. And
12 then looking all the way to the license application.

13 And it seems to me you have to look at the
14 potential that the discussions you had with the NRC on the
15 site characterization plan may be quite out of date when we
16 are considering ramps versus shafts. And that you may want
17 to open up a lot of those discussions again and think about
18 what can you do against various time and schedule
19 limitations, spreading it out from one set of numbers on the
20 budget and one set of numbers with regard to the time, so
21 that there is a data base in place to reconsider this
22 program.

23 If in fact what happens is that the Congress is
24 simply unwilling to give you the money that comes up with the
25 budget that you have got and you have got that 1998 date

1 enshrined in law, you didn't make that. That was something
2 that was imposed on you. But, it seems to me that everybody
3 is going to be asked potentially, what is going to happen?
4 What do we do if the Congress doesn't decide to give you the
5 extra money you are asking for. And it seems to me that you
6 can only address that question reasonably if you go back and
7 look at the study plans and think out what information do you
8 need and when do you need it, and have an exercise that will
9 allow us all to look at that.

10 At this point, I can't judge based on the SCP and
11 the study plans and the performance assessment I have seen.
12 What is it that the program really needs to do? And is there
13 any reasonable alternative to the baseline strategy? So, my
14 question really is, what are your plans in this area and when
15 might we hear about various next stages on it?

16 DR. CANTLON: Maybe John can make that part of his
17 closing remarks.

18 Are there other questions or comments? From the
19 audience?

20 MR. NGUYEN: I am Tien Nguyen, I work for Bill
21 Lemeshefsky. With respect to some of the comments that we
22 have heard earlier regarding the need for closer cooperation
23 with the utilities such as things as universal containers,
24 some casks and others, I would like to comment that we have
25 been in very close touch EEI and their contractors.

1 Specifically, I have been in contact closely with Michael
2 Schwartz, one of the key contractors supporting EEI and the
3 EEI universal container task force. We have sent graphic
4 boards to him. We have set up the meetings between the EEI
5 universal container task force and our associate director for
6 storage and transportation Ron Milner.

7 I would also like to say that we have been in
8 touch--both we and the M&O system analysts people have been
9 working closely with the contractors supporting EPRI in their
10 evaluation of the uses of cask concepts. And personally, I
11 have had a good working relationship with EPRI's Bob Williams
12 and Ray Lambert the key people who I believe are sponsoring
13 this EPRI study on universal casks. I have known them for
14 seven years.

15 So, we have been coordinating with them on certain
16 aspects of this program. I would like just to clarify it for
17 you. Thank you.

18 DR. PRICE: Yes. But may I just make a comment that in
19 the presentation there was no presentation that was
20 coordinated between the utilities, who obviously have an
21 interest in a lot of things. In other words you presented
22 your thing and it stopped. Is it all feasible to end up with
23 what would be a joint report?

24 DR. CANTLON: Other comments from the floor?

25 MR. WILDER: Dale Wilder, Lawrence Livermore Lab.

1 I would like to comment or maybe try to put into
2 perspective a comment that was made about uncertainties. And
3 I certainly agree with the suggestion that we may need some
4 peer reviewing on some of these coupled processes.

5 The impression that I was concerned about was one
6 that was expressed that uncertainties are greater for the
7 higher thermal loading scenarios than for the cold. And I
8 need to be up front and point out that indeed we do not have
9 validated models at this point and our laboratory experience
10 is somewhat limited. So, what I am saying is based on a very
11 preliminary kinds of looks at the issues.

12 But one of the big uncertainties is the coupling
13 between the various hydrology/geochemical processes. We are
14 starting to look at some of those couplings, but I would
15 point out that if you are below boiling, you have a condition
16 where you not only are coupling rock water interaction, you
17 are also coupling with manmade materials, waste package
18 materials, shotcrete or whatever happens to be there.
19 Whereas, if you are at the elevated thermal conditions, you
20 are having rock water interactions, some farther beyond the
21 area where you have manmade materials present.

22 Our calculations show that within a very short
23 period of time, you are going to be moving the drying front
24 away from the manmade materials. Some preliminary
25 calculations show that we are looking at rates of somewhere

1 between 6 to 8 meters per year, movement of the boiling front
2 in the first year and so you are not going to have long
3 resident times. And of course, a lot of that coupling is not
4 only a function of the temperature, but also the residence
5 time.

6 Secondly, looking at some of the manmade materials,
7 once again very preliminary, we have not been funded except
8 through the international program to look at some of these
9 fundamental materials. But the unstable gel phase in
10 concretes becomes stable. I am not saying that the concrete
11 necessarily performs better, but at least the unstable gel
12 phases becomes stable at elevated temperatures. And so the
13 uncertainties once again are potentially reduced.

14 Hydraulic conductivity, orders of magnitude,
15 variation in hydraulic conductivity. Thermal conductivity
16 are a few times kinds of variations. And so if you get to
17 the point where you are dominating by thermal conduction
18 rather than by hydraulic conductivity, your uncertainties
19 will be decreased.

20 I guess I would also suggest that you consider
21 where are these processes taking place. If we do have the
22 rock water interaction taking place so that you do change the
23 hydraulic properties, in the extended thermal or the extended
24 dry out if I can use, that. I hate this hot/cold, because
25 cold isn't cold. But in the extended dry out, those kinds of

1 interactions are taking place well away from the waste itself
2 and you created a zone which can buffer not only hydrology
3 but also geochemical. So, I would caution you not to assume
4 that uncertainties are worse in the elevated thermal case.

5 Thank you.

6 DR. CANTLON: Other questions?

7 DR. DOMENICO: I guess those were addressed to me.

8 We have heard those arguments before and we don't
9 disagree with those arguments at all. But, I think also we
10 have to keep in mind that you have made the key--the key word
11 as our model calculations show. And I think a lot of your
12 heat transfer calculations are done on conduction alone and
13 don't have convection built in those models, unless I don't
14 know anything about the later models. So, I am not quite
15 sure that convection is in there. But, like I said, we have
16 heard those arguments before.

17 And you might have noticed that in our last report
18 we did not come out and say your hot repository was no good.
19 We didn't say that at all. We said we would look at it. I
20 just thought that at this stage, as I will mention again
21 without beating a dead horse here, that some of the basic
22 physics and chemistries as it affects the rock and the
23 coupled phenomenon should be examined.

24 Because, when you say it is dried out, that will be
25 the result of a model calculation.

1 MR. WILDER: That is correct.

2 DR. DOMENICO: You see your model calculation say it is
3 going to be dry and I don't trust model calculations.

4 MR. WILDER: My comments really were not addressed
5 directly to you. They were addressed to an earlier comment
6 that had been made about uncertainties. And I do not
7 disagree with you that we have got to do something to get a
8 handle on these models. I really appreciate the comments
9 that the Board has made about needing to get underground,
10 because we have got to validate these models.

11 By the way, our calculations are not only
12 conduction. We have done some calculations looking at
13 convection as well. We have compared them with the, although
14 it is very limited, the field experience at G Tunnel. And
15 so, thanks.

16 MS. HARRISON-GIESLER: I am Diane Harrison-Giesler,
17 Department of Energy, Yucca Mountain Project, and I will
18 address Dr. Domenico.

19 I just wanted to just sort of in defense of the
20 project as was presented at the October meeting to the full
21 board that we have been evaluating the physical impacts of
22 the thermal load on the geochemistry and the geohydrology and
23 the biological impacts to whatever the surface of the
24 repository, on the ground surface. So, we have been doing
25 the work that we have been able to do at this point. I don't

1 want you to be left with the impression that we haven't been
2 looking at that.

3 And the results of those studies will most certainly be
4 a part of the decision as to what temperature the repository
5 would be.

6 DR. CANTLON: Other comments?

7 DR. DOMENICO: Domenico, one last word here.

8 Again, I think that is fine that DOE is doing that.
9 I think--frankly I think this is a big enough issue like the
10 issues that Freeze looked at or the issues that we tried to
11 resolved satisfactorily the Szymanski problems, it should be
12 looked at by an outside group. And that is my idea of an
13 outside consultant. It should be looked at by an outside
14 group.

15 DR. CANTLON: All right, if there are no more comments
16 or discussion, let's hear from Dr. Bartlett.

17 DR. BARTLETT: Oh, I would like to take a whack at the
18 last word of the smoking mountain.

19 DR. DOMENICO: That's a John Denver song.

20 DR. BARTLETT: I agree it is certainly significant. And
21 was indicated we are looking at it now and undoubtedly it
22 will be the subject of a dedicated group, let me say.

23 There is a dedicated group right now that is called
24 the NRC, Nuclear Regulatory Commission. It might be
25 beneficial for us to do the same thing, but I would like to

1 ask Pat a question back. And that is, at what level of site
2 characterization data would such an evaluation be
3 appropriate? Because as was indicated the present level is
4 low. We don't have a lot of data. We would have to do a lot
5 of extrapolation.

6 I think frankly at first guess, we would have to
7 have a pretty complete data set to make such an evaluation
8 worthwhile. In other words, it can't occur until we are well
9 into the data acquisition and data interpretation phase.
10 First guess, but we can dialogue on that.

11 Another response, if I may. ESF uber alles, I can
12 give you the short course on intense political pain.
13 Because, I have been there. I did this a year ago. Out of
14 what I believed was necessity, I delayed the ESF for lack of
15 funds. And I have been suffering the consequences of that
16 ever since, and as you know we may be facing an intense lack
17 of funds again in the coming year.

18 The fundamental basis for the decision last year
19 was simply we cannot destroy infrastructure for the program,
20 no matter what the funding level if the program is to
21 continue. We may change the program, but as the program is
22 presently constructed under the guidance and requirements
23 from the Congress and from the Secretary, we can not just ESF
24 uber alles, arbitrarily without destroying something perhaps,
25 depending on the funding that is available. We wind up with

1 a different program.

2 And, depending on what funding we do receive in
3 fiscal '93 we will see what actions we have to take.

4 I could not agree more that there is nothing more
5 significant and symbolic of progress than getting started
6 underground. I think we all know that. But as a prudent and
7 responsible manager of the entire program, looking at as I
8 mentioned to you back in January, these dual goals of equal
9 rank, et cetera, I have to take all of that into
10 consideration. I assure you I will and we'll see what
11 happens.

12 Now, let me summarize what I think we have tried to
13 accomplish in the last day and a half with you. Basically,
14 from my point of view, I think that we tried to accomplish or
15 present to you five basic things of material over the last
16 day and a half.

17 First of all an emphasis that the program is in
18 fact focused on getting results. We are not just studying
19 things, we are trying to produce results in accordance with
20 the requirement of our mission, the Secretary's plan and
21 everything else.

22 Secondly, and this is in response partially to Dr.
23 North's comment, the second point as I wrote it down. We are
24 taking a very careful look at what results are needed. And,
25 we are in fact, as was indicated in the presentations looking

1 at this question of the scope of work required, updating it
2 in order to have it more focused and more timely in terms of
3 things that might have changed since that initial scope of
4 data requirements was established back in 1988.

5 Thirdly, we are developing the means to produce the
6 results. And two key things about that were presented to
7 you. First the convergence concept for the operations and
8 the management of the process of producing results
9 effectively. The interfacing of all these operational
10 functions that have never had to be interfaced before in any
11 kind of project, that is what the convergence is all about.
12 How do we make the process of producing results happen?

13 And secondly, a very important thing, it tends to
14 get overlooked, the concept of baselining, driving an anchor
15 and it ain't perfect to begin with but it is the starting
16 point and then the change control board so you have the
17 system of traceability and accountability that we must have
18 to indicate where we have been and how we got to where we are
19 going with the results.

20 The fourth major point, through the system studies
21 we are producing the basis for some of the key decisions.
22 And as was indicated we are really just at the beginning of
23 some of the significant system studies that will guide and
24 provide part of the basis for key decisions. I would just
25 remind the Board that the bases for decisions are not just

1 purely technical in many cases. But these studies will
2 provide clearly part of the bases for defensible decisions in
3 the future. And we are trying of course to keep the system
4 studies paced with progress and the rest of the program.

5 A final point, I hope it is evident to you, it is
6 to me, that the M&O is in fact actively and effectively
7 engaged in transitioning and it is in transition into its key
8 role of program management and integration. It is still a
9 moving aspect. Many things are not yet complete. But, they
10 are moving toward our goals and they are very effectively
11 taking on some of the responsibilities in value added way
12 that we were looking for, and we will of course be engaged in
13 the transition for approximately another year. And then
14 when we get to steady state, I hope we will be effectively
15 producing these results, the key role played by the M&O and
16 with our convergence process and everything else operating in
17 an effective way.

18 I would like to thank the Board, very much again
19 for the opportunities and the insights, the guidance that you
20 do provide to us. We very much appreciate it. Thank you for
21 the meeting.

22 DR. CANTLON: Thank you, John.

23 I'll respond, but let's hear from Nevada first,
24 though.

25 MR. FRISHMAN: I want to thank you for allowing me to

1 make a few comments and we had asked for this opportunity
2 about a month ago, I guess.

3 I would like to welcome all the continuing and the
4 new Board members to my continuing saga of end of the meeting
5 runs of thoughts.

6 Today I wanted to talk about a couple of specific
7 things that I noticed in your fifth report that came out in
8 June. And they represent, I think something new, I think
9 maybe inadvertent, I am not sure. But I wanted to point it
10 out to you, because I think it is important to point out
11 because you may have sent some signals, that you didn't
12 intend to send, and if you did intend to send them, I would
13 like to try to persuade that maybe you shouldn't have done
14 that.

15 If you look at in your report in the discussion of
16 seismicity and I noticed this before the recent events, so I
17 think it is--maybe other people think that the seismic events
18 were highly fortuitous, well it was serendipitous here.

19 You point out in your remarks regarding seismicity
20 that you say: "In general, however, the Board views
21 earthquake related vibratory ground motion as primarily an
22 issue of appropriate design and construction rather than an
23 issue of site suitability."

24 Now where I take issue and you will see how I get
25 to this, is you are saying that it is not an issue of site

1 suitability. You do it again in another area. You do it in
2 the area of thermal mechanical effects. You say: "Thermal
3 mechanical effects for any strategy appear to be repository
4 design concerns rather than suitability concerns."

5 I take issue with that again, partly because of the
6 statement that the use of the concept of suitability and
7 partly because if you go back to your fourth report in
8 December, speaking on the same issue, you say: "To
9 investigate many of the thermal mechanical effects properly,
10 sophisticated instrumentation using new technology will be
11 required. This instrumentation should be tested in an
12 underground environment over the expected range of
13 temperatures prior to its full scale use. The results of the
14 G Tunnel test of thermal mechanical behavior of rock and
15 fluid gas conducted at Ranier Mesa in the '80s were
16 informative but not definitive. The G Tunnel test provided
17 an initial shakedown of procedures and equipment and provided
18 experimenters with some experience in working underground.
19 But the tests were terminated before the prototype testing
20 was advanced enough to be able to develop and evaluate
21 revised testing strategies."

22 So, I believe you are maybe even a little
23 inconsistent with yourself in this point. Now let me show
24 you what I mean about saying that it is an engineering issue
25 rather than a suitability issue. Let's go to the preclosure

1 guideline on seismicity.

2 This is the disqualifying condition in tectonics
3 and if you look at that disqualifying condition, you see that
4 it is essentially an engineering based disqualifier in the
5 first place. Now, for this reason alone, if you have a
6 disqualifier as part of the guidelines and the purpose of the
7 guidelines is to determine site suitability, then to
8 eliminate an issue from a suitability determination and say
9 that it is merely a matter of how the engineers fix it, not a
10 matter of whether the site itself is suitable or available
11 for application of engineering fix, I think in itself it is a
12 violation of the Secretary's only standard for determining
13 suitability.

14 Now, let's look inside this guideline, this
15 qualifier for a minute. You see the use of the words
16 "reasonably available technology". The Department of Energy
17 in the guidelines had defined "reasonably available
18 technology". "Reasonably available technology, means
19 technology which exists and has been demonstrated, or for
20 which the results of any requisite development, demonstration
21 or confirmatory testing efforts before application will be
22 available within the required time period."

23 Now given what we all know and a lot of what you
24 have heard over the last day and a half, regarding the
25 uncertainties both in how to study the site, never mind what

1 we know about the site or can know about the site, and also
2 the uncertainties in the Department's approach to thermal
3 management which is strictly an engineering approach, whereas
4 the NRC looks at thermal loading primarily as an adverse
5 condition.

6 If you take all of that together then, look at the
7 definition of reasonably available technology, link it into
8 this, I think that it is premature and probably improper to
9 say that seismicity is not a suitability issue. And I think
10 it is the same to say for thermal mechanical effects.

11 Now, I hope you are following my logic on that and
12 I guess what I am trying to do is suggest that from the
13 standpoint of your reports, it probably does not serve well
14 to make these kinds of statements that then can be
15 essentially adopted by your audience; the Secretary of
16 Energy; and, the Congress. It is premature, and I think it
17 does a disservice. And I am trying to point it out to you in
18 a reasonable and logical way based on the context within
19 which we all have to work, which is the guidelines at this
20 point.

21 The other reason that I point it out is that, and
22 we have been through this discussion before, both on an
23 individual basis and as a group, is that I don't believe that
24 your discussions of suitability are really within your
25 statutory charge. I think your statutory charge is a

1 different one. And, that charge, may I read it to you again?
2 I know we heard it at the beginning of the meeting, but I
3 would like to read it to you again.

4 "The Board shall evaluate the technical and
5 scientific validity of activities undertaken by the Secretary
6 including site characterization activities and activities
7 relating to the packaging or transportation of high level
8 radioactive waste or spent nuclear fuel." It doesn't say
9 anything or include in your charge the necessity or maybe
10 even the responsibility for saying anything about whether the
11 site itself is suitable. It speaks to your recognized and
12 appointed expertise in overseeing the Department's technical
13 and scientific program.

14 And I urge you to continue to consider these
15 statements that I have been making to you over the years on
16 this very subject. And I think over the past couple of days
17 we have seen your application of that expertise in a very
18 good way in terms of the probing questions that you have been
19 asking about some of these presentations.

20 I think the suitability issue you know as well as I
21 do is extended way beyond the technical and scientific
22 validity of the Department's work and I would suggest that
23 your inquiry is at least--from an official standpoint is best
24 confined to the scientific and technical, since the rest of
25 it we all know is the tar baby that we are stuck with.

1 Now, let me go on and make another point that I
2 think I need to convey to you. It is in line with just what
3 I have been pointing out. That is that I did appreciate in
4 your report the approach that you took to focusing on one of
5 the major technical and scientific unknowns of the program,
6 and your strong encouragement that there be some immediate
7 and very rigorous effort put into trying to understand that
8 particular element because it is such a driver in the entire
9 program. And all the way through the system, not just at the
10 level of disposing. Although, I think, or I hope most of us
11 agree that the disposal site, if there is to be one should be
12 the primary consideration in the thermal management exercise.

13 Now, I heard and I guess a comment that disturbed
14 me very greatly this morning from Dr. Bartlett and it came as
15 a result of Dr. Price beginning to question and getting
16 almost up to asking or making an observation that really is
17 one of the problems that we are seeing. And you almost asked
18 but didn't, so I will. What is the scientific and technical
19 effect of the firm milestones of this program?

20 You have the 1998 date, everyone has been working
21 very hard with that over the last day and a half. And I
22 think a lot of your questions collectively sort of went in
23 the direction of saying, well, and someone did ask directly
24 at one point, if you didn't have that would you be doing this
25 differently? And the answer was yes. We would be looking at

1 different things. We would be looking at them in different
2 order. We would have time to look at them in a different
3 way. We would have time to consider more variables.

4 The thing that John said, disturbed me enough to
5 want to point it out and then make a suggestion to you. John
6 pointed out that a technically optimal option for the system
7 may not be the one that is adopted, because of the need to
8 get on with solving this national problem. That is very
9 disturbing to me. That drives the--it hammers home the
10 impact of the schedule.

11 It hammers home what we believe in Nevada to be a
12 functional decision that the repository site is Yucca
13 Mountain in spite of all the protesting that we are only
14 studying it. That single attitude and the reflecting the
15 firmness of this schedule and as you all see, right now in
16 the midst of a total rebuilding of the program, that attitude
17 alone may be the most dangerous thing that I have seen for
18 ultimately safely handling this waste that I have seen in a
19 long time in this program.

20 Now, what I would suggest because of the importance
21 that I see in just having analyzed this small piece of what
22 was going on here, I really would like to propose and I think
23 this is something in line with at least the suggestion that
24 has sort have been unspoken at the table. I would like to
25 propose that you consider for your next report continuing

1 with the approach of at least a major portion of the report
2 being focused on a single topic.

3 I would like to propose that you investigate in
4 that next report the impacts and importance to science and
5 technology and the validity of the Department's scientific
6 and technical program and activities relative to the
7 immovable milestones of 1998 and 2010. I think that may be
8 the most valuable contribution that could be made right now
9 given the speed at which the M&O contractor is working
10 through revising this program to a massive extent, if you
11 notice. I noticed. And the speed at which some decisions
12 are going to have to be made.

13 We see a looming MRS decision that is driven by the
14 1998 date. We see the complications in some cases that the
15 MRS throws into the system. We do not have unanimous belief
16 in the country and among any of the players that an MRS is
17 really necessary in the system to do anything other than to
18 meet that 1998 date.

19 So, I would suggest that I think it became clear,
20 at least to me, that there are some major scientific and
21 technical impacts that are being caused solely by this one
22 issue of immovable deadline. And I think maybe since you
23 report to the Congress and since you report to the Secretary,
24 the Congress and the Secretary are solely responsible for
25 those dates. I think maybe the service that can be performed

1 next within the next six months is your applying your
2 expertise to what you think those impacts are and reporting
3 them to the decision makers.

4 I guess that is enough again for this time, and
5 thank you for the time to make this presentation and I really
6 do urge your serious consideration in this area.

7 DR. CANTLON: Thank you, Steve.

8 The Board operates of course as a Board and it is
9 not pertinent and correct for an individual to respond to
10 questions. We don't respond to DOE's questions on our
11 recommendations, immediately. We sit back and cogitate. So
12 we will take your recommendations and comments under
13 advisement and get back to you later.

14 John, did you want to make any response?

15 DR. BARTLETT: If I may, Mr. Chairman.

16 Steve is basically asking are the milestones
17 compromising science? No, they can't, because if we tried to
18 compromise the science and do less work to the milestones we
19 would get trapped when we got into the licensing reviews.
20 The results would be just flat out found inadequate. So far,
21 what we have assessed is that we are not in a position where
22 I have to go to the Secretary and say, we are not going to
23 make it, because we don't have enough money at a high enough
24 level to stay on schedule. We are getting very close to
25 that. But that has been the situation so far.

1 There is just no way we can compromise the quality
2 or the scope of work essential to meet the requirements of
3 licensing reviews. If we do get in a situation where the
4 funding is in our opinion not sufficient to do that amount of
5 work, by the milestones, they will slip. We are being
6 driven of course that we are under--one of the milestones is
7 a contract milestone. And it is also a legislative
8 requirement.

9 So, that's the driver and that is the kind of
10 problem that the Department overall faces, why the milestones
11 are maintained as strongly as possible, but we internally of
12 course evaluate what is the scope of work required to meet
13 that and then what are the implications of the resources we
14 get to accomplish that scope of work.

15 There is no way that the milestones can compromise
16 either the quality or quantity of work necessary to get the
17 work done.

18 MR. FRISHMAN: I would like to respond to that if I may
19 just very quickly in two areas.

20 One is I just happen to notice one thing as it went
21 by quickly today in a presentation that maybe is not a
22 compromise, but it compromises the process. The very process
23 that John is most concerned about and that is his
24 accountability to the Nuclear Regulatory Commission and
25 licensing.

1 the deadline and the milestone, John says, you know we have a
2 contractual obligation. Well, in a recent letter from the
3 Secretary of Energy to Alan Keesler, he told Alan Keesler,
4 who I think we can all accept as maybe representative of the
5 nuclear utilities right now, he told Alan Keesler the
6 Department General Counsel had determine that they are not
7 bound to performance in waste acceptance by 1998. Or they do
8 not believe that they are.

9 So, if they are not bound, then how serious is this
10 deadline that is turning out to be from my point of view a
11 drop dead to a lot of parts of this program. And also, is
12 driving the most contentious part of this program, which is
13 the perception that Yucca Mountain is the site, because if it
14 isn't the whole program goes on its ear beyond where anyone
15 is willing to have it go who advocates that we need to go to
16 geologic disposal as early as possible.

17 Those are my two responses and I think they need to
18 be considered in line of what John has said, because what
19 John said is the same thing he always says.

20 DR. CANTLON: Thank you, Steve.

21 MR. FRISHMAN: Thank you.

22 DR. CANTLON: Well, we want to thank DOE and its
23 representatives here and the M&O group for what we think has
24 been a very, very excellent set of presentations. I think
25 this brings to the Board a kind of overview that we have felt

1 we needed to guide our examination of some of your more
2 detailed work. Where does it fit in both in terms of time
3 and process and so on.

4 Again I want to commend the individual speakers for
5 an excellent set of thoughts and content, very high in
6 quality. So, we look forward to step number two.

7 Thanks very much.

8 (Whereupon, the meeting was concluded.)

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1

2

3