

NUCLEAR WASTE TECHNICAL REVIEW BOARD

SPRING BOARD MEETING

LESSONS LEARNED IN SITE ASSESSMENT FOR CRITICAL FACILITIES

SATURATED ZONE HYDROLOGY

SITE CHARACTERIZATION UPDATE

Reno, Nevada  
April 12, 1994

BOARD MEMBERS PRESENT

Dr. John Cantlon, Chairman, NWTRB  
Dr. Clarence R. Allen, Session Chair  
Dr. Garry D. Brewer, Member  
Dr. Edward J. Cording, Member  
Dr. Patrick A. Domenico, Member  
Dr. Donald Langmuir, Member  
Dr. John J. McKetta, Member  
Dr. D. Warner North, Member  
Dr. Dennis L. Price, Member  
Dr. Ellis D. Verink, Member

INTERNATIONAL GUESTS

Dr. Harald Ahagen, Swedish National Council  
for Nuclear Waste, KASAM  
Dr. Camilla Odhnoff, KASAM  
Dr. Klaus Kuhn, University of Underground Research, GSF  
Dr. Walter Harris, University of Alberta

SENIOR PROFESSIONAL STAFF

Dr. Sherwood Chu  
Dr. Carl Di Bella  
Dr. Daniel Fehringer  
Dr. Daniel Metlay  
Dr. Russell McFarland  
Dr. Victor Palciauskas  
Dr. Leon Reiter

NWTRB STAFF

Dr. William Barnard, Executive Director, NWTRB  
Mr. Dennis Condie, Deputy Executive Director, NWTRB  
Ms. Karyn Severson, Congressional Liaison  
Ms. Nancy Derr, Director, Publications  
Ms. Paula Alford, Director, External Affairs  
Mr. Frank Randall, Assistant, External Affairs  
Ms. Helen Einersen, Executive Assistant  
Ms. Linda Hiatt, Management Assistant

I N D E X

|   | <u>PAGE NO.</u> |
|---|-----------------|
| <b>Introduction to Saturated Zone Hydrology Session</b>   |                 |
| Pat Domenico, Session Chair, NWTRB . . . . .  | 283             |
| <b>National Environmental Policy Act: State of Nevada Issues and Concerns</b>                           |                 |
| Robert Loux . . . . .   | 284             |
| Nevada Nuclear Waste Project Office   |                 |
| <b>National Environmental Policy Act Considerations</b>   |                 |
| Steve Frishman . . . . .  | 297             |
| Nevada Nuclear Waste Project Office   |                 |
| <b>Introduction for DOE Saturated Zone Presentations</b>  |                 |
| Russ Patterson . . . . .  | 317             |
| Yucca Mountain Site Characterization Office   |                 |
| <b>Overview of Yucca Mountain Saturated Zone</b>  |                 |
| Richard Luckey, USGS . . . . .  | 321             |
| Kenzi Karasaki, LBL . . . . .   | 343             |
| <b>Geochemistry of the Yucca Mountain Saturated Zone</b>  |                 |
| William Steinkampf, USGS . . . . .  | 356             |
| Zell Peterman, USGS . . . . .   | 369             |
| <b>The Role of the Saturated Zone in Waste Isolation or What If We Get An Individual Dose Standard?</b> |                 |
| Michael Wilson, SNL . . . . .   | 381             |
| <b>Evaluation of Ground-Water Travel Time</b>   |                 |
| Jean Younker, TRW . . . . .   | 400             |
| <b>Alternative Conceptual Model of Saturated Zone Flow System</b>                                       |                 |
| Linda Lehman . . . . .  | 419             |
| L. Lehman & Associates, Inc.  |                 |
| <b>Update on Faults at Yucca Mountain</b>   |                 |
| Richard Spengler, USGS . . . . .  | 433             |
| <b>Update on the Exploratory Studies Facility</b>   |                 |
| Robert Sandifer . . . . .   | 461             |
| Duke Engineering Services, (M&O)  |                 |
| <b>Focused Mined Geologic Disposal System/Advanced Conceptual Design Status and Update</b>              |                 |

Dean Stucker, YMSCO . . . . . 473

I N D E X  
(Cont.)

**Update on Thermal Loading Study**  
Steve Saterlie, TRW (M&O). . . . . 489

**Public Comment** . . . . . 506

**Closing Remarks and Adjournment**  
John Cantlon, Chair, NWTRB . . . . . 525

P R O C E E D I N G S

1

2

8:30 a.m.

3

DR. PATRICK DOMENICO: Good morning and welcome to the  
4 second day of this meeting of the Nuclear Waste Technical  
5 Review Board. My name is Pat Domenico, and I will be the  
6 moderator of today's session.

7

Today's agenda covers three basic areas. First,  
8 we'll hear from the State of Nevada about its concerns with  
9 environmental issues. Then we will turn our attention to the  
10 main topic of today's meeting, basically a review of the  
11 saturated zone at Yucca Mountain. Finally, we will hear some  
12 updates from the Department of Energy and its contractors on  
13 progress on the Yucca Mountain site characterization and  
14 repository design activities.

15

If you have an agenda or a schedule before you,  
16 forget it, there's been some changes. First of all, you may  
17 notice on the agenda that we have three discussions of the  
18 saturated zone at Yucca Mountain, one by Marty Mifflin, a  
19 second one by the Department of Energy, Russ Patterson will  
20 introduce those presenters, and a third by Linda Lehman who  
21 has an alternative approach to the saturated zone.

22

Unfortunately, Marty could not make it today, some  
23 personal problems, and so we have to get away with that, so

1 if we had the Father, the Son and the Holy Ghost, the father  
2 is missing today and we'll try to get by with the other two.  
3 And the other change is at the beginning of the program, two  
4 representatives of the State of Nevada will talk to us. Bob  
5 Loux will give us a few words on his ideas of the interim  
6 storage in Nevada, and then Steve Frishman will talk on the  
7 National Environmental Policy Act for the State of Nevada.

8           So with that, I think my agenda says we should  
9 first call on Bob Loux for the initial statements on interim  
10 storage in Nevada. I think I got it right. Is that right?  
11 Bob, are you here?

12         MR. LOUX: Yes, I'm here. Thanks.

13           Thank you very much. Chairman, members of the  
14 Board, thank you for your invitation to be here. As I think  
15 Pat indicated, we've got a couple agenda items we'd like to  
16 talk about somewhat briefly this morning. One is the issue  
17 of the National Environmental Policy Act as it relates to the  
18 project and as it's embodied in the Nuclear Waste Policy Act,  
19 and Steve Frishman from our office will talk about that in a  
20 moment.

21           I was going to this morning, as indicated, talk a  
22 little bit about MRS and interim storage issues briefly.  
23 And, of course, I'd be happy to talk about any other issues  
24 of concern. I know that there's been some other recent  
25 developments in the program, both from our side and DOE's,

1 that I'd be happy to comment on if that was of interest.

2           In preparation for today, Bill had talked to me  
3 about the MRS issue, and as a result, I had provided him with  
4 copies of a report completed by Jim Davenport, who is an  
5 attorney with the State of Nevada. And this was a report, or  
6 a minority report, that emanated from the recent NARUC  
7 dialogue on interim spent fuel that was conducted late last  
8 year and early this year, resulting in a NARUC report that  
9 was finalized at the recent meeting in February.

10           I mention this report because this is the report  
11 that Senator Johnson most recently in hearings held up as a  
12 call for renewed interest in legislation regarding MRS. And  
13 as you may know, the NARUC report attempted to make a case  
14 that on site storage, MRS, on an existing federal site had  
15 some particular merit. The minority report done by Jim  
16 Davenport that I distributed I think effectively countered  
17 nearly all of the arguments that NARUC, the small NARUC group  
18 made regarding the viability and desirability of using an  
19 existing federal site for an MRS or interim storage. And I  
20 provide that to you merely for background. I don't really  
21 mean to speak about it, but I'll be happy to answer any  
22 questions.

23           The State of Nevada has been involved with looking  
24 at the MRS or interim storage issue for a number of years,  
25 and the most formal policy that the state has on this issue

1 is one that's been embodied in Western Governors Association  
2 Resolutions, which have been in place for the last three or  
3 four years relative to this issue.

4           Governor Miller sponsored a resolution which was  
5 adopted by the WGA first in November, 1991, which made a case  
6 against an MRS, especially an MRS in the west, citing  
7 principally the position that it's largely unneeded due to  
8 the advances that have been made in on site dry storage  
9 technology at reactor sites, as well as the NRC's waste  
10 confidence proceedings and their conclusions that on site dry  
11 storage at reactor sites incrementally up to perhaps as long  
12 as 100 plus years is a safe and viable alternative in the  
13 short-run for geologic disposal.

14           This resolution has been recently readopted, in  
15 fact June a year ago in Tucson led by Governor Andrews, the  
16 20 or 21 western governors again unanimously adopted a  
17 resolution concluding that an MRS in this system is largely  
18 unnecessary from a number of vantage points. And so the  
19 State of Nevada's position has been reflected in these  
20 resolutions. Formally, it is the state's position that,  
21 first of all, MRS is unnecessary. There is, as I mentioned,  
22 demonstrated safe and economic on site dry storage, and of  
23 course the NRC and others' confidence that such storage is  
24 safe for many years.

25           The western governors, and particularly the



1 governor of the state believes more importantly, I think, or  
2 as importantly, that an MRS, especially an MRS on a federal  
3 site in the west, is not only unfair from sort of an equity  
4 perspective, but creates a number of problems, especially in  
5 the transportation area, looking at the large numbers of  
6 states that could be affected via transportation to a western  
7 MRS, and especially even one in Nevada could impact as many  
8 as 45 states with transportation routes through them at one  
9 point or another.

10           I think in the same vein relative to  
11 transportation, and especially again as it relates to  
12 Southern Nevada, the issues associated with transport,  
13 especially in the rail transport area, are particularly acute  
14 with perhaps the need for a hundred or more miles of new rail  
15 line to the site at NTS or Yucca Mountain, since neither  
16 right now are served by rail. And the likelihood, as I  
17 recall from the environmental assessment that was done on  
18 Yucca Mountain by the Department of Energy in 1986, the Yucca  
19 Mountain site was, of all of the sites under consideration,  
20 was by far the worst from a transportation perspective.

21           Moreover, I think there's a number of technical or  
22 licensing problems that might arise relative to a Southern  
23 Nevada, either on the Nevada test site or Yucca Mountain, MRS  
24 seismic perhaps background, radioactive elements, and  
25 certainly some issues related to compatibility with the other

1 emissions currently at the test site.

2           I guess lastly, let me conclude by telling you  
3 something that you know already, that first of all, an MRS or  
4 an interim storage facility is illegal under federal laws as  
5 currently drafted and in place, but as you know and has been  
6 announced in the press on numerous occasions recently, that  
7 Senator Johnson and others are contemplating legislation  
8 which may likely either remove that prohibition or in some  
9 way alter it, perhaps making it not illegal to have such a  
10 facility in the State of Nevada.

11           Moreover, let me remind you as I've been reminding  
12 others, that there is still an existing state law adopted by  
13 the Nevada legislature in 1989 which makes the storage or  
14 disposal of spent fuel or high level radioactive waste  
15 illegal under state law. And as you may recall, those laws  
16 came into play during the state's legal actions that were  
17 taken in late 1989, 1990 relative to our contention that the  
18 amendment had vetoed or had selected Yucca Mountain as a  
19 repository site. As you know, during that period of time, of  
20 course, the issue of permits for work relative to repository  
21 program came into play and were the subject of much  
22 discussion, both on the Hill and otherwise, and as you know,  
23 those issues were resolved in the spring of 1991, not only  
24 when our legal action was completed, but I think by and large  
25 when GAO concluded that the state's actions really had no

1 bearing whatsoever on DOE's access to the site.

2           I only mentioned that issue because if in fact  
3 Congress does move next year, as been advertised, to either  
4 alter the law to remove the prohibition or in fact name an  
5 MRS site in Nevada, there are many in the state who would  
6 welcome the opportunity to get back into court on those  
7 issues, and we believe such action would make that litigation  
8 ripe again relative to the constitutional issues that the  
9 state does intend to raise, either on an MRS issue or on a  
10 repository issue, whichever comes first, so to speak. And  
11 likely the other issues that I spoke of relative to permits  
12 and others certainly may come into play as well.

13           So while there may be an attempt and perhaps even a  
14 successful one to remove the current prohibition about MRS in  
15 Nevada, the state law that was in place since 1989 becomes  
16 ripe, and as I mentioned, many are anxious to use that to get  
17 back into court with the Department and the federal  
18 government over the MRS issue.

19           But having said that, clearly the State believes,  
20 in conclusion, that the MRS is unnecessary from a number of  
21 perspectives. It certainly does not provide any advantages,  
22 as once been advertised that it might in the system, and  
23 clearly in our mind violates at this point in time both  
24 federal and state law.

25           With that, Mr. Chairman, those are the issues I

1 really want to talk about with the MRS. I'd be happy to  
2 describe to you other activities that the State are involved  
3 with. I know that some of you have asked me more recently  
4 about a couple recent legal actions that the State has taken,  
5 and I'd be happy to talk about those if you would like, or we  
6 could move on to the other issues, depending on your  
7 preference.

8 DR. DOMENICO: Since we have a hole in the program, I  
9 think we would welcome those.

10 MR. LOUX: Let me address that and one other issue, and  
11 then I'll turn the presentation over to Steve Frishman.

12 The State, as you know, has been concerned for a  
13 number of years about the issues associated with deposits in  
14 Trench 14 as they related to various hypotheses put forward  
15 by Jerry Szymanski and others.

16 The lawsuit that was filed last week was, in  
17 actuality, an appeal of a decision by the district court in  
18 Reno regarding our interest in deposing scientists associated  
19 with concluding that such deposits were in fact deposited by  
20 rain water and not coming from the subsurface, as Jerry and  
21 other people have been maintaining.

22 We had an interest in deposing those members that  
23 served on the National Academy Panel that reached certain  
24 conclusions about those deposits, as well as certain DOE  
25 scientists, in order to preserve their testimony, preserve

1 their findings for use in licensing and other legal  
2 proceedings at some future point in time. And our concern  
3 was that the program schedule and others is so extended that  
4 some of that testimony and some of that expertise may in fact  
5 not be available some years down the road, and it was our  
6 interest in deposing those scientists who had reached certain  
7 conclusions in order that we could in fact preserve that  
8 testimony.

9           That argument that we raised in the district court  
10 in Nevada was not acceptable to the court and, hence, we are  
11 now appealing, in a sense, that decision to the Ninth  
12 Circuit, which was the action that was done last week.

13           This week, the attorney general filed another  
14 original action with the Ninth Circuit relative to the same  
15 issue, if you would, in the Ninth Circuit court. And that  
16 case really is one which takes exception to the Department of  
17 Energy's viewpoint that in fact all of the issues relative to  
18 the Trench 14 controversy has reached a conclusion and,  
19 therefore, DOE does not intend to actually expend any  
20 additional resources investigating that area or the issues  
21 surrounding that, and in some sense, the State believes that  
22 DOE has reached certain conclusions of suitability regarding  
23 that issue and we intend to at least challenge that decision  
24 and see where that might lead relative to the courts as well.

25           What I anticipate may happen is that if either one

1 of these are accepted by the Ninth Circuit, that they would  
2 likely be merged at some future point into the same lawsuit.  
3 But the most recent one has to do with, moreover, that DOE  
4 is not expending any additional resources on the issues  
5 associated with Trench 14, does not intend to, and by  
6 analogy, believe have reached certain conclusions about those  
7 that they don't intend to update, and in fact has reached  
8 some suitability determination relative to that particular  
9 narrow issue.

10           Those are the two issues that are currently pending  
11 right now in the court, and as I mentioned, if either one of  
12 them are acceptable, they likely would be merged into one  
13 lawsuit at some future point in time, I suspect.

14           Lastly, Mr. Chairman, let me just make one remark.  
15 DOE has been actively making presentations, not only to you  
16 but to others, both within the State and other locations,  
17 about options with the program that they envision may become  
18 necessary down the road, depending upon funding.

19           The State I guess is concerned about those issues  
20 and about a restructured program. It seems to us that every  
21 time the program reaches a certain point, a major either  
22 restructuring or reorganization, re-reviewing, comes along  
23 which ends up resulting in some new improved program to some  
24 degree. And I understand that the presentation you heard  
25 yesterday was substantially different than the one

1 essentially the state and local government heard a week ago  
2 in Las Vegas.

3           Nonetheless, all of this appears to us to be  
4 symptomatic of a program that is in some chaos. For example,  
5 the Department is unsure right now how much money it's going  
6 to get in the future, whether it's going to get the revolving  
7 fund that it's asking for via legislation. It doesn't appear  
8 to us that it's going to happen this year, and may in fact be  
9 brought up next year. But certainly a great deal of  
10 uncertainty about how much money it's going to get. There  
11 appears to be a great deal of uncertainty about what kind of  
12 program they're running, whether they're really continuing to  
13 run a repository program, or at some point next year, maybe  
14 attempting to run an MRS program, or in fact maybe running an  
15 MPC program or an MRS program. And all of these appear to us  
16 to be very symptomatic of the kinds of problems that the  
17 program has been experiencing I guess since the major  
18 destruction of the 1982 Nuclear Waste Policy Act that  
19 occurred.

20           As you know, the 1987 selection or amendments act  
21 selecting Yucca Mountain as the only site to be studied was  
22 advertised by Senator Johnson then as the "we have finally  
23 solved the waste program" only to be found two years later by  
24 Secretary Watkins that the program was in such disarray it  
25 needed restructuring, and now we're hearing the Secretary

1 indicate that major retooling of the program once more is  
2 needed, and various reviews of many kinds are currently  
3 either underway or contemplated to be done.

4           One is a review of the major criticisms that  
5 Professor Thurber did, which has been concluded but is yet to  
6 be really initiated, the financial management review that the  
7 Secretary has long talked about. And meanwhile the calls  
8 that not only you have made but we and others have made for  
9 major comprehensive review of the program continue to go  
10 unheeded, and more recently I heard that the Secretary  
11 indicated that she would not honor, once again, these calls.

12           So it appears to us that there's a great deal of  
13 uncertainty in the program. A year from now, we could be  
14 examining an MRS program and not a repository program is  
15 possible, could be examining a long-term interim storage  
16 program of some sort or a hybrid thereof with MPC's and a  
17 repository program of some nature. But, clearly, there's  
18 changes in the wind, and I guess like you, we will sit by and  
19 watch and see what emerges down the road.

20           But, Mr. Chairman, with that, I'd be happy to  
21 answer any questions and then turn the balance of our time  
22 over to Steve Frishman.

23           DR. DOMENICO: Thank you very much, Bob. I guess  
24 there's uncertainty in science and uncertainty in funding,  
25 but there's more certainty in the uncertainty of funding than



1 in science.

2           I think that there's a different message given to  
3 us here than we might get from Steve, so I think at this  
4 time, I would like to open it up to any questions that the  
5 Board may have regarding this presentation. Staff?

6           MR. LOUX: I'm certainly glad to know that I was concise  
7 and accurate.

8           DR. DOMENICO: I'll try one more time. Does anyone out  
9 in the audience have a question here?

10          MR. BARNARD: Bill Barnard. Bob, does the State of  
11 Nevada have an official position on Scenario A?

12          MR. LOUX: Scenario A, as I recall, is the--you might  
13 refresh my memory--but is the scenario where they receive the  
14 same level of funding that they have been receiving; is that  
15 correct or not?

16          MR. BARNARD: No, how to get funding level of 532  
17 million current schedule and license application by 2001.

18          MR. LOUX: Well, I guess it's often been remarked that I  
19 guess only in Washington would you reward a program that is  
20 being poorly managed, poorly run, has numerous calls for  
21 independent review, at least GAO has documented some percent  
22 of their money is actually being spent on studies and  
23 science. Only in Washington would you reward that kind of  
24 effort with more money and an accelerated schedule.

25                Obviously, we've got a great deal of problem with

1 that kind of program. It certainly is putting the cart  
2 before the horse, and we believe that a thorough  
3 investigation of suitability, of concentrating I guess  
4 initially, and that we may part company here with the Board,  
5 but with initial suitability with an exhaustive look at  
6 surface base work, and then only going underground is the  
7 kind of program that ought to be looked at.

8           Moreover, we think that certain conclusions about  
9 site suitability can be and should have been reached already  
10 relative to the program, and clearly our view is that the  
11 site should and ought to have been disqualified under DOE  
12 siting guidelines sometime ago.

13         DR. DOMENICO: Bob, is it your position that the program  
14 does not need an MRS or does not need an MRS in Western  
15 United States?

16         MR. LOUX: We don't think that the program needs an MRS,  
17 period. It clearly doesn't need one in the Western United  
18 States. If anything, DOE, through the concentric circles  
19 logic in 1985, demonstrated that perhaps somewhere in the  
20 Eastern United States would be more logical if one was  
21 needed. But, clearly, from our perspective, one is not  
22 needed at all in the system.

23           One thing I failed to mention in the resolutions in  
24 the discussions that I know governors have had is that their  
25 fundamental premise, and it was also contained in the Jim

1 Davenport report, is that you simply cannot force facilities  
2 on states or locales that don't want them. Governors are  
3 unanimous in their viewpoint that any of these sorts of  
4 facilities, even if they do come to pass, cannot be done  
5 without the consent of the governor of those states. And I  
6 suspect that applies to the current situation in New Mexico  
7 as well.

8 DR. DOMENICO: Are there any other questions?

9 Thank you very much.

10 MR. LOUX: Thank you very much.

11 DR. DOMENICO: We'll now hear from Steve Frishman on the  
12 National Environmental Policy Act, State of Nevada issues  
13 and concerns.

14 MR. FRISHMAN: Thank you. I have so much to say, I have  
15 finally fallen into the pattern that all the rest of you are  
16 in with playing with viewgraphs.

17 The last time I did this, strangely enough was on  
18 the same subject, almost exactly four years ago to the day.  
19 If you recall--I didn't really recall, but I found in my  
20 notes, my file, that I had on some day in April, 1990 spoken  
21 to you on the subject of the National Environmental Policy  
22 Act. I think every four years is probably--it's probably  
23 healthier to remember that we still had some responsibilities  
24 there and so does the Department of Energy.

25 I want to go through with you something that has a

1 lot of sort of basic principles involved, primarily because I  
2 don't think it's been discussed with the Board before and I  
3 think since it's a coming issue now, it might be good to at  
4 least present some of the basics relative to the way we see  
5 DOE's planning going, relative to some of the thoughts that  
6 the Board has put on paper, and just sort of leave some  
7 questions and some concerns.

8           We've been discussing this subject with the  
9 affected counties in Nevada and California, and some of the  
10 questions and concerns that we're raising here today have  
11 come out of our joint discussions on the subject of NEPA  
12 implementation with the program. So this is an ongoing  
13 discussion that we have. The affected counties are certainly  
14 interested. They certainly recognize that this is a major  
15 area for their participation should the program go forward to  
16 that point.

17       DR. DOMENICO: You see, you're not used to giving  
18 viewgraphs.

19       MR. FRISHMAN: Well, I hope it won't work. Then I'll  
20 make you read, because I'm not going to read it all to you.  
21 You can see my title page, so I don't have to do that.

22           The Nuclear Waste Policy Act, as we all know, has  
23 some specific directions about implementation of the National  
24 Environmental Policy Act, and also has some limitations. And  
25 those limitations tend to be overstated sometimes, so I think

1 it's probably instructive if we look at what those  
2 limitations really are and see the extent to which they do  
3 apply.

4           If you look at Section 113(c), aside from the good  
5 stuff at the top that is forbidden discussion at this table  
6 probably, you see at the bottom underlined is the requirement  
7 for compliance with the National Environmental Policy Act.  
8 And that means the Department of Energy should be expending  
9 funds in the area of that compliance. And you heard, or one  
10 of your panels heard a couple weeks ago about the extent to  
11 which that is being done and not done relative to what some  
12 people consider is sufficient implementation of NEPA.

13           There's also some limitations, and if you look  
14 towards the bottom, "except that the secretary shall not be  
15 required in any such statement to consider the need for a  
16 repository, alternatives to geologic disposal, or  
17 alternatives to the Yucca Mountain site." That is the  
18 limitation, and that applies only to repository. It has  
19 nothing to do with the rest of the program whatsoever.

20           That limitation is again restated in the Amendments  
21 Act. It says essentially the same thing, and this is in  
22 Section 114(f), which is the actual NEPA implementation  
23 section.

24           Now, DOE has become a little bit more clear just  
25 very recently in its plans for NEPA implementation throughout

1 the program, since the program is now getting more and more  
2 segmented into different activities that ultimately are  
3 supposed to fit together.

4           First of all, DOE has in its rules a NEPA  
5 implementation requirement. Under NEPA, the practice by  
6 federal agencies is they write their own implementation  
7 rules. This is a summary of the sequence of events under the  
8 DOE NEPA implementation rules, and this becomes important in  
9 the sense that at different times, we hear different plans  
10 that sometimes are in accord with this sequence of events,  
11 sometimes not.

12           Most recently, I'm happy to say, they have been  
13 becoming more and more in accord with their own rules for  
14 sequence of events. And you'll see my discussing some of  
15 these elements as we go along today.

16           I'm actually eliminating some of these that we  
17 don't have to go through. In Admiral Watkins' report to  
18 Congress in 1989 when he revamped the schedule of the program  
19 after determining that it couldn't be implemented the way it  
20 was developed, there was a sequence of events that involved  
21 NEPA implementation. And the 1990 through '98 period, the  
22 site characterization period, spoke to developing information  
23 for an environmental impact statement, put scoping out  
24 beginning in 1997, draft an environmental impact statement in  
25 '99, final optimistically a year later.           So that

1 program that is right now about to be changed again had a  
2 NEPA implementation schedule.

3           The current program has sufficient parts where the  
4 Department is now discussing NEPA implementation in terms of  
5 three and maybe even four separate EIS's; one of them for the  
6 multi-purpose container that we'll talk about in a minute,  
7 one of them for the repository site recommendation which you  
8 saw required under the Act, one for rail access spur, and  
9 I'll show you a schedule that shows how all that fits  
10 together, and a final for an MRS if there is to be an MRS.  
11 And I'm just giving you the two citations from the Act for  
12 the requirement for an EIS, if the Secretary follows the  
13 procedure in the Act for the Department to select an MRS, or  
14 if the MRS is selected or is brought forward by the  
15 negotiator. So we're talking a possibility of three or four  
16 distinct EIS's for a program that has been more and more  
17 fragmented within the Department and also within the  
18 Department's thinking.

19           You saw a schedule that was an abbreviated version  
20 of this a couple times yesterday. And the things that are  
21 important to look at on here are the NEPA implementation  
22 points. If you--and we're looking at the administration  
23 funding proposal. If you look at the NEPA section down here,  
24 you see this is the notice of intent, which was the top of  
25 the list of sequence, so you draft EIS, final EIS coming at

1 about the end of '99. And that's for the repository.

2           You see another one over here, a notice of intent.  
3 This is for the rail spur. And if you look up the line, you  
4 see that the notice of intent for a rail spur is just one  
5 year away from a construction authorization for the  
6 repository. So what we're doing is seeing more and more a  
7 sequencing of events through this process where you have  
8 separate EIS's and now we have even one more as of last  
9 Friday, the notice of intent for the MPC is now intended to  
10 be issued this fall in 1994. You heard yesterday notice of  
11 intent for the repository is to begin sometime in 1995.

12           Public scoping for the MPC to begin in late '94,  
13 public scoping for the repository to begin probably sometime  
14 late '95 or '96, as you were told yesterday, and for the MPC,  
15 we're looking at a draft EIS in the fall of '95, which is  
16 pretty quick, and a final EIS in '96 for the MPC.

17           So I think you're seeing the pattern that I've been  
18 watching develop and it's developing almost daily now.

19           So the big question comes up now in terms of the  
20 National Environmental Policy Act what's required under that  
21 Act relative to the program under the Nuclear Waste Policy  
22 Act. Sure, it's a very complicated program, it's a very  
23 large program, but at the same time, other large complicated  
24 programs have complied with the National Environmental Policy  
25 Act.



1           And so I think it's important for the Board maybe  
2 just this once in your whole life to go through what some of  
3 the basic requirements of NEPA are, and I've selected them in  
4 a way where we can relate them directly to the parts of this  
5 program. And I don't think it will be too burdensome, and  
6 the reason I don't think so is because from your own  
7 statement, I can see that you have something similar in mind,  
8 but maybe not in terms and maybe not thinking in terms of  
9 NEPA. And this is where you have been concerned for a very  
10 long time, and this is just the most recent statement that I  
11 think I've picked up, about the necessity for looking at the  
12 entire waste management system, and this is the same thing  
13 NEPA wants done, one way or another, look at the entire waste  
14 management system.

15           So I think your interests are compatible in the  
16 sense that ultimately what you're asking for is going to have  
17 to come to be, and ultimately if the program proceeds, what  
18 NEPA implementation is necessary is also going to have to  
19 come to be, and I think they converge at this point with your  
20 interests.

21           Now, I'm going to be throwing a fair number of just  
22 citations at you. I'm not going to read them out loud to  
23 you. I just want to show you that they're here and that  
24 there are words that are necessary in discussing NEPA, and  
25 that there is a regulatory basis surrounding each one of

1 these words, and you'll see how they all sort of come  
2 together over the next very few minutes.

3           We're talking here about what is the scope of the  
4 inquiry that is necessary for an EIS, just what do we mean by  
5 scope. And we have to remember that the purpose of NEPA is  
6 for informed decision making. It doesn't make decisions; it  
7 informs. And it informs through various types of analyses  
8 and also very much through the participation of all of the  
9 interested parties, including the one proposing an activity.

10           Now, scope consists of a range of actions, so  
11 here's some discussion of what is meant by actions and  
12 different types of actions that have to be considered. You  
13 have the possibility of connected actions, those that might  
14 automatically trigger other actions that can't or won't  
15 proceed unless some actions are previously taken, or that are  
16 interdependent parts of a bigger action.           You also  
17 have to consider cumulative actions and also the possibility  
18 of similar actions.

19           You also have to consider alternatives and you have  
20 to consider again three types of alternatives, the no action  
21 alternative, other reasonable courses of action, and  
22 mitigation measures or actions that aren't included within  
23 the proposed action. And we'll talk about these alternatives  
24 again in just a couple minutes.

25           The types of impacts that have to be looked at in

1 an environmental impact statement; direct, indirect and  
2 cumulative. I think that's fairly obvious, although there is  
3 always controversy over the extent to which indirect actions  
4 or indirect impacts are considered in an EIS. There is  
5 always controversy over whether the cumulative impacts are  
6 adequately treated in an EIS.

7           Now, if we go back to scope for a minute, you see  
8 that in discussing relationship to other statements, we have  
9 a reference to the concept of tiering. So if you look at  
10 what the regulations say about tiering, you see that it's  
11 intended sometimes for very large projects when it's possible  
12 to look at the entire program and then start dropping EIS's  
13 out of it as it's appropriate either in time or in  
14 development of the program. But tiering allows for what is  
15 generally referred to as a programmatic EIS, and then you  
16 bring subsequent EIS's out of that. It sort of sets the  
17 principles of the program, looks at the general broad scope  
18 of alternatives, the general broad scope of impacts and so  
19 on.

20           And the regulations tell you when tiering is  
21 appropriate. You can go from a program plan down to actions  
22 or proposals of lesser scope, or if there's a timing sequence  
23 when you don't have such problems as interdependencies and so  
24 on. So tiering was expected by those who drafted both the  
25 Act and the regulations, and also at times is found

1 appropriate for large national programs that have many  
2 components.

3           Now, in our discussions we've come up with a set of  
4 pretty general questions and concerns regarding the way the  
5 Department is proposing to implement NEPA in terms of its  
6 three or four EIS's, some of them even overlapping in time.  
7 In fact, most of them probably overlapping in time.

8           Now, if we go back to remember some of the elements  
9 under scope, if we go back to questions about the scope, are  
10 the three or four statements connected, meaning do they  
11 automatically trigger other actions, where they can't or  
12 won't proceed unless other actions are taken, or that they  
13 are interdependent parts only justifiable by a larger action.  
14 And these are questions that are going to be repeatedly  
15 asked about the Department's implementations plans relative  
16 to this large number of EIS's.

17           If you look at impacts, are the actions proposed in  
18 the three or four statements, are they cumulative? And if we  
19 go to another one of the criteria in the regs., do they have  
20 common timing or geography? And these are questions that I  
21 think all of us can in a general sense start to answer right  
22 away.

23           If we ask the question about tiering, taken  
24 together, they constitute a national program or plan  
25 appropriate for tiering, the sequence is from a general

1 statement to statements of lesser scope, specific proposed  
2 actions are sequenced in time, for which supplemental  
3 statements may be preferred. I think you can start seeing  
4 the questions, the continual questions that are coming up,  
5 and our concerns about the way the Department so far has been  
6 describing their implementation approach to us.

7           Now, this is the first of I think three general  
8 concerns that we just want to leave with the board, let you  
9 know that we're thinking about them, and we think that  
10 probably you should be thinking about them as well in terms  
11 of your concerns with the program development and also the  
12 systems analysis of the program.

13           It's unclear how DOE's plans for environmental  
14 impact statement issued at different times on different  
15 elements of the system will adequately address national,  
16 regional and local transportation issues in a comprehensive  
17 manner. We can't find any way when you look at MPC, MRS, a  
18 separate one for a rail line, and also still the open  
19 question that to my knowledge has never been resolved about  
20 where the transportation responsibility lies within the  
21 program relative to NEPA. We see it at fixed points in the  
22 program now, but we don't see it on the map.

23           It's also unclear how the implementation as planned  
24 will permit comprehensive evaluation of alternatives and  
25 options within the overall waste management system that

1 maximizes protection of health and safety on the environment.  
2 This is going back to the cumulative questions and some  
3 other questions that are associated as well.

4           This one is one that I know is somewhat  
5 controversial at this point within the Department. I'm not  
6 sure that it's even a major question to people outside  
7 because it's taken for granted, I believe, anyway by those of  
8 us on the outside of the program that the Department has got  
9 to consider a no action alternative. I think the question  
10 came up that there's nothing in the waste policy act that  
11 says the no action alternative is not to be considered. It  
12 does say what those limitations are, if you remember, and no  
13 action is not included.

14           And I think in your panel meeting a couple weeks  
15 ago, you heard from both a CEQ attorney and a DOE attorney  
16 that they believe that if the limitation extended to  
17 excluding consideration of the no action alternative, the Act  
18 probably would have said that.

19           So now if you have three or four different EIS's  
20 that are all pointing towards one way or another, either at  
21 or pointing towards a repository and you don't consider the  
22 no action alternative, then what you're doing is you are  
23 eliminating the required consideration of alternatives under  
24 the National Environmental Policy Act. And as we heard  
25 yesterday and we continually hear, Yucca Mountain is not a

1 sure thing. So if you start out early with an MPC EIS,  
2 you've got to consider the fact that there will not be a  
3 repository, because right now if it isn't Yucca Mountain,  
4 there won't be one under the law.

5           So the no action alternative has got to be  
6 considered, and it's got to be considered programmatically,  
7 because if you recall, the goal of the Waste Policy Act is  
8 permanent isolation of the waste. The goal is not  
9 transportation, the goal is not storage; it's permanent  
10 isolation. And if you don't have a permanent isolation as  
11 defined under the current legislation, then all you have is  
12 no action. Now, how do you deal with that in the other  
13 planned EIS's? This is something the Department is going to  
14 have to come to terms with.

15           Now, just for a conclusion, since I don't want to  
16 be recommending the direction the Department ought to go with  
17 NEPA implementation because there are a number of different  
18 ways it could be done, and what I'm pointing out is, at this  
19 time anyway, is that I think that the way I see the  
20 Department's NEPA implementation program developing, it is  
21 not compatible with NEPA, but I think there are some  
22 configurations that might be, and I think there's room for  
23 discussion. This might be another place where we can all eat  
24 steak together and talk about something.

25           The answers to the fundamental NEPA implementation

1 questions and concerns will be crucial to defining an  
2 integrated waste management system. NEPA may be the way they  
3 finally--the Department finally is forced to do the systems  
4 analysis that the Board believes is going to have to be done  
5 before this program can be developed, even conceptually on  
6 paper, to the extent that satisfies you in terms of yes,  
7 everything does lock together and, yes, you have looked at it  
8 in terms of optimization, in terms of trade-off, in terms of  
9 maximizing safety and so on.

10           And the selection of the alternatives should be  
11 based on a systems analysis, because I think with a system  
12 this complex, with this many variables in it, I agree with  
13 you, that's probably about the only way to assure yourself  
14 that in fact you are managing the decision trail in a way  
15 that is traceable and in fact reasonable and shows that you  
16 have analyzed all of the steps and that the trail that you  
17 have selected is an informed decision right back to NEPA and  
18 the Board's wanting a systems analysis, the convergence once  
19 again.

20           So I hope that this discussion has been helpful to  
21 you in terms of understanding maybe how some of your concerns  
22 fit into larger concerns that we and the affected governments  
23 here and in California have been concerned about. And at  
24 this point, I'll leave it with you I guess just to think  
25 about it and you may want to get farther into this subject at



1 some time in the near future because if the Department's  
2 plans go as proposed, we're going to be looking at a notice  
3 of intent probably within about six months just on the MPC,  
4 and there are going to be some serious questions then that  
5 are essentially the same questions that I've raised here  
6 about scope, and what is an EIS for an MPC. The Department  
7 has decided that that EIS, that the timing of that EIS and  
8 the proposed action of that EIS will be the deployment and  
9 implementation schedule of the MPC. So what's included in  
10 all that and can it be done in isolation from the rest of the  
11 program if, in fact, the program is all about permanent  
12 isolation and the goal of the program is not storage and  
13 transportation.

14           So I leave that with you and I'm certainly  
15 available to discuss it more, and we are going to continue  
16 discussing it. I know the Department is going to need to  
17 continue discussing it, and as was pointed out yesterday,  
18 many of the problems in a program like this are procedural,  
19 and procedural problems relative to the National  
20 Environmental Policy Act often end up in litigation. And,  
21 once again, we're in the situation where the Department has  
22 some pretty well defined responsibilities relative to NEPA.

23           There's a lot of precedent out there relative to  
24 NEPA, and most of the time when the Department of Energy and  
25 other federal agencies get in trouble with NEPA is when they

1 don't look at the questions as simply as I've just presented  
2 them to you, and they end up in procedural violations because  
3 it's very difficult for a court to deal with the exact  
4 substance and the data that goes in, but the agency is bound  
5 to live through and be able to substantiate their decisions  
6 relative to some of the simple questions that I've raised  
7 here that are directly out of the language of the regulations  
8 for the National Environmental Policy Act.

9           I'll be glad to answer any questions that you have,  
10 or we can go on to hydrology.

11         DR. DOMENICO: Thank you very much, Steve. Does the  
12 Board have any questions here? We've long been in support of  
13 the systems approach to the whole waste management system. I  
14 think you know that. Any questions from the staff?

15         DR. CHU: This is Woody Chu on the staff.

16           Steve, you said you didn't want to tell the  
17 Department of Energy as to what course of action it should  
18 follow. But on the other hand, you've made reference and  
19 hinted at several times on the programmatic EIS. If the  
20 Department were to produce a PEIS, would that allay some of  
21 your concerns?

22         MR. FRISHMAN: I guess the reason that I mentioned PEIS  
23 is because that's the obvious out of tiering. Now, PEIS is  
24 one approach that I think procedurally could be done in a way  
25 that was in compliance. But also I don't think that it's

1 necessary to completely reject the concept of one EIS for the  
2 whole system. While that may not be very helpful to the  
3 Department's schedules as they read them right now, I don't  
4 think, given the realities of the program, that that concept  
5 needs to be rejected out of hand. So there's at least two  
6 possibilities.

7           The only reason PEIS or programmatic EIS and  
8 tiering came out is because tiering is an element that is  
9 available under the regulations and one that should be at  
10 least considered, just as doing it the simpler way, or  
11 procedurally the simpler way with one EIS, should also be  
12 considered.

13           I really do not have a preference at this point.  
14 But either one of them could be done in a manner that was  
15 sufficient under the regulations.

16       DR. CHU: So if it were to be one EIS for the entire  
17 program, and given the Department's schedule for the  
18 deployment of the MPC, then that one program, in your view, I  
19 would think needs to be begun in the fall of '94.

20       MR. FRISHMAN: It means that they have to start defining  
21 their program to the extent that is sufficient for a  
22 description of the proposed action in an environmental impact  
23 statement. It would be the first time in twelve years we  
24 heard anything like it.

25       MR. WILLIAMS: Steve, I'm not a lawyer. Bob Williams

1 from EPRI.

2 MR. FRISHMAN: I'm not either.

3 MR. WILLIAMS: Forgive me. Could you explain in simple  
4 terms your view of what role the generic EIS for  
5 transportation, I think it was NUREG 0170, it covered about  
6 1,200 megawatts of capacity and the transportation that went  
7 into that? And then, secondly, what role the generic  
8 environmental impact statement for Mine Geologic Disposal  
9 served? It seemed to me that these both cover the broad  
10 questions that you allude to and the issues related to Yucca  
11 Mountain and to the MPC are relative nits in that larger  
12 scheme of things.

13 MR. FRISHMAN: Okay, not being a lawyer, I'll explain  
14 them to you the way I see them. NUREG-0170 became a center  
15 point in a legal action back in the early Eighties called the  
16 Pacific Inland Waterways case, and at that time, the judge  
17 determined that that EIS was no longer valid for use. And  
18 the general statement was that an EIS more than about ten  
19 years old, and especially a generic EIS more than about ten  
20 years old, should not be considered valid. So 0170, I  
21 considered to be essentially off the books, and that case was  
22 about the transportation of spent fuel coming back from  
23 Taiwan into the Port of Seattle, I think, and the court found  
24 that the EIS was just simply not valid for the action.

25 In terms of the 1980 generic EIS, the purpose of

1 that EIS was to select a means for permanent isolation or  
2 disposal, and the action out of that was the selection of the  
3 policy of deep geologic disposal. It covers a lot of  
4 territory, but it is not sufficient to analyze a system for  
5 managing and disposing of waste. It's sole purpose was to  
6 analyze the alternatives that are available for what to do on  
7 a permanent basis with spent fuel and high level waste.

8           Also, if you look at the thing, if you want to  
9 glean anything out of it that might be useful, in addition,  
10 you find out that the procedures involved in--or the  
11 suggested procedures associated with what was the preferred  
12 action, which is deep geologic disposal, virtually every one  
13 of those procedures has been violated. If you recall, the  
14 1982 Act was, you know, in a lot of ways compatible with that  
15 procedure, and all of that procedure is gone now.

16           I'll take you back to even some of the procedures  
17 that were rejected. For instance, that 1980 EIS said that  
18 there should be an EIS for site characterization, and that  
19 was rejected in the development of the '82 Act. It also  
20 talked about having to look at multiple sites. We no longer  
21 have that. We have, at least from the Department's  
22 perspective, a question of whether no action even needs to be  
23 looked at.

24           So I think that EIS was written for a different  
25 purpose. It may have some useful information in it, but I

1 don't think it has anything that is procedurally useful to  
2 the Department at this point. And, in fact, there's  
3 ultimately through time, if we all keep going the way we have  
4 been, it may be that that finding of a preferred action is no  
5 longer even valid.

6 DR. DOMENICO: Any statements from the Department of  
7 Energy on this?

8 MR. BROCOUM: Steve Brocoum, DOE. I just want to make  
9 one comment. Steve, only an assumption for the presentation,  
10 we will have three or four EIS's. That hasn't been decided  
11 at this point. We are looking at that right now. So there  
12 are other options to have a single EIS, EIS supplements later  
13 on. So I just wanted to make that clear. We haven't decided  
14 how many EIS's.

15 MR. FRISHMAN: I guess what got me most interested in  
16 this was I saw a schedule and I also heard on Friday that  
17 scoping for the MPC/EIS is imminent.

18 MR. BECHTEL: Dennis Bechtel from Clark County. I'm  
19 also a representative of the Assistant Secretary, Grumbly's  
20 advisory board on DOE weapon sites cleanup.

21 Just one comment. EM has been kind of touted as  
22 something that DOE is doing right. And I know in our work on  
23 the advisory board, one of the things we're working with is a  
24 programmatic environmental impact statement, and we are  
25 looking at issues such as transportation, waste options,

1 things like that. So I think that's an example of what DOE  
2 is perhaps doing right, and looking at a very complex issue  
3 programmatically. So I just wanted to add that for the  
4 record.

5 DR. DOMENICO: I guess that's in support of what is  
6 going on. Are there any other questions from anyone else?

7 Steve, thank you very much.

8 MR. FRISHMAN: Okay. Well, thank you.

9 DR. DOMENICO: My list says here that the next several  
10 whatever that means, presentations will be given by the  
11 Department of Energy and its contractors. Russell Patterson  
12 of the Yucca Mountain Site will I guess give us a short  
13 introduction to set the stage for these presentations and  
14 tell us just how many are included in the several that we  
15 have here.

16 MR. PATTERSON: Thank you. Can everybody hear me okay?

17 To answer your question, several what we have  
18 planned before the break was myself, Dick Luckey and Kenzi  
19 Karasaki of LBL. So I want to thank you for having this  
20 opportunity to give a quick overview and introduction of the  
21 following speakers. And with that, I'll go ahead and get  
22 started.

23 First is the slide so you can all find the  
24 handouts. And now I want to ask a basic question that's  
25 always asked, is why do we study saturated zone hydrology at

1 an unsaturated zone site. My believe is the study of the  
2 saturated zone provides information required to address many  
3 of the issues which will be used to determine the suitability  
4 of Yucca Mountain as a high level nuclear waste repository.

5           Some of these issues which I wanted to just put up  
6 here is performance issues, such as groundwater protection,  
7 to identify the aquifers within 5 kilometers of the  
8 controlled area, to determine the aquifer vulnerability to  
9 contamination, groundwater travel time, the time for the  
10 water to move from the repository horizon to the accessible  
11 environment, and what path the groundwater might follow,  
12 total system performance, such as water transport of  
13 radionuclides to the accessible environment, water movement  
14 away from the repository, thermal effects on water movement.  
15 These are all some of the issues that we're looking at.

16           There's also design issues such as configuration of  
17 the underground facilities, what's expected fluctuation in  
18 the potentiometric surface beneath the repository, and what's  
19 the wetness of the rock around the repository excavation. We  
20 also have preclosure design and technical feasibilities,  
21 probability of perched water and possible inflow rates into  
22 the repository openings, and such regulatory issues as pre-  
23 emplacement groundwater travel time and prediction of  
24 radionuclide releases to the accessible environment.

25           The interface of the saturated zone program with



1 other characterization programs is quite intense. We  
2 interface with the geochemistry program, the rock  
3 characteristics program, thermal and mechanical rock  
4 properties program, plus others, and we of course feed  
5 information to performance assessment and data, as do the  
6 other programs.

7           I wanted to go into that just a little bit more  
8 with ties between the site characterization program, not just  
9 the saturated zone program, but the whole site  
10 characterization program. The site program collects and  
11 interprets data, constructs 1, 2 and 3-dimensional site  
12 models, and regional models in our case, test, verifies and  
13 documents site models, and provides these site models to  
14 performance assessment. Performance assessment performs the  
15 sensitivity studies using site models, and from them,  
16 determines what's needed for TSPA, and then communicates  
17 their requirements or refinements back to the site  
18 characterization program.

19           What I wanted to impress with you at this slide is  
20 that we're looking at a very small portion of the overall  
21 geohydrology program. When we're looking at the site  
22 saturated zone program or the saturated zone program in  
23 general, we have the regional hydrology investigations and we  
24 have the site unsaturated zone hydrology investigations,  
25 which include a whole other large program. If you have a

1 week sometime, we could go through the whole unsaturated zone  
2 and saturated zone programs with you.

3           What we're going to be hearing about some today  
4 will be actually further down in here, which is  
5 characterization of site saturated zone hydrochemistry,  
6 saturated zone hydrologic system synthesis and modeling, and  
7 some of the actual detailed studies that we are looking at  
8 down in this area.

9           What we look at in the saturated zone hydrology  
10 program--I don't know how this one got capitalized--regional  
11 hydrology, where the recharge areas and discharge areas for  
12 the saturated zone, and what does the regional flow system  
13 look, and how might these change over time.

14           In the site hydrology program, we look at how does  
15 water move through the saturated zone, how fast does it move,  
16 and how might it change over time.

17           For those of you that may not know out there, the  
18 regional system actually is a little bit larger than this to  
19 the north up this way, and a little bit further down south,  
20 but that's the approximate area, this being the pork chop  
21 right there. And the site, what we refer to as the site  
22 area, as far as for saturated zone studies, is basically this  
23 area.

24           The regional investigations are actually broken  
25 into two pieces as far as hydrology investigations. I hate

1 to say broken, but it comes in two different study plans, and  
2 these are both handled by the U. S. Geological Survey. One  
3 is the characterization of the regional groundwater flow  
4 system, the other is the regional hydrologic system synthesis  
5 and modeling.

6           And the site saturated zone program actually comes  
7 into a number of ten studies under the old SCP, and I've  
8 broken that basically out into four general studies that I  
9 like to call the saturated zone hydrologic modeling,  
10 hydrochemical characterization, fractured rock test and  
11 hydrologic monitoring.

12           Up here, we have both the USGS and the Lawrence  
13 Berkeley Labs. Under hydrochemical characterization, the  
14 USGS is our participant. Along here, we have both USGS and  
15 Las Alamos, Las Alamos doing reactive tracer tests at the C-  
16 wells and at other sites throughout the area, and the USGS  
17 doing the hydrologic monitoring.

18           With that, that's a fairly quick overview. Once  
19 again, I want to impress that what you're going to be hearing  
20 is some very detailed information, which you requested, on  
21 some pieces of the studies, and it's not by any means the  
22 whole program. So with that, I'll turn it over to Dick  
23 Luckey from the USGS to go into more details on the saturated  
24 zone.

25           DR. DOMENICO: Thank you, Russ.

1 MR. LUCKEY: This should help find your handout. It's  
2 the one with the green cover. That's the way I have to find  
3 everything, is by color instead of by words.

4 I'm going to continue on with what Russ Patterson  
5 did and give you my perspective of studies of the saturated  
6 zone by the USGS, Las Alamos National Laboratory, Lawrence  
7 Berkeley Laboratory. This is kind of an organization of what  
8 I'm going to talk about. Don't worry about me really talking  
9 about this for 45 minutes. I'm going to be giving half of my  
10 time to Kenzi Karasaki from Lawrence Berkeley Laboratory. So  
11 I'll be covering this in about 20 minutes.

12 When the original schedule was put together, there  
13 was some discussion about having Ike Winograd talk about the  
14 water levels in Devil's Hole. Ike doesn't work for the  
15 program and has other duties that he had to attend to, and  
16 he's sorry he couldn't make it, but he has talked to the  
17 Board before. He did send a reprint from a recent article on  
18 the water levels in Devil's Hole, which I've provided to the  
19 board.

20 I'm going to do some of the same things that Russ  
21 did. I'll talk about from my perspective why study the  
22 saturated zone, why do regional studies, do kind of an  
23 overview of regional and then site studies. I'm going to be  
24 spending more time on an overview of the various modeling  
25 studies and how those fit together, because I think there's

1 some concern there that I'd like to talk about, and then  
2 we'll go on to the next speakers.

3           Russ introduced this question very well, why study  
4 the saturated zone when we're concerned with an unsaturated  
5 site. The saturated zone is described as the last barrier  
6 before the accessible environment. It's not the only  
7 barrier, it's not the best barrier, but at least it is a  
8 barrier and it does need to be recognized as such.

9           Early in this program, the saturated zone was  
10 probably written off too soon. The unsaturated zone peer  
11 review and the board itself has pointed out that probably  
12 this was a mistake to write it off too completely. The  
13 saturated zone can be studied using widely accepted  
14 techniques. It's not quite the state of the art that the  
15 unsaturated zone is. The level of uncertainty in our studies  
16 of the saturated zone may not be as large as our level of  
17 uncertainty in the unsaturated zone.

18           The cost of study in the saturated zone may be  
19 significantly smaller than the unsaturated zone. So  
20 sometimes we need to do studies based on how much information  
21 we can get for the dollar spent. The studies can be done  
22 using standard surface-based techniques, and these studies  
23 can contribute to our overall "scientific confidence" in the  
24 site. This is kind of a term that we frequently use. It's  
25 more of a warm fuzzy feeling about how well we understand the

1 site. It's not pointed at any specific regulation, any  
2 licensing issue. It's whether we really feel like we  
3 understand the physics of the system and how it operates.

4           And last, but certainly not least, the saturated  
5 zone is obviously the lower boundary of the unsaturated zone.  
6 So we at least need to know where it's at.

7           Regional hydrology has generally been downplayed in  
8 this program as something that's kind of fun to look at but  
9 not really appropriate for the program. I'd like to make the  
10 pitch that we do need to pay attention to regional hydrology.  
11 It's certainly not going to answer all of our questions. We  
12 don't need to put all of our money in that, but it's  
13 something that we certainly cannot ignore.

14           The region provides the appropriate hydrologic  
15 framework for our site studies. It allows us to acquire  
16 understanding from various previous studies that have been  
17 made of the region, and it allows us to link with concurrent  
18 studies that are going on in the region. There's a large DOE  
19 study over on the weapons site of the program, the  
20 environmental cleanup of the site. We need to take into  
21 account those studies. Las Vegas Valley Water District is  
22 looking at the region, as is the National Parks Service,  
23 based on their interest in Death Valley National Monument.  
24 So we need to understand what's going on in those studies.

25           There are some processes going on in the region

1 that are somewhat masked at Yucca Mountain. By looking at  
2 regional studies, we can begin to understand some processes  
3 that aren't quite so obvious right at Yucca Mountain. Again,  
4 this contributes to this "scientific confidence" that we have  
5 in the site, and these regional studies allow us to collect  
6 information at a very low cost. Generally, we're tagging on  
7 to other studies and just acquiring data that someone else  
8 paid to collect.

9           This is, again, just an overview of the program.  
10 I'm going to use this just to emphasize what we're not going  
11 to be talking about. We're going to be talking about bits  
12 and pieces of the entire saturated zone program. I already  
13 hit on regional hydrology. Russ pointed out that there are a  
14 couple of studies under that investigation. This is the  
15 usual four tier diagram where we have the hydrology program  
16 at the top, various investigations at the next level, various  
17 studies at the next level, and various activities at the  
18 final level. And each one of these investigations can be  
19 broken down into these various blocks, and each one of these  
20 studies can.

21           In this particular example, we've just gone through  
22 the site saturated zone investigation, the characterization  
23 of the site saturated zone study, and then its eight  
24 activities.

25           This is just a listing of the various activities

1 under the regional saturated zone studies as described in the  
2 SCP and the two study plans that talk about this. There's  
3 the assessment of the existing regional data, and then a  
4 regional potentiometric and hydrologic framework study.  
5 These two studies together generally acquire and put together  
6 the information that is needed by regional modeling.

7           Then there's the Fortymile Wash recharge study  
8 which is very close to Yucca Mountain and has provided us  
9 some very interesting data over the last couple of years.  
10 There's an evapotranspiration study down at Franklin Lake,  
11 Alkali Flat, depending on who you talk to. It's the same  
12 place. That's another area very close to Yucca Mountain  
13 that's sort of a local discharge area.

14           And then under these regional studies, there's  
15 various modeling studies. I'm going to try to talk about  
16 those all together in the end.

17           In the site saturated zone studies as described in  
18 the SCP, there are eight activities. I'm going to go over  
19 those quickly as to what we intend to get out of those. The  
20 first one is the potentiometric level studies. It was  
21 originally designed to determine the direction of groundwater  
22 flow in the saturated zone away from the repository. That's  
23 been accomplished to a greater or lesser degree. This study  
24 is to look at the cause of the large hydraulic gradient to  
25 the north of Yucca Mountain that everybody seems so



1 interested in, and the moderate hydraulic gradient west of  
2 Yucca Mountain that people seem less interested in. This  
3 study is to determine the stability of the water table over  
4 time as the lower boundary to the unsaturated zone and this  
5 study will also provide estimates of hydraulic properties  
6 that will be used for the site model.

7           The C-well hydraulic tests that have begun, pumping  
8 has not begun but the instrumentation is already in the hole.  
9 The primary purpose of this study is to develop methods for  
10 estimating hydraulic properties. The secondary purpose of  
11 this study is to characterize those hydraulic properties at  
12 one site at Yucca Mountain, namely the C-well sites. As I  
13 mentioned, the packers and the instrumentation are already in  
14 place for this study. Pumping of those wells will begin  
15 soon, and we're already actively doing prototype work at a  
16 Raymond, California site, and I think Kenzi may say a word or  
17 two about that when he does his presentation.

18           The next step at the C-well complex is to do  
19 conservative tracers. Again, the primary purpose at this  
20 site is to develop the techniques for doing tracer tests in  
21 fractured rock. The secondary purpose of this is to  
22 characterize the transport characteristics at this one site  
23 at Yucca Mountain, and we're also doing prototype work with  
24 LBL at this site, at the Raymond site.

25           This is the revised potentiometric surface map that

1 was recently published as a result of the potentiometric  
2 level study. This is an update of the map that was published  
3 in 1985 by Jim Robison. This map covers just the small  
4 hydraulic gradient area which was not covered in sufficient  
5 detail by the previous report. The large hydraulic gradient  
6 off to the north in the pattern area is not well enough  
7 understood to contour in this sort of detail at this point in  
8 time.

9           The moderate hydraulic gradient off to the west of  
10 Solitario Canyon and at Well H-5 is also not understood well  
11 enough at this point in time to contour in detail. Note that  
12 this map uses quarter meter contours, so it would be very  
13 difficult to do detailed studies of the large and moderate  
14 gradients. You'll note that the potentiometric surface  
15 slopes very strongly to the east on this map towards  
16 Fortymile Wash. There's some indications that there's a  
17 similar slope to the west towards Fortymile Wash off from  
18 Jackass Flats, but we certainly don't have the detail to  
19 prepare this sort of map off to the east.

20           Yes, Pat?

21       DR. DOMENICO: Why does this differ from the original  
22 maps where flow was to the south? What new information is  
23 here that has not been on the piezometric surfaces that I've  
24 viewed before? We had a definite southward flow before.

25       MR. LUCKEY: The previous map contoured the large

1 hydraulic gradient, and if you'll look at the patterned area  
2 up in the north where the potentiometric surface altitude is  
3 about 10:30, and down in this area, it's about 7:30, we see a  
4 very strong north-south component. The original map had only  
5 one contour through the what we call the small hydraulic  
6 gradient area, that had a 7:30 contour that just sort of  
7 wound around through this small hydraulic gradient. And so  
8 the perspective of the map was very much dominated by the  
9 large hydraulic gradient in the north. So in this map where  
10 we don't contour the large hydraulic gradient, you don't get  
11 that north-south perspective. It's just based on what we're  
12 contouring here.

13 DR. DOMENICO: In other words, it's not additional  
14 information, it's a different interpretation of the same  
15 information.

16 MR. LUCKEY: It's slightly more accurate information  
17 than Jim Robison had to work with. He could not contour the  
18 small hydraulic gradient area because the errors in the water  
19 levels were larger than the gradient in that area. So it was  
20 impossible to contour, so basically he ended up contouring  
21 the large hydraulic gradient area into the small hydraulic  
22 gradient area. And so this map needs to be superimposed on  
23 the previous map, although they don't fit very well.

24 DR. DOMENICO: No, they don't.

25 MR. LUCKEY: But if you compare this map and Jim

1 Robison's 730 contour, you'll find a very good match. So  
2 it's what's contoured here matches to a fair degree what's  
3 not contoured, leaves a different impression, but there's  
4 still a very strong north-south slope component to the  
5 system.

6           Okay, to go on with the three remaining studies,  
7 the site saturated zone, there's the reactive tracer tests at  
8 the C-well site to be conducted by Las Alamos. Again, this  
9 is primarily a methods development area. The secondary  
10 purpose is to characterize reactive transport at this single  
11 site. At this point within the SCP and the study plans, we  
12 come to a decision point; that's how to take what we've  
13 learned at the C-well complex and extend it throughout the  
14 site.

15           This decision point, as described in the SCP, has  
16 one of two courses of action. If we find a single well  
17 method that seems appropriate, then the course of action is  
18 to take this method and apply it to the various wells  
19 throughout Yucca Mountain. If we don't find a single well  
20 site, then we go out and drill a second tracer test site.  
21 Some of the early stuff talks about the southern tracer test.  
22 We're not sure where that would be located. In reality,  
23 those are kind of two end members. We may end up wanting to  
24 drill a second well paired with an existing well and possibly  
25 do two well sites. It's too early in the process to tell

1 exactly where these final two activities go, and it's hard to  
2 tell with Scenario A what sort of timing we're going to have  
3 for these two activities.

4           To go on to some other saturated zone studies, the  
5 Solitario Canyon Fault study is to investigate the moderate  
6 hydraulic gradient that exists to the west of Yucca Mountain.  
7 This is a future study that will determine if the Solitario  
8 Canyon fault is a conduit or barrier to flow or if more  
9 likely it's a conduit in places and a barrier in places, just  
10 sort of characterize that. As an indirect result of this  
11 study, we will learn something about the hydraulic  
12 characteristics of the Ghost Dance Fault, and less likely,  
13 but there's still a potential, we may learn something about  
14 the hydraulic characteristics of other faults throughout the  
15 site.

16           There's a whole study plan on saturated zone  
17 hydrochemistry. There are various things that are going to  
18 be done in this study plan. The first is the assessment of  
19 the existing regional hydrochemical data set. This  
20 assessment is essentially completed. This data set has been  
21 compiled and looked at. It's completed in the sense that  
22 it's been compiled. This sort of an assessment is never  
23 completed in the sense that each time we begin to use this  
24 data, we need to look at it whether it's useful for the  
25 particular purpose that we have in mind.

1           We're going to characterize the regional  
2 hydrochemistry of the Death Valley region, looking at  
3 potential flow paths, do a detailed characterization of the  
4 site hydrochemistry, evaluate the interface between the  
5 unsaturated zone and the saturated zone, and try to provide  
6 some additional information on fluxes across that boundary.  
7 And this site hydrochemistry study will provide some of the  
8 detailed data needed for retardation studies.

9           And then on the site saturated zone studies,  
10 there's also modeling activities there which I'm going to try  
11 to cover next.

12           First of all, I'd like to talk about why do we even  
13 need to construct a model. The first two bullets on this  
14 diagram are the fairly obvious ones. We need to construct a  
15 model to determine whether the site can meet the regulations,  
16 do the kinds of performance assessment calculations that are  
17 required. Obviously, you need a model for this kind of work.

18           The other bullets are not so obvious, but these are  
19 reasons to construct a model, whether or not we need a model  
20 for performance assessment. In any scientific study, we need  
21 to construct some sort of a model, maybe not as formal as we  
22 are constructing here, but we need to put our data together  
23 and synthesize it somehow. When we're doing that, we're  
24 actually constructing a model.

25           We need to look to see if the data sets are

1 internally consistent. If we understand the processes,  
2 there's nothing like a model to tell you how little you know  
3 about the system. Very frequently, you think you know an  
4 awful lot about the system until you put all of your data  
5 together and put it through a model and your model tells you  
6 that the data are not internally consistent, that there are  
7 areas where you really don't understand what processes are  
8 going on.

9           And, finally, we need models to tell us if our  
10 current data set is adequate, and if further data is needed,  
11 where is it needed.

12           In this program, as most programs, we have a bad  
13 habit of thinking that there is but one model, and we use the  
14 word model in a very broad sense, in the same way we use the  
15 word data. It's difficult to tie down what we're really  
16 talking about. So here, I'm trying to just talk about some  
17 of the various kinds of models that we have, and that they  
18 are all different kinds of models. They all have their  
19 place. We have geologic models, climate models, flow and  
20 transport models, and performance assessment models. We're  
21 not going to have just one model of the system. It wouldn't  
22 be appropriate to have just one model. So when we start  
23 talking about models, we need to talk about which model we're  
24 talking about, what kind of model.

25           For saturated zone flow and transport modeling, we

1 need to talk about a number of issues. Is the flow in  
2 fractures or can it be represented as a porous media  
3 equivalent. We know obviously at a very small scale it's  
4 fracture dominated flow. We also know at a very large scale,  
5 that porous media equivalent has worked. The site scale is  
6 kind of an in between scale. We're not sure whether it acts  
7 more as discrete flow or whether we can represent that as  
8 porous media equivalent.

9           What sort of discrete features are we going to have  
10 to include in our model? Only important faults, or are we  
11 going to have to include minor features? These are issues  
12 yet to be resolved. Is the flow predominantly two dimension  
13 or do we need to include the third dimension? Obviously,  
14 it's a three dimensional system. Some of our previous  
15 modeling has been done at two dimensions, and we believe that  
16 we need to move into three dimensional modeling.

17           Is the flow in steady state or are we in some sort  
18 of a transient phase? Again, this depends on the time scale.  
19 Our data indicates that over the scale of the study so far,  
20 that it looks like the system is very steady. There are no  
21 long-term trends. When we start looking at longer periods of  
22 time, this may very well break down, probably will break down  
23 if you look at Ike Winograd's paper.

24           What are the models' boundaries? We're only  
25 interested in detail at the site scale, although our site



1 scale boundaries are probably going--our site scale model  
2 boundaries are probably going to have to reach out very far  
3 to get away from boundary effects, and the old question of  
4 what's the appropriate level of detail.

5           I've tried to depict here how some of these models  
6 fit together. Because we're talking about a site saturated  
7 zone process model, it seems to be the center of the  
8 universe. I think wherever we're standing, we believe that  
9 that's the center of the universe. That's what this diagram  
10 looks like. I don't believe that the site saturated zone  
11 model really is the center of the universe.

12           I've tried to put some of the links in this model  
13 together. The darker arrows are stronger links, so there are  
14 strong links between the site saturated zone process model  
15 and the PA model, as is there a strong link between the site  
16 unsaturated zone process model and the PA model. There's an  
17 obvious link between the saturated zone process model and the  
18 unsaturated zone process model, although I've shown this as a  
19 fairly weak link because the flux through the unsaturated  
20 zone is small compared to the flux through the saturated  
21 zone, and so a change in that flux's model and the UZ model  
22 is not going to change the saturated zone model to any great  
23 degree.

24           By the same reasoning, the change in the position  
25 of the water table probably is not going to impact the

1 unsaturated zone model to a major degree.

2           Now, let's go on to what I term a hydrology  
3 potpourri. We're not going to be looking at the full  
4 saturated zone program. We're going to be getting just bits  
5 and pieces of the program that seem to be interesting at this  
6 point. It's not going to look like we have a terribly  
7 integrated program, because we are talking about bits and  
8 pieces.

9           As Russ indicated, if we wanted to spend a week on  
10 it, we could talk about all of the pieces. We'd bore you to  
11 death with it within a couple of days I'm sure. So we're  
12 trying to hit just some of the most interesting pieces.

13           First of all, Kenzi Karasaki from Lawrence Berkeley  
14 Laboratory is going to be talking about the TRINET fracture  
15 model. I want to emphasize that this is just a piece of the  
16 modeling. I should have pointed out on the previous slide  
17 how this fits into our saturated zone modeling, but it's a  
18 piece of the modeling picture, a very important piece. We're  
19 going to get a lot of understanding from it, but again it's  
20 just a piece of it.

21           Bill Steinkampf is then going to talk about the  
22 hydrochemical data that we've recently acquired from the  
23 unsaturated zone, perched water in UZ-14. This is just a  
24 piece of the hydrochemistry data, and in this particular  
25 case, we're talking about perched water and not the main

1 saturated zone. But I think we have some interesting  
2 information here. I get real tired of hearing about plans  
3 and want to talk about some real data, so that's what Bill is  
4 going to do.

5           Then Zell Peterman is going to follow up on  
6 isotopes. This is a piece of the hydrochemistry picture, but  
7 again he has results and not plans, so he can talk about some  
8 real data.

9           Thank you.

10          DR. DOMENICO: Does the Board have any questions? Don?

11          DR. LANGMUIR: Don Langmuir, Board.

12                 Dick, you showed us a revised piezometric map which  
13 suggested that--or showed clearly that you had parallelism  
14 between the piezometric contours and the Solitario Canyon  
15 fault. I wonder if you'd comment on what you think the  
16 significance of this revision is and how the subparallelism  
17 tied into your concept of groundwater flow, what you think it  
18 is right now around Yucca Mountain.

19          MR. LUCKEY: Well, let me start by saying it's parallel  
20 to the Solitario Canyon fault, as you pointed out. It's also  
21 parallel to Fortymile Wash. So these are probably two  
22 significant boundaries in the system. It's certainly not  
23 parallel, as Pat pointed out, to the large hydraulic gradient  
24 to the north.

25                 I guess I see this trying to tell us, and I'm not

1 sure that this is the correct information, but I see a  
2 certain amount of leakage across the Solitario Canyon fault  
3 moving eastward, and then Fortymile Wash being a drain for  
4 the system. This is perhaps telling us that the flux from  
5 the north across the large hydraulic gradient is small  
6 compared with the flux across the moderate hydraulic  
7 gradient.

8           I think this is a fairly well constrained map in  
9 the area that is mapped in this small hydraulic gradient. We  
10 probably need to look at a somewhat bigger picture to get the  
11 full picture of what's happening.

12           I would also caution that although the  
13 potentiometric contours have a very strong eastward  
14 component, that does not necessarily mean that flow is  
15 eastward. Because we have dominant faults and fractures that  
16 probably have a north-south orientation, we probably have a  
17 strong degree of anisotropy here. And so while Fortymile  
18 Wash may be the low in the potentiometric surface, there may  
19 be a much more southerly component of flow only because we  
20 have much higher permeability in the south.

21           Much of this is just speculation on my part. We  
22 have a lot of site characterization work to do. But that's  
23 how I interpret this map.

24       DR. LANGMUIR: Dick, you mentioned that reactive and  
25 conservative tracers were going to be used, and I was

1 involved in that a long time ago and I'm curious which  
2 specific tracers you have in mind for the reactive choices  
3 and the conservative choices.

4 MR. LUCKEY: Right now, we have a series of tracers, a  
5 half a dozen conservative tracers, and I'm not sure that I  
6 could tell you all of the tracers, but the bromides, there's  
7 benzoic acid, which is a whole family of tracers that will be  
8 our conservative tracers that we use initially.

9 For the reactive tracers, the one that I'm most  
10 familiar with is the Las Alamos study, but they're going to  
11 be using the polystyrene microspheres to try to look at how  
12 colloids might move through the system. And I think for the  
13 other reactive tracers, maybe Russ can help me out if you  
14 know what they are, Russ. I know that Las Alamos is trying  
15 to select those. This is a study that is more than a year in  
16 the future, and so I don't know that they have selected them  
17 at this point. Lithium bromide is one of the conservative  
18 traces.

19 MR. PATTERSON: That's a reactive tracer.

20 MR. LUCKEY: Oh, lithium is reactive.

21 DR. DOMENICO: Dick, I have a few questions. You  
22 mentioned these activities, mostly hydraulic testing and  
23 tracer testing. How much of these activities are truly  
24 active today on the site? With the budget constraints and  
25 everything else, just how much is really going on on the

1 saturated zone hydrogeology?

2           MR. LUCKEY: We've started work at the C-well complex  
3 more than a year ago. We're not actively pumping, but we do  
4 have packers and transducers in the three C-wells at the C-  
5 well complex and are collecting background data. We're  
6 currently in the process of constructing the discharge line,  
7 the spreading pit, acquiring all of the electrical equipment  
8 and the pumps needed to pump the C-wells. So there's not any  
9 water coming out of the ground at this point. I think we're  
10 currently looking in the mid to late summer to actually turn  
11 on the pumps. We hoped to be pumping by this point, but  
12 everything has gone slower than anticipated.

13           The other thing that is on the horizon but has not  
14 yet been done is we're looking at a cleaning out of the WT  
15 wells as a precursor to doing detailed hydrochemical  
16 characterization. The WT holes were drilled and left, and  
17 the program got bogged down before we actually went back and  
18 cleaned out all the drilling fluids from these holes and did  
19 detailed hydrochemical sampling. So this is something that  
20 we believe we can do in the near future. While we're  
21 cleaning out these holes, we're going to be doing a single  
22 well hydraulic test and at least get some information on the  
23 hydraulic characteristics of the system during this. But  
24 again, this is something that is late this year, early next  
25 year, depending on availability of resources.

1 DR. DOMENICO: The last question is I know the M&O is  
2 trying to get all the modeling under one roof largely through  
3 Intera. Does the USGS directly plan to do any modeling on  
4 this site? Is there any overlap with what is going on with  
5 the people at Intera or Sandia or anywhere else?

6 MR. LUCKEY: Well, the USGS is actively doing modeling  
7 on this site right now. We have--you've all heard about John  
8 Czarnecki's two dimensional model that's been around several  
9 years.

10 DR. DOMENICO: Several years, yeah.

11 MR. LUCKEY: I think since 1985, it was published. It's  
12 really been around longer than that. We now have a three  
13 dimensional model that covers the entire Death Valley region.  
14 It has, if I recall, something in the order of 76,000  
15 active nodes in that model. It's a fully three dimensional  
16 model. It goes about 6 kilometers deep to the base of the  
17 flow system. This is something that is going on right now.  
18 This is giving us our boundary conditions for our site model.  
19 We're very actively compiling the information that we need  
20 for our site model. That's part of what this revised  
21 potentiometric surface is all about. The previous  
22 potentiometric surface map was certainly not adequate for  
23 modeling at the scale of the site.

24 So, yes, we are doing modeling. We're doing  
25 modeling very aggressively. We are interacting with Intera

1 and Sandia on performance assessment, sharing information  
2 with them so our models are somewhat consistent with each  
3 other. Most of that is done on a somewhat informal basis by  
4 reviewing each other's models and reviewing each other's  
5 reports. The Survey did a very comprehensive review of the  
6 Sandia saturated zone performance assessment modeling.

7           As I tried to point out on the one slide, whether  
8 or not performance assessment even existed, the Survey would  
9 have to do modeling. You can't collect data and pass it off  
10 to somebody else to put it in a model and have any meaningful  
11 data collection or any meaningful modeling. The person  
12 collecting the data has to do the modeling to be able to see  
13 if the data collection is appropriate. And once we do our  
14 modeling, our process modeling, then we can pass those sort  
15 of concepts off to PA and they can incorporate it into their  
16 models. But you can't just have one model. That was a major  
17 point that I was trying to make.

18         DR. DOMENICO: Does Bill Nelson have anything to say  
19 about that?

20         MR. NELSON: I believe the way that we have been  
21 functioning, and it's been functioning very well, is that  
22 the, for example, on the saturated, the USGS has most of the  
23 characterization responsibilities. The synthesis of those  
24 models, testing of those, documentation and otherwise, and  
25 then as they're completed, then there's the transfer that



1 we'll interface with PA and go on. And that's worked out  
2 very well in the unsaturated zone. I appreciate the  
3 cooperation that we're getting here on the saturated zone.  
4 Quite frankly, the saturated zone, as Dick has pointed out,  
5 hasn't been analyzed to the extent there's been a period of  
6 time when it wasn't considered to the same degree. We're  
7 further behind, but we're making good progress.

8           I'd mention also in the transport area, that the  
9 responsibility for that is largely in the unsaturated zone  
10 has been with LANL, and in a similar way, it's the idea that  
11 the models are--the characterization occurs, the models are  
12 built, they're tested, they're documented, and then there's a  
13 transfer to PA. And it's working there very well.

14       DR. DOMENICO: I think you should introduce your group--  
15 whoever is next. You have three presenters, is that what I  
16 heard?

17       MR. LUCKEY: I'll start out by introducing Kenzi  
18 Karasaki from Lawrence Berkeley Laboratories, who will talk  
19 about some of the modeling that they have done, and then I'll  
20 let Kenzi introduce the next speaker and we can go on.

21       DR. DOMENICO: Okay. If we have any questions, we can  
22 come back to you or the three people following you. Thank  
23 you very much.

24           We will have a break after this speaker. We're  
25 pretty much getting back to schedule.

1           MR. KARASAKI: Working on Yucca Mountain project gives  
2 you a lot of uncertainties, and you work with a lot of  
3 uncertainties. I flew in from San Francisco, the first plane  
4 that left San Francisco, first thing in the morning. I  
5 arrived in one piece, but my luggage didn't arrive and I'm  
6 trying to catch the 11 o'clock, or a little after 11 o'clock  
7 flight out of here--out of San Francisco at 1 o'clock to  
8 Japan, and I'm uncertain if my luggage arrives there. Then  
9 I'll be without all those changes.

10                 So I'm going to talk about saturated zone fracture  
11 flow and transport modeling. But this title is a little bit  
12 misleading, and Dick put it very nicely that modeling really  
13 cannot stand by itself. And my talk basically I would like  
14 to stress the point or talk about how modeling cannot stand  
15 by itself and has to be approached otherwise. People look at  
16 modeling just numerically and look at it as a dependent  
17 entity, but we have a little different approach.

18                 This is my talk outline today; talk about fracture  
19 flow, what we know and what the problems are, and I would  
20 like to outline our approach to solving and attacking these  
21 difficulties. And also we have a prototype site in Raymond,  
22 California to put all these together as we progress in the C-  
23 holes and other saturated zone activities.

24                 I'll start with fracture flow and transport. We  
25 know flow of fracture is discontinuous, heterogeneous, highly

1 localized transmissivities, highly concentrated, and flow is  
2 usually channelized.

3           This is from a stripa report. We worked in stripa  
4 project as well. It is reported 94 per cent of our entire  
5 transmissivity observed in bore holes were concentrated in  
6 less than 4 per cent of length in bore hole.

7           Actually, if you look at the actual inflow length,  
8 it's much smaller than 4 per cent. And also from a  
9 preliminary analysis of past C-hole--here's the relative  
10 transmissivity distribution profile, and you can tell that  
11 again transmissivities are highly localized, concentrated.  
12 That's the characteristic of fracture flow.

13           And, again, people may have expected that I will be  
14 talking about fracture network modeling. Yes, we do fracture  
15 network modeling and we have models capable of doing that,  
16 but we have problems with that approach alone, having a  
17 network model standing by itself.

18           Too much emphasis on geometry; we have to put in  
19 size, distribution, orientation, density, shape, et cetera,  
20 and one would fit the function to those parameters and  
21 regurgitate or reproduce, randomize, and create fracture  
22 network. But the data for those geometry is very hard to  
23 obtain, and also data may not be relevant at all to actual  
24 flow and transport, because data from, again, classical  
25 network modeling sense, one would collect geometric data

1 observed in bore holes that may not, again, have much to do  
2 with real hydrology.

3           So our approach here is actually use the model,  
4 forward model, which is flow and transport code, and data  
5 which we report, hydrologic data obtained by hydraulic and  
6 tracer tests, and use inversion scheme which is part of  
7 numerical code and analysis process. And our final objective  
8 is a predictive model that can predict hydrology and  
9 transport of the site.

10           And, again, with a model that heavily relies on  
11 geometric data alone, would not be able to--you may be lucky  
12 to come up with a model that can do a prediction, but we need  
13 to develop a model that is coherent and that explains data,  
14 hydraulic data, that we observe through direct testing.

15           And throughout my talk, I would walk you through  
16 what forward model we use and what kind of data, how we  
17 collect, and the inversion scheme, and also I will introduce  
18 to you the prototype that Dick Luckey briefly mentioned.  
19 Again, I would emphasize that the data we use to condition  
20 or--are hydraulic test data or I call it direct, done by  
21 direct measurements, tracer test data and other direct  
22 measurements include flow meter surveys, flow surveys within  
23 bore holes, again actual direct measurement of flow. And of  
24 course there are indirect measurements like fracture  
25 geometry, pavement maps, bore hole T.V. camera, televiewers

1 and geophysical measurements such as seismic profiling.

2           They are useful, but again in terms of using it to  
3 condition a hydrologic model, we have to use it as a  
4 secondary information and direct data should be always that  
5 that conditions the model.

6           And the forward model part, we have developed  
7 TRINET. It's a three dimension model, but each element is a  
8 one dimensional line conduit mimicking channel flow. And  
9 because of high heterogeneity and high stress conditions in  
10 the tracer test, we expect a large variation in numbers, and  
11 the model allows for modeling shock front, shock wave front,  
12 to a very smooth dispersive front.

13           So a model would handle a three dimensional  
14 complicated network input like this. But, again, these  
15 inputs have to be conditioned and have to come from hydraulic  
16 test data and have to explain hydraulic and tracer test data  
17 we observe.

18           Now, how we do inversion scheme, inversions we can  
19 do, there are different ways of inverting and optimizing,  
20 coming up with the model that satisfies your criteria. Our  
21 approach is to use simulated annealing. Basically, to put it  
22 simply, if you are a hiker on a mountain, lost, you want to  
23 go to the bottom of the valley, and if you use gradient base  
24 search, which is a common way of searching, optimizing the  
25 function, what you do is you go downgrade all the time. You

1 search--you find the downgrade all the time. But then what  
2 happens is you can get caught in a local valley that gets you  
3 no where. And simulated annealing lets you basically hop out  
4 of local minimum in search of global minimum.

5           And we can iterate on fracture patterns, single  
6 fracture or fracture patterns, fracture structure or cluster  
7 fractures, and again parameters associated with those. And  
8 the interpretation of the results, again, all these models  
9 will explain or satisfy your input hydrologic data, but still  
10 the nature of it is that you will never have enough data to  
11 uniquely construct the model. You will have multiple  
12 realizations and interpreting multiple results, we can do  
13 ensemble mean analysis where we can look at the backbone of  
14 those multiple realizations.

15           Simple, I can give you a cartoon of how simulated  
16 annealing or this inversion process works. Let's treat this  
17 as unknown fracture system. We drill several wells and  
18 observe pressure tangents. We do pressure tests and use this  
19 data and the target is, one would start with a model that  
20 doesn't have any prior conceptual model in it, and start with  
21 this model, make prediction. If it's different from this  
22 hydrologic behavior, you keep changing, reconfiguring this  
23 model until it fits perfectly. Actually this is synthetic  
24 data, but these bullets and curves are data and predictions.  
25 And what you come up with is this representation of this

1 real fracture network that actually hydrologically  
2 conditioned and explains hydrology that goes on in this  
3 fracture network.

4           And to actually put the scheme and approach that I  
5 have outlined, we have a prototype site supported by the  
6 international program to do the prototyping of equipment as  
7 well as methodology and the modeling, which is the modeling  
8 and analysis that I just outlined, and also of course we work  
9 with the AECL and exchange knowledge. And this is at  
10 Raymond. We drilled wells in a fractured rock, nine wells in  
11 a radiating pattern like this to address scale issues as well  
12 as directional issues, heterogeneity. But again, the main  
13 purpose is to do prototyping.

14           USGS is using this packer string, the same make,  
15 same style, same model packer string that's being used in C-  
16 holes and will be more used in C-holes, are being tested at  
17 this site, and we have found our efforts resulted in design  
18 changes, new logistics. It's being very productive. We have  
19 developed automated tracer sampler. It does pretty much  
20 everything automatically, controlled by a PC, and the only  
21 thing that it doesn't do, and we're working on it, is to cap  
22 the bottles back, put the caps on the bottles back on  
23 themselves. And this data logger works on a 486 PC and  
24 inline fluorometer that gives us a real time count of our  
25 tracer.

1           We have again software that gives you graphics,  
2 graphics using interface, and again we can control test  
3 parameters from this computer. And this computer program and  
4 the data system is going to be used in C-holes, again as a  
5 prototyping.

6           I'll give you one example of what I mean, why we  
7 need this process and why this model doesn't stand alone, and  
8 the traditional approach in doing modeling for well test  
9 analysis is really limited. Here, in nine bore holes, we  
10 have total of about 30 observation points, packer zones.  
11 This is about the same number that's going to be observed in  
12 C-holes. C-holes are three wells, but there are going to be  
13 ten monitor zones. So there are about 30 intervals. Once  
14 you do pump tests, one pump test will give you 30 transient  
15 pumps, and traditional approach of using transparency and  
16 trying to do a type of--by hand doesn't work. And, again, as  
17 you can see, the data itself isn't fully mimicking nice--or  
18 porous medium flow.

19           We have done one tracer test. Again, this is all  
20 conservative tracer test, Las Alamos, and we put in  
21 Fluorescein, deuterium and bromide, and these are all  
22 supposedly conservative tracers. Actually, they arrived  
23 differently and we are very puzzled, but if these are truly  
24 conservative, their normalized arrival curve should lie on  
25 top of each other.



1           We have currently a conceptual model of the site  
2 and, again, this approach is going to happen parallel and a  
3 little bit in the delayed state in C-holes in Yucca Mountain.  
4 This is a prototype site and this is our best knowledge so  
5 far of this. And the issues here, again, together with  
6 actual prototyping, the relationship between fracture  
7 dispersivity and fracture geometry, averaging, we know we  
8 cannot test hydrologically throughout the mountain. We have  
9 to do some scale up averaging and also we have a concentrated  
10 effort at C-holes. That has, again, all the parameters will  
11 not go into our larger model, and that has to be simplified.

12           And again, we are looking at the way the transient  
13 curves actually do deviate from traditional or ideal curves,  
14 and that is telling you something, and we are working on how  
15 we get the information out of it, such as using inversion  
16 method. That is the automated way of applying the  
17 information out of transient curves. And another big thing  
18 that we are realizing is that there are test artifacts, and  
19 again when you drill bore holes in tight fractured rock, you  
20 create a big tunnel or a big tube, a hydraulic tube, that  
21 actually may interfere or give you a wrong signal or  
22 misleading signal of what the permeability of the rock is.  
23 Same thing with the storage. If the rock is very tight, your  
24 packed off zone may have more storage than the rock, original  
25 rock itself.

1           Tracer tests; when we deliver a tracer, we have to  
2 be really careful about the hydraulics in that injection  
3 zone. We want to know how the rock spreads contaminants and  
4 radionuclides, and we do tracer tests. But what happens is  
5 when you put tracers in the packed off zone, the bore hole  
6 hydraulics within the bore hole within the packed off zone  
7 can often influence the outcome of the tracer arrival that  
8 has nothing to do with the rock itself. So we have to be  
9 very careful about it and we are working on it, again, at  
10 this prototype site.

11           And, finally, we are addressing the issue of how  
12 much is enough. We have, again, at this small prototype  
13 site, nine bore holes, but again where do we know comfortably  
14 enough that we can do--we can say we have done enough, now  
15 it's about time we come up with a predictive model that can  
16 do prediction for the radionuclides.

17           So these are the issues we are addressing at this  
18 prototype site. And, again, to conclude, I just didn't  
19 explain to you what fracture model is, what our numerical  
20 fracture code is. It really cannot stand by itself. It has  
21 to really tightly integrate with the actual field testing,  
22 field testing design, result, analysis and feedback. And,  
23 again, at this prototype site, we're doing that and, again,  
24 at C-holes as soon as the pumping starts, we will be using  
25 all this knowledge that we have accumulated at this site.

1           And I would like to conclude, and actually a little  
2 bit after 11:00, I'd like to be excused. But I'm available  
3 for questions.

4       DR. DOMENICO: Thank you, Kenzi. Does the Board have  
5 any questions?

6       DR. LANGMUIR: I'm intrigued by your plot showing three  
7 conservative tracers that all behave differently. You  
8 mentioned that this behavior, the fact that they differ may  
9 reflect, did I hear you right, artifacts in the bore hole  
10 itself? Because if it's not that, then clearly you've got  
11 problems identifying what's going on.

12       MR. KARASAKI: Yes, we are in the process of looking at  
13 and trying to decipher what really happened here. One report  
14 I have seen from AECL says the Fluorescein actually  
15 multiplies or reacts and fluoresces more with the rock  
16 minerals or the water chemistry. And also deuterium can  
17 again--I originally thought that these are really common, and  
18 especially deuterium is like water, it's like water, it  
19 shouldn't react, but our isotope geochemist told me there's a  
20 possibility that it may react. But bore hole hydraulics is  
21 another thing.

22           We did mix on the surface very well, very nicely,  
23 and then injected it, and we tried to keep it agitated within  
24 the bore hole to keep it evenly mixed. But, again, the  
25 chemical inertness of deuterium may have just resulted in

1 sinking down to the bottom of the zone, whereas Fluorescein  
2 may have been more active in mixing. And at this point, we  
3 don't know; this test was actually--again, when we do tracer  
4 tests, at least among my colleagues or the people in my field  
5 admit that when we do tracer tests, we have to do two, one to  
6 basically plan the concentration, roughly know the arrival  
7 time, and then do it again. This test was a very preliminary  
8 test, which tracers we can use, how much, how long it's going  
9 to take to arrive and all that scoping.

10           But, yes, it resulted in this interesting--and  
11 another possibility is actually this is in the order of  
12 molecular size, and even though I really don't believe in a  
13 short time frame like this, in ten hours, and the arrival  
14 time itself didn't change, it should be retarded, if it is  
15 diffusion into rock, matrix of some sort. So we are kicking  
16 the possibility around, but we haven't really pinpointed  
17 what.

18       DR. DOMENICO: Any other questions from the board or the  
19 staff?

20       DR. CORDING: You're describing some future tests in  
21 drill holes in the Yucca Mountain block; is that correct? Is  
22 that the C-site you're talking about?

23       MR. KARASAKI: I did probably mention it, but it was  
24 more from Dick Luckey. But what I explained here, the actual  
25 data was collected at Raymond prototype site, but we used the

1 same equipment and data logger, same logistics, everything  
2 that's going to be used in C-holes in Yucca Mountain, yes.

3 DR. CORDING: Does part of these studies or your work or  
4 related work continue into the drill holes in the ESF where  
5 you're looking at flow through or across fault zones or other  
6 things that you discover there?

7 MR. KARASAKI: I would like to be contributing to that  
8 effort. That is, as I understand it, is more UZ effort, but  
9 I have been talking with PI in doing crosshole pneumatic  
10 tests, and he mentioned that he would like to use the data  
11 logger and program as is for his effort in ESF.

12 DR. BARNARD: Bill Barnard, Board Staff. I have a  
13 question for Russ.

14 One of your slides you showed that the interface of  
15 the saturated zone program with the other characterization  
16 programs. I was wondering if you could describe how that  
17 interface takes place? Do you have monthly meetings with  
18 other programs?

19 MR. PATTERSON: No, actually those are pretty informal  
20 sort of interfaces. Basically from the DOE standpoint, the  
21 DOE WBS managers, of course, are all located in close  
22 proximity. The WBS managers for those tests are also--were  
23 all within the scientific programs and we have our regular  
24 staff meetings and we talk about different things that are  
25 going on. There's also interfaces--I think there has been--

1 maybe I idealized it a little bit in that slide, maybe there  
2 hasn't been quite as much interaction as there should be, and  
3 I think that's being recognized and we're working to improve  
4 on that.

5 DR. DOMENICO: It's exactly 10:45. I think we'll have  
6 our 15 minute break. We're right on schedule and we'll come  
7 back and have another 40 minutes shared by two people, and  
8 then we'll adjourn for lunch. So we'll be back here at 11  
9 o'clock.

10 (Whereupon, a 15 minute recess was taken.)

11 DR. DOMENICO: My understanding is the next 40 minutes  
12 will be shared by Zell Peterman and William Steinkampf. Is  
13 that correct?

14 MR. STEINKAMPF: Correct.

15 DR. DOMENICO: And that puts us on schedule. So the  
16 hole has been filled, so go ahead.

17 MR. STEINKAMPF: I'm Bill Steinkampf from the USGS, and  
18 my responsibility is saturated zone groundwater chemistry,  
19 description at the site and actually at the regional scale as  
20 appropriate. And what I'll do is I'll give you a quick run  
21 through of some of the things that we have done, or I have  
22 done to date. To paraphrase a George Thoroughgood song, I  
23 work alone. I don't have any staff. He drank alone. I also  
24 drink alone.

25 The first thing I'll tell you about is Dick alluded

1 to the data set that we compiled that's everything we could  
2 find in Survey, EPA, relevant state and university  
3 publications for the hydrochemistry at the site. This has  
4 been put together. We took a quick look at it. There were  
5 something like 4,700 records that we pared down after we  
6 looked at errors, obvious errors, site errors, redundancies.  
7 I had a student do this, and it's in review now and when it  
8 gets through the USGS review and approval process, the data  
9 set is soon to be released. It provides a base of  
10 information for multiple uses. But as Dick pointed out,  
11 there are some strong caveats that we attached to it, and  
12 every use is not appropriate to the entire data set.

13           On a regional scale, one of the things that I felt  
14 that I could do with the funding that was available was to  
15 try to contribute to an understanding of the boundaries of  
16 the regional system. So because of the Park Service's  
17 interest in the ongoings at Yucca Mountain relative to the  
18 hydrologic system on a regional scale, they were nice enough  
19 to give me access to some numerous sites, some of which we  
20 have sampled within the monument.

21           If we look here, this is Yucca Mountain, Nevada-  
22 California state line, and this is Death Valley here. And  
23 these are the springs, essentially from the southern end of  
24 the monument up to the northern end of the monument that have  
25 been sampled. The idea here is to try to get some insight as

1 to the extent to which fluid in the system as we know it in  
2 this area is able to move or does indeed move through,  
3 beneath or around the Funeral Mountains Grapevine Range and  
4 on down in here, the Black Mountains.

5           We know that there is a general direction of ground  
6 water moving in this direction to the south, and there's a  
7 large playa here that's obviously a significant discharge  
8 area for the system. And with some insight for the  
9 chemistry, hopefully we can get some idea as to a  
10 quantification of the relative discharge.

11           This is just a quick and dirty Piper diagram. The  
12 data is not all in from those sites. We're still waiting for  
13 a few bits and pieces, and we can see that there is a  
14 significant amount of variation, depending on where you are  
15 in the system. On a Piper diagram, generally volcanic rocks,  
16 things like the tuffs, when they interact with water, tend to  
17 yield groundwaters that are in this area. And the evolution  
18 tends to be from generally this area down toward a more sodic  
19 type water. These represent relative concentrations.

20           Limestone waters tend to be in this area, and  
21 things like evaporite waters and sea water tend to be over in  
22 this area. And, indeed, Salt Creek here is a discharge site  
23 out in the middle of the valley floor. Concentrations are  
24 relatively high and it has evolved to a more evaporitic  
25 looking water.



1           We've got a lot of isotopic data that is going to  
2 be derived from these samples, and I would suspect that,  
3 compiled with the information that we can assemble about the  
4 site geology for the region, which is very complex, will  
5 permit us to make some statements that will provide hopefully  
6 some information to the regional modelers who are again  
7 providing the boundaries for the site model.

8           In addition to--that's it for the regional work.  
9 There's also some opportunistic work that goes on as bore  
10 holes are encountered and become available through mining  
11 contacts.

12           On the site scale, we have information that  
13 currently exists and which dates from most recently about  
14 1984, '85. These are existing bore holes in the site area  
15 and vicinity. I always kind of thought this looked more like  
16 a poorly trimmed strip sirloin than a pork chop, but that's  
17 neither here nor there. You can see where we are for frame  
18 of reference, J-13, J-12, J-11, and then out onto the area.

19           The data base that exists is for most of the sites  
20 that you see here, and is represented here on the Piper  
21 diagram, and you can see that lo and behold, there's no  
22 surprise. Everything kind of fits down here in this  
23 evolutionary path from less sodic to more sodic, bicarbonate  
24 waters. You see this everywhere in the world. There's  
25 nothing new here.

1           In looking at the data, however, at this data base,  
2 which is published and compiled in several locations, I came  
3 across some things that disturbed me a bit, one of which was  
4 the lithium concentrations that were reported. And if you  
5 look at the bar graph here, you'll see that there's a  
6 significant range of concentration variation. The J-holes,  
7 J-12 and J-13, here's the C-holes that Kenzi was talking  
8 about, and various other holes. VH-1 is off the site over in  
9 this area here. You can see a huge variation. P-1 is the  
10 Paleozoic, the single Paleozoic hole that we have at the  
11 site, one that goes through the tufts into the carbonates.

12           The purple line that is on here is the  
13 concentration at J-12 and J-13. J-13 is pumped quite a bit.  
14 It is probably the best guess for a representative water  
15 chemistry at the site. A lot of water in and out of that  
16 hole, and you'll notice that everything is above the J-13  
17 concentration, except for H-1 and this little green one I'll  
18 get to in a bit. The green one is not the data that's been  
19 released in the past. And the reason for this is that  
20 lithium bromide and/or lithium chloride were used as drilling  
21 tracers in all these holes except H-1. Tracers came in after  
22 H-1 was drilled.

23           So it's clear that this data, from samples from  
24 these bore holes which represent intervals that range from  
25 about 150 to about 1,800 meters of saturated bore hole, are

1 not indicative of the background chemistry at the site, which  
2 pointed out to me that we've got to go in and much more  
3 closely sample these holes as is possible, and new holes or  
4 additional sampling that will take place will address  
5 discretization of much smaller intervals as is appropriate or  
6 possible to try to give us as much vertical variation, as  
7 well as spacial variation, in the groundwater chemistry.

8           The green one here is data that's from UZ-14. UZ-  
9 14 is this uppermost little circle, and this other one that's  
10 highlighted here is G-1. G-1 is a geologic hole that was  
11 cored and drilled about 1980, '79, '80, '81, and during the  
12 course of drilling, something on the order of about 8 million  
13 liters of fluid were lost. This drilling fluid was a water  
14 based bentonite mud, I think largely in the upper part of the  
15 hole. Then they used detergent, air foam mix, and they also  
16 used a polymer based additive for drilling. So we've got  
17 three gross components of fluid loss.

18           UZ-14 is about 100 feet away from UZ-1, which was  
19 drilled in 1983. This was to be an unsaturated zone hole.  
20 Unfortunately, some 400, 500 feet above the water table,  
21 where the water table was anticipated, fluids were  
22 encountered in UZ-1, drilling was subsequently stopped,  
23 samples were collected and it was determined that a drilling  
24 fluid component was present in the fluids that were sampled.

25           In 1993, we revisited the site and started drilling

1 UZ-14, as I said, about 100 feet away from the site of UZ-1.  
2 The intent was to go down into the water table some 10, 20  
3 meters. Lo and behold, within about--with a meter of the  
4 elevation at which fluid was encountered in UZ-1, fluid was  
5 encountered in UZ-14. Again we sampled.

6           Here's the chronology of what transpired, the  
7 altitude of the respective zones. What happened was fluid  
8 was encountered in the course of drilling about a 3 meter  
9 interval here. Bailer samples were collected, Samples A, A-1  
10 and A-2. Another 3 meters or so was drilled, cored. Bailer  
11 Sample B was collected from that 6 meter interval, and then  
12 another 3 meters or so and we collected Sample C, and then we  
13 conducted pumping tests, 1, 2, 3, 4, and you see the samples  
14 that ensued thereon.

15           This indicates the extent to which this hole was  
16 subsequently cemented. Initially, the cementing program went  
17 in to try to seal this thing off here so that it could  
18 continue toward the objective of developing it as an  
19 unsaturated zone hole. Fluid was noted to be invading the  
20 hole, and an additional substantial cementing program.  
21 Again, this is not to scale. I just wanted to indicate that  
22 there is a big cement plug in there that was eventually  
23 reamed out essentially to the bore hole wall, and then  
24 drilling and reaming went on. Reaming stopped here and  
25 coring only has been going on here.

1           This is the approximate water level where the  
2 initial fluid was found, this initial perched fluid. This  
3 was another--the top of what appeared to be another saturated  
4 interval which was encountered. Drilling is ongoing as we  
5 speak at this hole.

6           I'll talk to you briefly about the samples that you  
7 can see, A-2, B, C and 4-1. Sample 4-1 was collected after  
8 about 6,000 gallons of total pumpage. Test 1 was about a  
9 gallon a minute. We found out that the piezometer to monitor  
10 the water levels was plugged. Started it over with Test 2,  
11 conducted a test for a day or two, something like that. Test  
12 3 we upped from one gallon a minute to two gallons a minute,  
13 and found that the water levels were dropping. In this  
14 interval here, this was the base of the testing when we had  
15 about ten meters or so of saturated thickness, two gallons a  
16 minute, pulled it down too quickly, so we went back to one  
17 gallon a minute with pumping Test 4.

18           I collected a sample in the middle of 4, toward the  
19 end, I guess, after things had stabilized to my satisfaction,  
20 and I believe that Sample 4-2 represents a Bailer sample that  
21 was collected, a suite of Bailer samples that were collected  
22 after the pumping ceased.

23           Let's look at A, B and C first. And the first  
24 thing that was quite striking was the total organic carbon  
25 concentration. Total organic carbon concentration in J-13 is

1 on the order of two-tenths of a milligram per liter. It  
2 could be .4 or it could be .3, could be .1, but something  
3 like about .2, and here we found 10, 12 and 490. 490 is a  
4 big number. I think you could fertilize with that, I'm not  
5 sure. That was quite an eye opener. I collected three  
6 samples during the pumping test and found that the three  
7 splits gave me numbers that were .4, .4 and .5. 4 is a  
8 magnitude lower than the lower most zone.

9           I'd point out that the water from the pumping test  
10 appeared to be largely coming from the central plug, roughly  
11 the center part of that 10 meter interval, corresponding  
12 roughly to where B was collected. But, again, these were  
13 bailed samples. This is a pumped sample. D is just a grab  
14 sample that was collected about three weeks ago, and the  
15 fluids that were coming into the hole during the course of  
16 drilling down to that depth had elevated pH's which we  
17 attributed to the cementing programs, the numerous cementing  
18 programs that went on.

19           Again, these three bailed samples, we did an  
20 extraction for an ethoxylated octylphenol component of the  
21 polymer based drilling mud, and we got concentrations, as you  
22 can see, somewhere between 1 and 3 for the uppermost sample,  
23 a tracer were comfortably detected in the lower most, and  
24 nothing in the sample with the highest TOC. I can contribute  
25 nothing to an explanation therein. And we can see that the

1 pH's were not remarkable from those samples. There were no  
2 lithium analyses.

3           From the pumping test samples, pH stabilized around  
4 almost exactly at 8, some halfway into the pumping test. The  
5 lithium concentration is notable because it's half that of J-  
6 13, which would suggest two things; one, that we don't have  
7 just the drilling fluid component, because if it was just J-  
8 13 water which was used to make up the drilling fluid, we  
9 should see something that would be a little closer to the  
10 lithium concentration there. Yet we have definite indication  
11 of a contaminant from the G-1 drilling. So it would appear  
12 to me, based on that, that we have some sort of a mixed  
13 system, something that reflects a natural fluid as well as a  
14 contaminant. I don't think that we can quantify them at this  
15 state.

16           The bacteria information was quite intriguing. I  
17 stopped and talked to some people at the Harry Reed Center  
18 and picked up some sterile vials, and in the course of  
19 sampling from the pumping test, filled the vials from the UZ-  
20 14. On the way back in, I stopped the same day, within a  
21 matter of hours, at J-13 and filled those, and you can see  
22 that we've got at least a three order of magnitude difference  
23 in the concentration or the abundance of bacteria. This is  
24 all I can say about it right now, other than the bacteria do  
25 not resemble the populations that are present in springs in

1 the Death Valley system right now.

2           Those look like windblown type organisms, and these  
3 organisms do not look like that. The only other thing I can  
4 say about it is that they do not look like someone's dirty  
5 hands. They do not appear to be an anthropogenic  
6 contaminant. Perhaps that explains to some extent the high  
7 TOC that was picked up in the lower part of the system. I  
8 don't know. Subsequent samples that we collect will include  
9 some sort of a bacterial or microbial sample.

10           I've got some C-14 data for, again, the suite of  
11 samples that were collected, pumping Test 1, 2 and 4. C-14  
12 samples were not collected from pumping Test 3. You can see  
13 the range. J-13 is almost identical to the pumping Test 2  
14 samples, about 29 per cent, something like that. I just put  
15 this up for general information. This doesn't cast a great  
16 deal of light on what has gone on. But, again, keep in mind  
17 that these were Bailer samples, they're far from being the  
18 most desirable type that we collect, but this was an  
19 opportunistic and expedient effort.

20           And that shoots my 15 minutes. I've got about four  
21 or five minutes. I think I can take questions.

22           DR. LANGMUIR: Don Langmuir, Board. Bill, we talked  
23 about this in Denver a couple months ago and I asked a  
24 question then and I'll ask it again. Has anybody looked at  
25 the suspended materials available that you collect on a



1 filter? Since we're really trying to identify drilling mud  
2 specifically here, it's clearly suspended stuff, and at the  
3 time, I didn't get an answer that you analyzed those  
4 materials or really focused on them. And as an adjunct to  
5 this whole issue of mixing with drilling mud versus J-13  
6 water and the perched issue, I'm still curious whether the  
7 suspended matter was collected and what it comprised.

8 MR. STEINKAMPF: Okay, we've got the filter elements.  
9 All the filtering that I did is preserved. And recently, I  
10 got some stuff from the bottom of J-13, again some bailed  
11 samples that are collected for another reason. And we're in  
12 the process of looking at the bulk chemistry as well as the  
13 mineralogy of the entrained materials--I hesitate to call  
14 them suspended--from the bottom of the hole. Now, this is  
15 below the perched zone. This is some 400 feet below, but in  
16 the interval wherein we again encountered what appears to  
17 saturation.

18 The filters--when I collected the samples from the  
19 pumping test, there was essentially nothing that came out  
20 other than your friend iron, because the filter orange'd up  
21 after a period of aging in the sunlight as we ran about 15  
22 liters of water through, and that was 0.1 microns.

23 The suspended material that we would look at, or  
24 will look at and are looking at, is largely that which is  
25 drilling debris that's entrained in a Bailer sample. So I

1 think it's going to be--again, remember that the water based,  
2 bentonite based mud was used largely, if not entirely in the  
3 uppermost section of the hole, and then they went to an air  
4 foam and this polymer, and they went back and forth between  
5 detergent and polymer, whatever worked. Beyond  
6 that, I can't provide you with--

7 DR. LANGMUIR: We're obviously very interested, and the  
8 Board would be, in the perched water issue and how it all  
9 ties together here. Maybe I'm anticipating what Zell is  
10 going to tell us and how the isotope ties into the detective  
11 work on that.

12 MR. PETERMAN: Can I just comment on the suspended  
13 material? The samples we collected or were collected for us,  
14 we prefer raw unfiltered samples and do the filtration in the  
15 laboratory. One of the samples of the P-1 test was  
16 especially gunky and we separated that material, and it was  
17 very heavy metal-rich. It had like 2,000 parts per million  
18 lead and 2,000 parts per million zinc, plus copper and  
19 molybdenum, and it looked very much like a material that was  
20 called liquid O-ring that we analyzed several years ago and  
21 supposedly was abandoned or not used any more as a pipe dope.

22 We analyzed the pipe dope that they're supposedly  
23 using and it's some sort of environmentally correct material,  
24 and it has no heavy metals in it at all. So this is a  
25 mystery. We went back and looked at one of the bailed

1 samples which was also very turbid, and we saw a lot of rock,  
2 ground up rock, but we also saw significantly elevated  
3 concentrations of lead and zinc.

4           So we're puzzled, we don't know whether--you know,  
5 there are several possibilities. Maybe the environmentally  
6 correct pipe dope doesn't work very good and the drillers  
7 prefer the old stuff, maybe the drill stem was contaminated  
8 from the earlier pipe dope. We just don't know. But there  
9 is some strange solid material in the hole that's been added.

10          MR. STEINKAMPF: And to pose a problem there, this  
11 sample had essentially no lead and zinc in it. The pumped  
12 sample had lead and zinc at the detection limit, you know, it  
13 was plus or minus the value reported, plus or minus one  
14 microgram. So I don't know how that fits.

15          DR. DOMENICO: Well, I'm going to move it along. Zell,  
16 will you give us your presentation, please?

17          MR. PETERMAN: Thank you.

18                 This follows along with Bill's presentation, and  
19 I'll describe the strontium, and if time, the uranium isotope  
20 data that we've acquired on samples from UZ-14. I'll try to  
21 address these topics as time permits. Bill has pretty much  
22 set the stage for the history of the well and the encounter  
23 of the water in UZ-14, and this pretty much says the same  
24 thing in terms of the history, except that this is from the  
25 collar of the hole.

1           So what we did was--let me add one thing here.  
2 This zone occurs at the top of the lower vitrophere in the  
3 Topopah Spring tuff, and this of course is the zone that  
4 regionally commonly shows the effects of past water - rock  
5 interaction. So we know that throughout the mountain at some  
6 time in the past anyway, it has been a wet zone.

7           Of course the importance of whether or not it is  
8 perched, I think the first question has been answered, it  
9 doesn't appear to be the water table. If it's perched, it  
10 would be desirable to know the extent and thickness of the  
11 zone. If it occurs in the repository block, of course it  
12 could be encountered in the ESF, mainly in the ramps that go  
13 down to the Calico Hills, and also if it is extensive  
14 throughout the repository block, I would think it would have  
15 to be taken into account in any thermal loading model. This  
16 would be a body of water then much closer to the repository  
17 itself than previously thought, and I suppose would have to  
18 be evaluated in terms of what it might say with regard to a  
19 fast pass scenario.

20           I'll first talk about the strontium data, and I  
21 have to give a little tutorial here. It's a system, isotopic  
22 system that has been applied to hydrology, but I need to just  
23 mention a couple things. The main utility of the strontium  
24 system is that strontium at these sorts of temperatures of  
25 course is a perfect geochemical analog for calcium. The

1 utility of the system itself derives from the fact that  
2 strontium 87 is formed by the decay of rubidium 87, which has  
3 a very long half life, but it ends up that different  
4 materials in the earth's crust have different isotopic,  
5 strontium isotopic ratios, which is what makes it valuable as  
6 a natural tracer.

7           Since we can't measure absolute abundances on a  
8 mass spectrometer, we derive this equation here by strontium  
9 86, which is a non-radiogenic isotope, and thus we measure  
10 the ratio today in rocks, we can measure this ratio. Because  
11 deviations are small, even though our precision is very  
12 great, we can measure ratios to 50 parts per million or  
13 better. It's convenient to express this ratio as a delta  
14 value from some standard, and we use modern sea water as the  
15 standard, and so this is a per-mil deviation from modern sea  
16 water.

17           I'd like to digress just a minute. This is not the  
18 first time that we've used this system at Yucca Mountain.  
19 Starting with the calcite silica issue, golly, several years  
20 ago now, and also in the climate program, we've been  
21 acquiring a rather broad data base for strontium isotopes in  
22 groundwaters of the region, both in the Paleozoic aquifer and  
23 in the Cenozoic aquifer, and part of it has been under the  
24 Paleo climate program and part of it under the calcite  
25 silica. And I don't expect you to make any sense out of

1 these numbers. They're in your handout. If you want to try  
2 to contour them or anything else, you're welcome to do that.

3 I will point out one thing. There is an isotopic  
4 high right in here. Generally, the numbers in a very crude  
5 way increase from north to south. There's a isotopic high  
6 right here. The Funeral Range and the Precambrian rocks of  
7 the Funeral Range are just to the southwest of that isotopic  
8 high. If we look at the Paleozoic data set, which also has  
9 continued to grow over time here, we see these are the Death  
10 Valley springs, we see an isotopic high over here in Death  
11 Valley, which may indicate that indeed there is some flow  
12 beneath the Funeral Range from the Cenozoic aquifer into the  
13 Paleozoic aquifer, and that would explain these numbers very  
14 nicely.

15 I should also point out that there's a parallel  
16 data base being generated over in here by the Environmental  
17 Restoration Group, and specifically by the people at Lawrence  
18 Berkeley. So when we're all done, we're going to have a very  
19 nice regional data set to address some of the issue that both  
20 Russ and Dick mentioned with regard to, you know, where does  
21 the water come from, where is it going, are these things--is  
22 there any possibility that they're mixing, that sort of  
23 thing.

24 So we're still kind of in the data gathering stage  
25 there, but there's some very interesting trends and spacial

1 variations that make us think that it's going to be a very  
2 useful data set.

3           Back to the UZ-14 now. As I say, that was kind of  
4 a digression. This is the pumping history of the perched  
5 water in UZ-14. Bill mentioned it. This just shows it  
6 graphically, a total of about 6,000 gallons were eventually  
7 pumped and sampled. A number of samples were taken for  
8 isotopic analyses during the course of the pumping.

9           Measurements were also made by the people who were  
10 out there, pH and specific conductance, and the main point  
11 here is the top one plots against time and the bottom one  
12 plots against volume, and the main point I want to make is  
13 there was a lot of noise early on in both these parameters  
14 and then a general plateauing as time went on, both in  
15 conductance and pH. I don't know the significance of these  
16 early variations with this strange material that we've found  
17 in the well. It obviously has been introduced at some time,  
18 whether it was drilling of UZ-14 or--I think it probably was,  
19 they can't conceive of this crud being transmitted along a  
20 fracture. If it was, it's certainly a major fracture down  
21 there. But with that sort of material in there, I would  
22 think that could certainly perturb both conductance and pH.

23           Okay, let me show you the strontium data to start  
24 with. The vertical axis is this delta strontium parameter  
25 that I showed earlier. Zero on that scale would be sea

1 water. The top graph plots against date, because these are  
2 the bailed samples over here. The red dots are  
3 concentrations. The scale for that is over here. By and  
4 large, everything averages about .2 to .3 milligrams per  
5 liter of strontium, which is moderately high.

6           The bottom graph plots against volume now, which  
7 then is this data right here, expanded to the pump test. And  
8 I want to point out two things. One is that although there's  
9 quite a bit of scatter here, the average of the bailed  
10 samples in terms of delta strontium is about 4.5. I have to  
11 mention one thing here, too. Early on in the pumping, it was  
12 necessary to fill the pipe with water. This was a low volume  
13 pump, and it was filled with J-13 water. Some of that got  
14 away and got back into the system. So there was some J-13  
15 water added here during the pumping. What we see  
16 isotopically, this line down here represents J-13. We've got  
17 it very well characterized, at least the J-13 water that is  
18 being pumped today.

19           You can see that there was a lot of dispersion here  
20 in this isotopic parameter, a lot of scatter, and then with  
21 time there's very clearly a stabilization with one anomalous  
22 sample here. The mean of this what we call the stabilized  
23 signal is 4.45. So one conclusion you can make from this;  
24 first of all, there are at least two waters present in the  
25 hole, and there is a water then that's stabilized with



1 pumping. It had a value here, it's quite distinct from J-13  
2 water. This noise here could either be the result of J-13  
3 water that leaked from G-1, or it could be J-13 water that  
4 was introduced during the pumping. We can't tell the  
5 difference. We think we've characterized here the isotopic  
6 composition of the indigenous water.

7           I want to compare that water signature with a  
8 couple of things now. There are calcite veins in the  
9 unsaturated zone. They're not terribly abundant, but they do  
10 exist, and over the years, we've been able to acquire a  
11 number of samples of these things. What's plotted here are  
12 calcite veins for a variety of drill holes, just as a  
13 distance of the water table at delta strontium along the X-  
14 axis.

15           This is what I'll call the stabilized UZ-14 water,  
16 and then these are the isotopic compositions of various  
17 calcites. You see the UZ water does fit in the range of  
18 these calcites. The average, excluding these G-2 calcites  
19 which we make another story on totally, the average of these  
20 calcites is about a delta strontium of 4, and we have a large  
21 data base for surficial calcite that evolved mainly through  
22 the calcite silica study that went on for several years, and  
23 I'll just show you that numerically.

24           Surficial carbonate, this would be pedogenic  
25 calcite, slow parallel calcite, vein calcite at the surface,

1 Trench 14 calcite, whatever you want, it shows a very tight  
2 distribution, has a mean delta strontium of 4.43, very  
3 limited dispersion and we have a large data set.

4           The UZ fracture fillings have a much smaller data  
5 set. They show a much larger dispersion. UZ-14 water is  
6 virtually identical to the surficial calcite. We have 13  
7 samples that we would say are on that stabilized plateau, and  
8 it's a very tight clustering of data.

9           The tertiary aquifer water, we don't have a whole  
10 lot of data from Yucca Mountain itself, but the J-12, J-13,  
11 JF-3, a couple other waters in there, have an average value  
12 of about 3. So the UZ-14 water is very distinct from  
13 anything in the saturated zone in the vicinity of Yucca  
14 Mountain. It's virtually identical to the surficial calcite  
15 and we would argue that a very plausible scenario, we think a  
16 very likely scenario is that this is indeed a perched zone.  
17 There's mixed water in it now. We don't know when the other  
18 component was introduced, whether it was ten years ago or  
19 last summer. The indigenous water has a unique isotopic  
20 composition. That composition is virtually identical to  
21 surficial calcite. We would say that it picked up its  
22 strontium signal at the surface and percolated downward and  
23 got trapped in that perched zone.

24           Now, uranium isotopes are a little more ambiguous.  
25 We can use the 234, 238 ratio as the tracer, just like we

1 can strontium. Most times, the 234, 238 ratio is above unity  
2 in oxidizing waters. If it were in secular equilibrium, it  
3 would be one. We have a lot of data on groundwater from  
4 Yucca Mountain and the range is 1.1 to 7.

5           Again, just like the strontium, I'll show you this.  
6 The uranium data we have, which we have much less uranium  
7 data, shows a trend with time, and this is rather puzzling to  
8 us and we don't have an answer for this at the moment. The  
9 trend actually starts, the lowest value starts below J-13  
10 waters, but with time and pumping, it appears to stabilize at  
11 a value of about 7.4, or something like that. So this is  
12 still a mystery. This could indicate that there's yet a  
13 third water in there, or the J-13 water possibly that they  
14 used ten or twelve years ago, or whenever it was, maybe J-13  
15 has changed its isotopic composition with time for whatever  
16 reason.

17           All the uranium isotope ratios that we've done at  
18 Yucca Mountain or regionally, it's not just at Yucca  
19 Mountain, you see J-13 is a real end member here, and if  
20 you'll look at a map and plot these data up, you'll see  
21 there's a bull's eye around this J-13 value. Anyway, the  
22 perched water or the UZ-14 water is a couple orders of  
23 magnitude lower in uranium concentration, and I realize there  
24 are, you know, potential complications here with uranium  
25 precipitating out or being absorbed on iron oxides. We don't

1 think that would change the isotopic composition, so the  
2 isotopic composition is up here at the extreme end and  
3 significantly different than the J-13 water.

4           So in conclusion, we can conclude that, one, there  
5 are at least two waters present in UZ-14. We also conclude  
6 that one is, on the basis of these isotopes, one is a real  
7 perched water and that we think it's probably more than  
8 coincidence that this zone that contains the perched water is  
9 also a zone regionally that shows the effects of water - rock  
10 interaction in the past.

11           So with that, I'll stop.

12       DR. DOMENICO: Thank you very much, Zell. Any questions  
13 from the Board? Don?

14       DR. LANGMUIR: Langmuir, Board. Bill Steinkampf showed  
15 us some what looked like uncorrected C-14 dates from the  
16 later pumping that showed that the apparent ages were getting  
17 older. I wondered if there was any corrected information  
18 which would give us some idea perhaps of the age of this  
19 perched water body. And that question has to do with what  
20 you think the size of it might be, from what information you  
21 have and what you could do next to establish that.

22       MR. STEINKAMPF: No, Don, there's no corrected numbers.  
23 We really don't have a means to do that realistically, I  
24 think, to come up with a number. We've got C-13. I've got a  
25 C-13 number for one sample, but I don't feel that that's

1 sufficient to do a correction to meaningfully put an age on  
2 it.

3 DR. LANGMUIR: Can you at least bound it, given what  
4 information you have?

5 MR. STEINKAMPF: Yes, but I wouldn't be proud of the  
6 confidence in it.

7 One thing that I didn't mention was that on the  
8 slide, that Piper diagram that had a site data, if I can put  
9 this up for a second, you'll notice there a thing that looks  
10 like an oil well, there's an A, a B and a C. The oil well is  
11 the pumped sample that I collected, and the A, B and C  
12 represent that series of three bailed samples. And you can  
13 see that they are all conspicuously up on the higher end of  
14 the area, which strongly implies that they are much less  
15 chemically evolved than the rest of the volcanic waters. And  
16 this coincides, perhaps serendipitously, with the lower  
17 lithium concentration, which equally supports the less  
18 evolution, less water - rock interaction, less contact time  
19 than waters that we see from the saturated zone, even though  
20 these samples were not the best in the world.

21 DR. LANGMUIR: I've forgotten what the age date on J-13  
22 is. What does C-14 tell us about J-13?

23 MR. STEINKAMPF: It's about 29.2 per cent modern, Don.  
24 I don't know what the numbers are. I think it's going to be  
25 on the order of 13,000 years, thereabouts.

1 DR. LANGMUIR: I guess the other question is for Zell,  
2 whether either one of you or anybody in the group now has a  
3 sense of how large this perched water body might be, what  
4 volumes of water we're dealing with and how we'll get a  
5 handle on that.

6 MR. PETERMAN: Yeah, there's a little bit of water in  
7 NRG-7 now. They're pulling up damp cores from SD-12, is it,  
8 or where's the LM-300 now? They describe it as damp core.  
9 So the answer is it's not known, the extent is not known. I  
10 would think it would be a critical thing to know.

11 MR. STEINKAMPF: But every place that the basal  
12 vitrophere or the Topopah has been penetrated has evinced  
13 significant alteration, healed fractures. That's Schon's  
14 magic zone. I believe that one core through the vitrophere  
15 in the vicinity of a fault showed some movement and that the  
16 fault plane did not appear to be altered, which should  
17 suggest something about the temporal nature of the occurrence  
18 of or arrival of fluid at that zone. I don't know if there  
19 is any information that reflects the presence of fluids  
20 adjacent to that altered zone, but I know that in the past,  
21 drilling tended to proceed at a fairly rapid rate, and that  
22 on occasion--or that there was less attention to detail  
23 perhaps paid that could have resulted in missing something of  
24 this nature.

25 DR. LANGMUIR: One more. When we talked about this at

1 the Geologic Survey a month or two ago, Alan Flint presented  
2 a model at that time in which he suggested he could predict  
3 where perched water might occur at Yucca Mountain. How do  
4 you feel about his modeling effort and where do we stand on  
5 our comfort zone and those predictions at this point? This  
6 apparently was consistent, this occurrence, with his  
7 predictions.

8 MR. STEINKAMPF: It seems to make sense. The control  
9 appears to be the presence of more permeable unit, those  
10 below the top of the Tiva in these topographic rows in the  
11 washes, and that's essentially the correlation--correlation  
12 is not the right word. Those were the zones where Alan  
13 predicted higher water, and it appears those are the zones  
14 where we have indeed determined it. But, again, I don't  
15 think that we looked sufficiently closely at that contact,  
16 the top of the vitrophere, in the past, you know, the  
17 drilling in the Seventies and Eighties, to comfortably say we  
18 didn't hit perched fluid anywhere else. So as far  
19 as the distribution over the site, I think it's inconclusive  
20 at this stage.

21 MR. PETERMAN: That's right. The Paintbrush does crop  
22 out in the bottom of some of those draws in the northern part  
23 of the area, whereas it doesn't to the south.

24 DR. DOMENICO: Very good. I'm going to move on to the  
25 last presentation of the morning. Mike Wilson from SNL will

1 talk to us about what might happen if we get a does standard.

2 MR. WILSON: Okay, we have a bit of a change of subject  
3 now. I'm going to talk about the role of the saturated zone  
4 in performance assessment, not exactly as Pat just said,  
5 having to do with a dose standard, but I am going to be  
6 talking about what effect that has quite a bit.

7 So in performance assessment, what we want to know  
8 is how good a barrier might the saturated zone be in reducing  
9 releases to the accessible environment, and the answer to  
10 that is it depends. And I want to point out two things that  
11 it especially depends on; the time period that you're  
12 interested in and the type of standard that you're interested  
13 in.

14 As far as time period, what we have found so far in  
15 preliminary modeling is that for a very short time period,  
16 say the thousand year ground water travel time criterion, the  
17 contribution by the saturated zone may be quite significant.  
18 For a 10,000 year time period like the old EPA standard,  
19 it's questionable. It may have a significant contribution,  
20 though most of our preliminary modeling shows that it's not  
21 very significant. For a long time period, 100,000 years or  
22 more, it becomes less and less important.

23 The reason we're considering these long time  
24 periods is we know that there's a new standard coming up and  
25 we don't know what it's going to be like, and we're concerned



1 that there is a non-negligible chance that they may change  
2 the time period for the standard. So we are interested in  
3 what kind of effect that would have on our measures of  
4 performance.

5           The other thing that has some effect on how  
6 important you consider the saturated zone to be is what kind  
7 of standard you have. For a cumulative release type  
8 standard, at short times, as I said, the transport time may  
9 be significant. At long times, you can probably neglect the  
10 presence of the saturated zone entirely.

11           For an individual dose type standard, the amount of  
12 dilution in the saturated zone is a very key factor. And so  
13 something I want to really emphasize here is that with a  
14 cumulative release type standard, you can probably get away  
15 with neglecting the saturated zone if you want to. It may  
16 not be a wise thing to do for the reasons that Dick Luckey  
17 pointed out earlier, but you probably can.

18           For a dose standard, I really don't see how you can  
19 neglect it at all, because you're interested in what the  
20 concentration is in that saturated zone water when you  
21 calculate your doses.

22           For the rest of this talk, what I want to do is  
23 talk a little bit about some results we've gotten from our  
24 total system performance assessment study that we did last  
25 year and what we think we've learned from it as relates to

1 the saturated zone.

2           First I'll talk about a three dimensional model of  
3 the saturated zone that we developed and did some flow and  
4 transport calculations with, and then I want to talk a little  
5 bit about effects of climate change on the saturated zone,  
6 and in particular as they affect dose calculations, and then  
7 at the end, I will talk about some of the items that we have  
8 found in our sensitivity studies to be particularly important  
9 and some of the activities that are planned that will help to  
10 give information on those.

11           For our total system performance assessment last  
12 year, George Barr developed a three dimensional, relatively  
13 local saturated zone model for our performance assessment  
14 calculations, and I wanted to point out one thing in  
15 particular, and that's that the calculations are done  
16 assuming an equivalent porous medium type modeling. So it's  
17 different from the discrete fracture network type thing that  
18 Kenzi Karasaki was talking about earlier. We're very  
19 interested in examining the implications of a fracture  
20 network model to performance, but we have not done so yet.

21           The reason for doing these models is because we  
22 want to know, for different kinds of assumptions, what the  
23 effect is on repository performance. And in particular,  
24 George developed two calibrated models of the saturated zone  
25 flow. The first one basically represents the same type of

1 flow system as in the old Czarnecki model of ten years ago,  
2 and the second one is developed by putting in a coupling with  
3 the carbonate aquifer, as proposed by Fridrich, et al a  
4 couple, three years ago. And in both cases, the information  
5 that was shown earlier, the potentiometric information of  
6 Ervin, et al, was used for developing the boundary  
7 conditions, since it is a local model and there are not  
8 natural flow divisions at the boundaries.

9           This shows graphically the area that's being  
10 modeled. The actual model is a thin slice, only 200 meters  
11 thick, starting at the water table and going down, and it's  
12 roughly 8 kilometers on a side, and this shows you more or  
13 less how big 8 kilometers is for the Yucca Mountain region.  
14 And just so you can see it, this is what the numerical grid  
15 looks like. It has about 7,000 elements, and as is shown  
16 here, it has the region subdivided into five geologic units;  
17 Topopah Spring, Calico Hills, Prow Pass, Bullfrog and Tram.  
18 And that's not necessarily how it's divided for the material  
19 properties of flow, especially the hydraulic conductivity  
20 there. There was additional subdivision of these units as  
21 far as the material properties was concerned.

22           This shows the top of the grid and some of the  
23 important features. It shows where the repository is on  
24 there. The green dots are locations of existing wells where  
25 we have potentiometric information. Those are the points

1 where the model is being fit to. The idea is to pick a set  
2 of hydraulic conductivities for the different material  
3 subdivisions and then vary them within the acceptable range  
4 to try to match the potentials at those points because that's  
5 the currently available information.

6           And some that George found in his experimenting is  
7 in hundreds of different attempts and variations of the  
8 hydraulic conductivities, he was unable to get a good match  
9 of the potentials at those points unless he made some  
10 assumptions, some additional assumptions. And he found that  
11 if he put in reduced conductivity at those two areas shown in  
12 blue, that he could get a good fit. And so the implication  
13 that he's drawing from the modeling he did is that he thinks  
14 it looks like along Solitario Canyon fault and along  
15 Drillhole Wash, that there's a reduced conductivity.

16           And this is not something that is by any means  
17 certain. It's a very poorly constrained problem. We don't  
18 have enough information to constrain the calculations enough  
19 to get a unique answer. And in fact, as I already mentioned,  
20 George developed two answers, and there's probably an  
21 infinite number of possible answers that you could get by  
22 varying these things.

23           But with putting the reduced conductivity in those  
24 areas, he was able to obtain a very good fit, and it's  
25 suggestive and it's something that's relatively easily

1 testable, so that's something that should be easy enough to  
2 determine as we get more data.

3           This shows the results of the transport  
4 calculations that George did, and there's a couple of things  
5 that I want to point out. Number one, there's a range of  
6 transport times calculated, and it depends both on which of  
7 the two models you choose, the one with the drain to the  
8 carbonates or the one without the drain, and it also depends  
9 on the position within the repository area where you have  
10 your release point. And one thing that's of interest is that  
11 all these calculated transport times are shorter than ones we  
12 had used earlier, which were done with a two dimensional  
13 model that was developed by Czarnecki.

14           A good part of that may just be because of going to  
15 three dimensions instead of two dimensions. You have  
16 additional possibilities for going around low conductivity  
17 areas when you have higher dimensions.

18           Something that we did not expect is that in these  
19 calculations, the model with the drain has shorter transport  
20 times than the model without it. This is not what we  
21 expected. The concept of the drain model was that most of  
22 the water flow is going down to the carbonate, and what's  
23 left in the tuff is relatively slow moving. That isn't what  
24 happened in this model.

25           George thinks that if he were to increase the

1 amount of flow that he put down the drain, that he may be  
2 able to obtain a calibrated model in which you get that  
3 concept better, and the transport times are already here  
4 somewhere, but that just shows you the amount of uncertainty  
5 there is in these calculations.

6           Okay, moving on now to climate change and dose  
7 calculations, there's basically three things you can think of  
8 that climate change may do to the saturated zone, and one is  
9 that the water table may go up. And Zell Peterman and the  
10 people who work with him have found evidence that the water  
11 table has been as much as 120 meters higher in the past. So  
12 it's not a negligible thing.

13           Something that also can have an effect on the  
14 calculated doses, as I will show a little later, is what time  
15 scale you're talking about for this water table to rise.

16           All right, secondly, is the water flux through the  
17 saturated zone affected by climate changes, or is it  
18 relatively stable over time. I don't think we have any  
19 information at all on that at this time.

20           When the water table goes up, does the mixing  
21 depth, that is, the depth, the vertical distance over which  
22 the radionuclides are mixed, would that increase as the  
23 saturated zone goes up, or does it just move up with the  
24 saturated zone? That's something that we would like to have  
25 some information about.

1           And, lastly, when the water table rises, you have a  
2 possibility of a completely different set of flow channels  
3 becoming active and changing the flow system considerably.

4           This is an illustration, it shows a typical dose  
5 calculation from our total system performance assessment, '93  
6 calculations, and there are several things I want to point  
7 out about it. Number one, this is based on the concentration  
8 of saturated zone water at the accessible environment  
9 boundary. So it's water in the saturated zone 5 kilometers  
10 away from the repository, is what this is based on.

11           You can see that this shows a one million year  
12 period. That's the time period we chose to do our  
13 calculations for because, as I said, we were concerned that  
14 trying to get an idea of how longer time periods might affect  
15 our calculations, and it looked like a million years was  
16 enough time to see the peak calculated dose in most cases.

17           For this one, you can see the peak dose occurs at  
18 about a quarter of a million years.

19           The quasi periodic structure you see here arises  
20 from the assumptions that we made about how climate change  
21 affects the system. And these are by and large assumptions,  
22 because we don't have very certain knowledge at this time.  
23 Number one, we assumed that there was a regular 100,000 year  
24 period for the climate cycle. However, the amount of time  
25 within each cycle that was allocated to dry and wet climates

1 was a variable, and that's why you get as much variation as  
2 you do in this calculation.

3           The second thing that's important in this, and that  
4 I'll talk a little bit more about, is that highest doses are  
5 occurring during what we assume are wet climate periods, and  
6 the low doses are coming from dry climate periods. And the  
7 last thing that is of interest I think is occasionally, such  
8 as right here and here and here, there are little spikes in  
9 the dose calculation, and that's coming from the assumptions  
10 we made about how the water table rises.

11           In our calculations, we simplified things and just  
12 said that when you change to a wet climate period, the water  
13 table goes up just instantaneously by some amount, and it was  
14 something that was varied in the calculations, but it could  
15 be, as I said, up to 120 meters in what we did. And what we  
16 assumed was that any radionuclides in that interval were then  
17 suddenly injected into the saturated zone flow, so that you  
18 get a spike in your calculated dose because of that. And it  
19 may be exaggerated because of the fact that we made it  
20 instantaneous rather than spreading it out over some amount  
21 of time.

22           This is an illustration of one of the effects I  
23 just talked about, and that's that the calculated doses are  
24 higher during the wet climate period. This shows what I'm  
25 calling potential dilution factor. This is the multiplier



1 for the concentration being released from the waste packages.  
2 So that when this factor is lower, that means there's more  
3 dilution. So over this direction, you have higher dilution,  
4 and in the plot, the dilution is higher for the assumed dry  
5 periods than for the wet periods. And this seems the  
6 opposite of what you would think. In the wet period, there's  
7 more water, it should be diluted more. But it's because in  
8 the calculations, we did not make any changes in the  
9 saturated zone flow for the changes in climate. So that  
10 basically what happens is in the wet climate period, you get  
11 more radioactive material being leached out of the repository  
12 and dumped into the same amount of saturated zone flow. And  
13 so that's why it's the opposite of what you might have  
14 expected.

15           And then I also wanted to illustrate the effect of  
16 these sudden jumps in water table. The green calculation  
17 shows distribution of calculated doses if you turned off the  
18 changes in water table height so that you didn't have this  
19 sweeping out of material from the lower part of the  
20 unsaturated zone. And you can see that those water table  
21 rises are accounting for maybe a factor of three increase in  
22 the doses. So it's not big on a log plot, but it's something  
23 that would be nice to nail down a little better.

24           To wrap up this discussion of the examples, I think  
25 there's three important saturated zone issues for performance

1 assessment; number one, what is the overall flux through the  
2 saturated zone. If you have a higher flux, then that means  
3 that your transport times are lower and it also means that  
4 your doses are higher.

5           Is the transport pretty well mixed over the area,  
6 or is it highly channeled? If it's channeled, presumably  
7 that means you have faster transport, so lower transport  
8 time. It's a little unclear what channeling would do to the  
9 dilution and, therefore, the doses. If you have a bunch of  
10 discrete fracture channels or other type of channels and the  
11 contaminants get more or less mixed among all the channels,  
12 then there's probably not much effect on the dilution and the  
13 doses. But if most of the radionuclides get into one of the  
14 channels and a lot of the rest of the saturated zone flow is  
15 clean, then the concentration in that one channel could be  
16 very high, and so you could get increased doses, depending on  
17 what happens when you withdraw it, whether you mix in water  
18 from the other channels when you withdraw the water.

19           And then lastly, how do climate changes affect all of  
20 these things.

21           And now I want to close by talking about several  
22 things that we've found within our sensitivity studies and  
23 our performance assessment models to be important. And in  
24 brackets after each one, we show some of the USGS studies  
25 that are planned that may provide the information on these

1 areas, and I want to point out that many of these are planned  
2 but not necessarily going on at the moment, and when they  
3 will take place will depend on funding levels and what  
4 Scenario A does and all that.

5           So first of all, because of the modeling I showed  
6 that George Barr did, it looks like the Solitario Canyon and  
7 Drillhole Wash faults could be important control areas to the  
8 local saturated zone flow. So we think it would be important  
9 to characterize those areas.

10           And then next, the large hydraulic gradient; we  
11 really need to know what is going on there. Is it a drain to  
12 the carbonates like Fridrich suggested, or is it something  
13 else? We need to know what the implications are for  
14 repository performance from whatever it is that's going on  
15 there.

16           Next, the mixing, the dispersivity, whatever else  
17 you want to call it, needs to be characterized. Right now,  
18 we're pretty much making wild assumptions about what those  
19 things are because we don't have any real information.

20           And then lastly, climate effects, especially what  
21 the water table variations might have been in the past and,  
22 therefore, extrapolated into the future, both in magnitude  
23 and the time scale over which it happens and how it may  
24 affect the mixing and travel time.

25           Any questions?

1 DR. DOMENICO: Very good, Michael. I have a question.

2 When you said you had to lower the conductivity to  
3 recapture the known potentiometric surface, that really means  
4 that you probably treated it as a barrier of sorts; is that a  
5 fair statement?

6 MR. WILSON: Basically, yes. I can't remember how much  
7 you decrease it. It decreased it a couple orders of  
8 magnitude or something, the conductivity for those cells.

9 DR. DOMENICO: With the drain model in your flow  
10 analysis, could you capture that same piezometric surface by  
11 putting in the proposed drain, or did that not work?

12 MR. WILSON: No, it didn't work. He ended up having to  
13 put in those features in the drain model as well. But like I  
14 say, if you increased the amount of flow through the drain,  
15 maybe that would change the situation.

16 DR. DOMENICO: We've done some modeling. We couldn't  
17 get it to work with the drain model, and the only way we  
18 could reproduce it was with a barrier. It's been noted, I  
19 think, that a large gradient, you can almost make a case that  
20 it coincides with the boundaries of the calderas, so it very  
21 well could be that.

22 With regard to your transport modeling, how do you  
23 get dilution? Just recharge as it goes along? Because you  
24 don't have a hell of a lot of dilution, you don't have a lot  
25 of recharge in that system.

1 MR. WILSON: No, there's not a lot of dilution.

2 DR. DOMENICO: How do you get it? How do you put it  
3 into your model? Is it rainfall?

4 MR. WILSON: In the unsaturated zone, yes. In the  
5 saturated zone, we just assume there's some amount of water  
6 there, and so dilution will be that amount of water divided  
7 by however much water we assumed there was in the unsaturated  
8 zone. And that's coming from the amount we assume is  
9 percolating and also from how many waste packages there are  
10 contributing, which depending on the amount of water flow  
11 there is.

12 DR. DOMENICO: Could you make a dose standard?

13 MR. WILSON: Could we--

14 DR. DOMENICO: Could you meet a dose standard?

15 MR. WILSON: Our preliminary calculations show very high  
16 doses. I don't feel like that's necessarily right, because I  
17 think our source release calculations are very conservative  
18 right now, and so I don't feel like we can really answer the  
19 question right now.

20 DR. CANTLON: Cantlon, Board. Have you looked at all  
21 about Tom Buscheck's postulate of moving a fair amount of  
22 water up from the top of the saturated zone under heating and  
23 what that might do to input of isotopes down into the sat.  
24 zone?

25 MR. WILSON: We have not included that in our models

1 yet. And something I did mean to point out at that one chart  
2 early on is that the thermal effects could have important  
3 impacts on these things, but we haven't included that.  
4 Buscheck has said there may be convection cells in the  
5 saturated zone, and there may be precipitation of calcites  
6 and things like that, and we have not looked into those yet.

7 DR. LANGMUIR: This is Langmuir, Board. This gets to an  
8 area that I was going to ask you about, too, Mike, and that  
9 was the source term. You had to assume a release rate, an  
10 event, some sort of failure scenario from somewhere within  
11 this program, which obviously has major uncertainties  
12 attached to it. Have you done sensitivity on how much that  
13 might affect what you're concluding here in terms of dose  
14 calculations over time? Obviously, it's going to have a  
15 major effect, what you assume.

16 MR. WILSON: I'm not quite sure I understand your  
17 question. But I think the point is that what assumptions you  
18 make about the source term and how water contacts containers  
19 are--in our sensitivity studies, we find that to be very  
20 important, and that's really where we think we need to put  
21 the most effort.

22 DR. LANGMUIR: Are we in the right order of magnitude at  
23 this point even? Do we know that much?

24 MR. WILSON: We are really forced right now to make some  
25 rather incredible assumptions, which as much as possible we

1 try to make conservative. For example, when--we have an  
2 algorithm that we use, which may or may not be right, to  
3 calculate how much water contacts waste containers and how  
4 many waste containers get contacted. And then using  
5 corrosion models, we calculate that some of them fail, and at  
6 that point, we just pretty much evaporate the container and  
7 assume that water is contacting the waste and carrying it  
8 away. But if you corrode a few holes in the container, it  
9 may be very hard for water to get into the container and then  
10 for the contaminants to get back out. And so I think that's  
11 a very large area that we need to look into and maybe reduce  
12 the conservatism.

13 DR. LANGMUIR: One further question. You mentioned in  
14 passing that--and I should have caught this in previous  
15 meetings we've had--that there was evidence of the water  
16 table being 120 meters higher and that Zell had some things  
17 to say about that. My question is do we have any way of  
18 knowing when that 120 meters higher water table existed, and  
19 since then, have there been changes because of alteration in  
20 the rock which would affect its recurrence, or what would  
21 create that, from infiltration perhaps?

22 MR. PETERMAN: There are several lines of evidence that  
23 would argue for that 100 to 120 meters higher. Perhaps the  
24 most compelling evidence is the existence of the old spring  
25 deposits at the south end of Crater Flat and just north of

1 Highway 95. The best U-series ages we have from there  
2 indicate that they were wet between 15 and 20,000 years ago,  
3 and maybe, you know, several times prior to that. That's  
4 based on U-series ages mainly of root casts.

5 DR. LANGMUIR: But the hydrologic properties of the  
6 rock, alteration has been taking place through time, but  
7 could you infer that the rock properties have not changed  
8 since then?

9 MR. PETERMAN: Well, there, the water table is in the  
10 alluvial valley fill so, you know, that's pretty coarse  
11 stuff. Under Yucca Mountain, you see spotty alteration above  
12 the water table. Yes, certainly, you know, where that  
13 occurs, that could change the rock properties; right.

14 DR. DOMENICO: Any questions from the staff?

15 MR. REITER: Mike, I think this is a good example of  
16 what I believe the Board has been asking for, feedback from  
17 performance assessment and what kind of tests are really  
18 important. But let me take it a step further. Last January,  
19 we saw results from stuff that your cohorts in Sandia are  
20 doing, and they not only listed things which are important,  
21 but things which are less important and not so important.  
22 Could you give us some idea as to whether you'd be able to  
23 come up or give advice to the project office as to what kind  
24 of things are not as important as they might seem to be?

25 MR. WILSON: That's a mean question. I always have to



1 give a couple of paragraphs of caveats before making any  
2 statement like that. I'm nervous because there's so many  
3 things left out of our models right now that we could be  
4 misled. But--do I want to say anything?

5           Let me just state that in what we--in our modeling,  
6 what we found to be most important is the water flux through  
7 the unsaturated zone and how it interacts with waste  
8 containers. And I guess anything else is less important.  
9 I'm not sure what to say.

10          DR. DOMENICO: Would you like some time to rehearse an  
11 answer so you can come back to us this afternoon?

12          MR. WILSON: Well, if you insist?

13          DR. DOMENICO: Any other questions from the staff?

14                 We've got one minute, then we'll be at 20 after.  
15 Is there any one single question from the people out there?

16                 We do have a discussion session I believe at 4  
17 o'clock or so. You can bring it up then, so why don't we  
18 just break now and be back at 1:20. That's one hour. And  
19 don't be late, because we're going to hear about that extreme  
20 illusive site characteristic feature called groundwater  
21 travel time, whatever that might be.

22                 (Whereupon, the lunch recess was taken.)

23

24

25

1

2

3

4

5

6

AFTERNOON SESSION

7 DR. DOMENICO: I'd like to introduce Jean Younker.

8 She's going to talk to us about the evaluation of groundwater  
9 travel time, and Jean has talked to me about this and she's  
10 really, enthusiastically very reluctant to discuss this  
11 topic.

12 MS. YOUNKER: I am Jean Younker. I didn't put up the  
13 introductory slide. I guess I should, since I was going to  
14 make a couple of comments first.

15 One is, that this will be a little bit of a  
16 diversion now from the talks that you heard this morning, in  
17 that I won't talk, really, about the details of the  
18 hydrologic modeling that we'll do in order to evaluate  
19 groundwater travel time, but give you more a regulatory  
20 perspective, and that's the reason why I am here.

21 If you notice my title, I am the Regulatory and  
22 Technical Evaluation Manager for TRW, as the M&O contractor  
23 for DOE, and our job is to assist DOE and work with them in  
24 trying to figure out how we use the kind of information that  
25 you heard talked about this morning, to feed it into the

1 regulatory process that the DOE has to do internally in terms  
2 of evaluating site suitability, as well as evaluating  
3 compliance with NRC's requirements.

4           Let's see, I was also going to mention that  
5 yesterday, one of the things that came through was the  
6 importance of continuity and history in the program, various  
7 programs that were talked about yesterday, and so I thought  
8 that between Rick Spengler and I--Rick's on the same panel  
9 here that I am--Rick's been here since '78, I've been here  
10 since '82, so I figure you're probably looking at some of the  
11 longer continuous service in the Yucca Mountain Project that  
12 we have, so we're trying to hold up our end of the continuity  
13 and historical aspects of the program for you.

14           I'm going to look at this groundwater travel time  
15 evaluation from both a Part 60 NRC perspective, as well as  
16 960, recognizing that 960 is somewhat open to discussion  
17 right now in terms of how the DOE will use that to evaluate  
18 site suitability, or the way in which it will be used. So,  
19 that is a subject of discussion. I'm just going to make an  
20 assumption, as I talk to you, that we will use it in about  
21 the same way that it's been used in the past, just so that I  
22 can have that as a going-in assumption.

23           There have been a lot of recent discussions and  
24 comments about whether groundwater travel time represents a  
25 reasonable performance measure, or a good performance measure

1 for evaluating an unsaturated zone, or perhaps any site, and  
2 given the time that's gone past since the regulation was  
3 promulgated by NRC, and since DOE put it into their siting  
4 guidelines, and so, the perspective that I'm going to give  
5 you is based on some fairly recent discussions and thinking  
6 that some of the people that are working in the issue  
7 resolution part of the project--we have, some of those people  
8 work for me--have been doing some thinking about, kind of  
9 assuming we are going to evaluate groundwater travel time,  
10 assuming the NRC doesn't decide to make any changes to their  
11 sub-system regulations--which we all know has been  
12 periodically a topic of discussion. I think Dr. Cantlon  
13 raised that as a question to the Commissioners, or at least a  
14 comment that maybe that was something that they should be re-  
15 thinking.

16           We're making an assumption here that we should go  
17 ahead and, you know, give them the process and the importance  
18 of the process. We should go ahead, build on what we've done  
19 before, and define an approach that gives us a reasonable  
20 performance measure for this criterion, so, for both 960 and  
21 60, the way we're approaching it is to try to establish a  
22 performance measure, an interpretation of the regulation that  
23 is a reasonable performance measure that we think the DOE  
24 will be credible if they use it when they evaluate site  
25 suitability against their own disqualifying condition for

1 groundwater travel time, as well as when the NRC has to look  
2 at the material that's provided.

3           So, the way I'll approach this will be, first of  
4 all, to talk about the little--very quickly, the regulatory  
5 perspective and background; then talk about some of the  
6 recent thinking that we've been doing on this, the background  
7 for the current approach that we have in mind, and then the  
8 general plan for evaluating travel time, and I want to make  
9 certain you understand.

10           This is an evolving process, and by no means am I  
11 presenting DOE's final preferred approach. This is something  
12 that the M&O staff, together with participants and the DOE  
13 technical managers are working together on, and it's  
14 evolving. We're just giving you a snapshot in time, so I  
15 want you to realize that what I'm saying may not be where we  
16 finally end up.

17           Let me give you the regulatory perspective first,  
18 and this one, I think, will be a review for many, many people  
19 in the room. As you know, we have two slightly different  
20 wordings that we're dealing with in this program. One is the  
21 NRC's groundwater travel time performance objective, and in  
22 this particular definition or requirement, the wording is:

23           "The repository shall be located so that pre-waste-  
24 emplacement groundwater travel time along the fastest path of  
25 likely radionuclide travel from the disturbed zone to the

1 accessible environment shall be at least 1,000 years, or such  
2 other travel time as may be approved or specified by the  
3 Commission."

4           Now, if you look at DOE's Part 960 disqualifying  
5 condition, that is basically the same concept. "A site shall  
6 be disqualified if, once again, pre-waste-emplacement travel  
7 time from the disturbed zone to accessible environment is  
8 expected to be less than 1,000 years along any pathway of  
9 likely," important, "likely and significant radionuclide  
10 travel."

11           And one thing I had forgotten--and I'm not even  
12 sure I originally knew it--is that in the draft guidelines  
13 that DOE put out for review, they originally had wording--  
14 instead of the word "significant" in here, they originally  
15 had wording very similar to what the NRC has, and in the  
16 NRC's comments during concurrence process, review and  
17 concurrence process, NRC suggested to DOE that they should  
18 change that wording and perhaps not put this kind of a clause  
19 in, since the 960 purpose was to be a site screening or site  
20 evaluation tool, rather than the final judgment of compliance  
21 with a total system, which is clearly what NRC was getting at  
22 here, if you'll look at this.

23           This would lead anyone reading it to believe that  
24 the NRC people who wrote this thought that they might want to  
25 fall back on a total system perspective if they had some

1 travel times that were shorter, but a total system that  
2 looked very good, total performance that looked like a safe  
3 site, that they intended to have a balance, or, potentially,  
4 a balance there.

5           So, what DOE did, then, in response to NRC's  
6 comments was to draft that clause, but they also added the  
7 word "significant," and by adding the word, "significant," it  
8 certainly, if you go back and read the statements of  
9 consideration and the comments, responses to comments that  
10 the DOE received, this word, "significant," was added kind of  
11 to imply the same basic thought process that is suggested by  
12 the NRC's words, meaning that not every pathway traveled by a  
13 water molecule may be as significant as another one, so I  
14 think that's the concept that we believe was intended.

15           Let's see, one other comment on the DOE's  
16 disqualifying condition. That is the one disqualifying  
17 condition where, in Part 960, it says that this one you won't  
18 be able to evaluate as early in your site characterization  
19 program. Most of the disqualifying conditions were, at least  
20 the writers attempted to write them in a way that you would  
21 be able to evaluate them on the basis of less information  
22 than when you go to the evaluation of qualifying conditions,  
23 which are the other half of 960's--the guidelines.

24           The disqualifying conditions generally are a little  
25 more site-specific, a little bit more potential to evaluate

1 them separate from the total system performance. This is the  
2 one where it clearly says in the text that this one won't be  
3 able to be evaluated as early in the site characterization  
4 process, so it kind of stands out as being a different type  
5 of disqualifying condition.

6           Okay. This will give you just a little bit more  
7 history, very briefly. At the time that the DOE issued the  
8 site characterization plan, there was a general strategy in  
9 the draft, in the consultation draft that was issued, and  
10 that strategy was then revised and, in fact, the comments  
11 from the NRC that I've summarized here probably represent  
12 kind of a merging of what they told us--what their comments  
13 on the consultation draft said, and what we then finally  
14 responded, and, as a matter of historical perspective, this  
15 view graph, or a very similar view graph was presented by  
16 Dave Dobson when he was the DOE Regulatory Division Manager  
17 in 1989, to the ACNW, so you can tell that--kind of the  
18 stream of information is there from around the SCP time.

19           Let me diverge for one minute and mention one other  
20 thing I wanted to say, and that was you know that we--the DOE  
21 had to evaluate groundwater travel time at a time the  
22 environmental assessment was issued in 1986, and so, there's  
23 already been one evaluation against the groundwater travel  
24 time disqualifying condition, and, if you recall, that was a  
25 very simple approach.



1           It was a stochastic model with just the idea that  
2 how many realizations, basically, out of a total number that  
3 we were able to run, would you get travel times less than a  
4 thousand years, given the site data properties that we  
5 understood at that time, and the assumption of--actually, I  
6 think we did sensitivities on this, but assumption of a  
7 certain flux value.

8           So, the history goes back pre- the time I'm  
9 starting, but I didn't think it was worth going back quite  
10 that far. So, the SCP strategy, then, which isn't very  
11 different than what I'm going to tell you we're thinking  
12 about today is, obviously, a 3-D hydrogeologic properties  
13 model is an essential underpinning for a groundwater travel  
14 time calculation; then, some kind of a travel time contour  
15 map; look for the regions of fastest paths; perform detailed  
16 sensitivity studies on those fastest paths; and then take  
17 those calculations into a compliance evaluation.

18           What the NRC told us about that approach was that  
19 they wanted to make sure--there was a hint in the  
20 consultation draft SCP that we might produce a cumulative  
21 groundwater travel time distribution such that you might not  
22 be able to identify the extremes for different alternative  
23 models, and so, one of the things that the NRC said was they  
24 wanted to make very sure that the DOE did not combine travel  
25 time distributions in such a way that you wouldn't see the

1 extreme values.

2           They also said, obviously--they didn't--their  
3 comments were that we hadn't really identified all of the  
4 assumptions as clearly as they would have liked it in the  
5 evaluations that had been done to date, but I will add that  
6 the SCA comments, site characterization analysis that the NRC  
7 provided on the site characterization plan has no open  
8 comments related to groundwater travel time, so they  
9 basically accepted the approach that was presented, with the  
10 responses that were provided to their comments, and with the  
11 changes between the consultation draft and the final SCP.

12           Okay. Let's go on now what we've been thinking  
13 about and where we're heading. I don't think there's really  
14 been any question, if you look at the NRC comments on the  
15 SCP, it was always understood, I think, at least by some of  
16 the people in the staff and the DOE and the DOE contractors,  
17 that this concept of likely paths in both requirements, in  
18 both 960 and 60, implies a distribution of travel time as a  
19 probabilistic approach, although there's been--in the last  
20 few years, there's been a fair amount of what I kind of  
21 consider noise in the system that someone felt that these  
22 regulations had been written with the intent of a  
23 deterministic-type calculation of groundwater travel time.

24           I don't think within DOE and the contractor family,  
25 nor within the NRC staff that commented on the SCP, that

1 there is any evidence of that. As I said earlier, the word  
2 "significant" was added to Part 960 to suggest that some  
3 pathways and travel times may not be important to  
4 performance, and, of course, that's what--in defining a  
5 reasonable approach to interpreting, or to evaluating  
6 groundwater travel time.

7           It's clear that the direction we believe we should  
8 have is toward the term or the word "significant," and, of  
9 course, the word "likely," but what does the travel time mean  
10 from the standpoint of significance to performance?

11           The phrase, once again, "...or such other travel  
12 time..." clearly implies, as I think I already said, that the  
13 Commission expected that you might want to look at system  
14 performance when you're evaluating this requirement.

15           Okay, the one kind of sticky issue that comes up  
16 here is the disturbed zone definition. We've had a fair  
17 amount of discussion about this by the issue resolution  
18 working group that's been thinking about this topic, and if  
19 you go back and look at the statements of consideration, look  
20 at the information that was--kind of defines what people were  
21 thinking about when they wrote these regulations, the  
22 original intent was to start this pre-waste-emplacement  
23 calculation outside of the zone of major coupled processes,  
24 outside the zone of major repository disturbance.

25           Well, clearly, since the time that was written, our

1 understanding of where disturbances may extend to, depending  
2 on the thermal loading, has evolved quite a bit, so you get  
3 yourself into what could be--my personal opinion is--what  
4 could be a fairly not useful discussion if you start talking  
5 about having the disturbed zone go all the way to the  
6 saturated zone, you know, and that's one thing that people  
7 have suggested. "Well, gee, give them the kind of  
8 disturbances that we could be predicting." Maybe you don't  
9 have any unsaturated within--or outside of your disturbed  
10 zone.

11           A personal feeling, and I think the feeling of the  
12 group is that that's not a very reasonable approach to what  
13 was intended, so if you look at the actual words, both DOE  
14 and NRC's definitions, it's very clear that only a  
15 disturbance that has significant consequences on performance  
16 needs to be considered, so that you go back, then, to that  
17 word, "significance." What is the significant consequence to  
18 performance?

19           Once again, a personal opinion, I would like to see  
20 us not end up spending a lot of time and dollars driving site  
21 characterization studies for this purpose, of defining a  
22 disturbed zone, that we wouldn't have to do anyway. I  
23 personally think it would be--it just doesn't make sense.  
24 Let's look at the original intent. Let's make some kind of  
25 an assumption, and if we continue--which I'm assuming we

1 will--with a groundwater travel time calculation, both for  
2 960 and 60, let's define some kind of either mechanical  
3 disturbance or mechanical--some conservative boundary.

4           For the environment assessment, we used 50 meters.  
5 When I went back and asked Scott Sinnock, "Why'd we pick  
6 50?", he said, "Well, it was bigger than anybody ever  
7 believed we'd need."

8           So, you know, I guess my impression right now is  
9 that it makes the most sense to pick some value. We can look  
10 at it from the standpoint of whether the changes in that zone  
11 could have a significant consequence as to post-closure  
12 performance by running sensitivities on it, but that seems to  
13 make the most sense from the standpoint of what the original  
14 intent of the disturbed zone, as the starting point for your  
15 calculation of groundwater travel time, was intended to be.

16           So, where are we now? Okay, the same basic thought  
17 process, but expressed a little differently, and I want to  
18 make sure I give credit where credit's due; Jim Duguid, Bob  
19 Andrews and some of the Sandia PA staff have helped with this  
20 presentation, so I'm not--I don't want to pretend that I've  
21 put it together myself.

22           The groundwater travel time can best be interpreted  
23 as particle transport, meaning not the average path length  
24 divided by the mean velocity, but a distribution of  
25 unretarded radionuclide transport times--and the "unretarded"

1 was left out there.

2           The transport processes considered in the analysis  
3 would then include advection, of course, and then dispersion,  
4 and matrix diffusion. Now, all of the above are uncertain,  
5 spatially variable, and, therefore, we'll still have to use a  
6 stochastic process, as you would assume, given the nature of  
7 this requirement.

8           Okay, then carrying this to the next step, the  
9 particle arrival times at the accessible environment then  
10 depend on dispersion caused by the different paths followed  
11 by the different particles, meaning small-scale  
12 heterogeneities, matrix diffusion caused by particles  
13 entering the rock matrix where flow is slower, and the  
14 locations over the areal extent of the repository, particles  
15 starting at different locations there, and, depending on how  
16 you define accessible environment, a number of different  
17 pumping wells, if that's how we define it, or the envelope  
18 that you use to calculate the particle ending locations.

19           Then, this groundwater travel time distribution  
20 would define the likelihood of each particle reaching the  
21 accessible environment at a specific time, and, finally, the  
22 significance of a particular pathway or travel time could  
23 then be related to either the integral of the mass release  
24 along that pathway, or the peak mass concentration at the end  
25 of the pathway, and so you could--I mean, essentially, what

1 we're thinking about is kind of the take the area under the  
2 curve that's below a thousand years, and compare that to a  
3 Table 1, whatever the Table 1 numbers look like to us when we  
4 get them from the revised EPA regulation.

5           So, in terms of the general plan, then, as I said,  
6 I think we should personally take a reasoned approach to  
7 establishing the disturbed zone boundary, determine the  
8 expected distribution of groundwater travel times, and  
9 speaking of it as a particle transport approach, from that  
10 disturbed zone through the unsaturated zone, and then run  
11 your sensitivity analyses to determine the effects of  
12 uncertainties and spatial variability in these properties;  
13 percolation flux, the hydraulic properties, alternative  
14 conceptual flow models, which, you understand, that's going  
15 to have to be one of the very strong sensitivities, both now  
16 and any time in the near future, matrix diffusion, and  
17 dispersion.

18           We'll move to the saturated zone. It's the very  
19 same approach; expected distribution of groundwater travel  
20 times in the saturated zone from points below the repository  
21 to the accessible environment, conduct sensitivity analyses  
22 on, once again, spatial variability, but also effects of  
23 uncertainty, spatial variability and hydraulic properties,  
24 boundary conditions, alternate models, matrix diffusion, and  
25 matrix dispersion.

1           And, our total travel time, then, sum the travel  
2 times through those two units, and, as I said earlier,  
3 evaluate the significance of the short travel times, the  
4 shortest travel times to performance to assess compliance  
5 with either Part 960 or 60, so we're trying to put this into  
6 a perspective where, I think, our view is that you want to  
7 not do something different for groundwater travel time that  
8 you wouldn't do anyway, except for not including chemical  
9 retardation, and that's really, if you look, that's the  
10 distinctive difference that--the only really distinctive  
11 difference that you have here from your transport  
12 calculations that you would do for total system assessments.

13           That's it. Thank you.

14       DR. DOMENICO: Any questions from the Board?

15           (No audible response.)

16       DR. DOMENICO: Jean, I've got one. That last slide--not  
17 the last one, the second to the last one, you know, you've  
18 completely re-interpreted groundwater travel--it's more than  
19 interpret. It's a change. You've actually changed it.  
20 You're going to use the same methodology that you use to  
21 calculate releases, same model, probably.

22       MS. YOUNKER: Right.

23       DR. DOMENICO: Diffusion--dispersion is going to send  
24 some stuff out of the advective front, but if you chalk up a  
25 little bit of matrix diffusion, and matrix diffusion and



1 retardation, that's a retardation factor, and I thought the--  
2 I have no problem with this, because I think everybody knows  
3 what I feel about groundwater travel time, you know, but it  
4 seems that it's a complete change, you know, of that concept.  
5 It's not exactly pre-emplacement groundwater time. It's  
6 radionuclide migration.

7 MS. YOUNKER: Yeah. I didn't mention this before, but  
8 that is one, of course, of the debates, is: If you listen to  
9 what the questions that have been raised, is, does a pre-  
10 waste-emplacement travel time calculation really make sense  
11 in light of what we know?

12 DR. DOMENICO: Well, I think you know my position on  
13 that.

14 MS. YOUNKER: Yeah.

15 DR. DOMENICO: But if you can convince NRC of that,  
16 good.

17 I think the--I was told, anyway, that someone from  
18 the state may want to add a comment here. Carl or Steve?

19 MR. FRISHMAN: I'm Steve Frishman. I'm someone from the  
20 state.

21 There are a couple of different ways of looking at  
22 this, and I know we've been through this discussion in  
23 different places and at different times.

24 Let me start out in a way that relates a little bit  
25 to what Pat was saying, and also relates back to what Lake

1 said yesterday, and that's the new focus of the program is on  
2 site suitability, and the guidelines are the standard for  
3 site suitability. The guidelines are required, under Section  
4 112(a) of the Act, to establish factors which qualify and  
5 disqualify a site, and it also says that those factors shall  
6 be--or that geology shall be primary among those factors.

7           So, and now what you have done here, as Pat, I  
8 think, has observed well, is you have removed a geologic or  
9 hydrologic factor, and replaced it with the equivalent of a  
10 radionuclide factor, because you have the characteristics of  
11 the waste entering into the question of suitability,  
12 characteristics both in terms of what the waste is, and also,  
13 the thermal characteristics of the waste, and this comes back  
14 to such things as where is the edge of the disturbed zone,  
15 and so on.

16           So, if you're proposing to re-interpret this  
17 guideline in such a way that it becomes essentially a waste  
18 performance rather than a site performance characteristic,  
19 then I think what you need to do is reopen the guidelines,  
20 and see if that can prevail in a comprehensive review of the  
21 guidelines.

22           I don't believe that your rationale that you can  
23 interpret the guideline relative to what NRC has said in its  
24 comments about the guideline, relative to 10 CFR 60, I don't  
25 believe that that even plays. The question is whether you

1 have satisfied the law in terms of writing a guideline, and a  
2 guideline that will qualify or disqualify the site. So, I  
3 think that's probably the key matter that's in front of us.

4           Whether it conforms to the NRC licensing standard  
5 or not, I think, is another problem that you have, and when  
6 you get to licensing, if you get to licensing, you have to  
7 figure out how to deal with 10 CFR 60. So, I would suggest  
8 that if you want to make an interpreted change to this  
9 extent, that we better go back and just announce that the  
10 guidelines are going to be reopened, put out a proposed  
11 amended rule, and let's go after it. Let's talk about what  
12 it really means, and we can even talk about such things as  
13 whether groundwater travel time, or whether a fast  
14 groundwater travel time is appropriate or not to an  
15 unsaturated site, or to any site, because, remember, these  
16 are still general guidelines.

17           So, what I see is a, first of all, a fogging of the  
18 suitability question, based, once again, on the licensability  
19 question, and we've been through discussing this distinction  
20 for years; and also, what I believe to be, essentially, an  
21 unauthorized re-interpretation of an existing rule that's  
22 been promulgated under the Administrative Procedures Act.

23           I also have some problem in your apparent  
24 interpretation of the implication of the meaning of such  
25 other travel time as may be approved or specified by the

1 Commission.

2           Now, there's two different ways of looking at that.  
3 One of them is, "other" could be another time, less or more  
4 than 1,000 years. "Other" could also be pre-emplacment  
5 groundwater travel time, or some other kind of groundwater  
6 travel time, not radionuclide travel time, groundwater travel  
7 time. So, I'm not sure that your interpretation of the  
8 implication of 10 CFR 60 is even correct in this instance.

9           I won't belabor this much more, but I think it's  
10 most important to recognize that whether the guideline, in  
11 fact, conforms or not to whatever you interpret 10 CFR 60 to  
12 mean is immaterial in a suitability determination.

13         MS. YUNKER: All I'll comment is that I think the team  
14 that's been working this, I think we have some confidence  
15 that the original intent of "likely" and "significant" in  
16 DOE's guideline, at least, was pretty close to what we're  
17 interpreting, so I don't feel like as if we've moved that far  
18 away from the original intent.

19           From the standpoint of what should be done with  
20 960, I'll have to defer to a DOE person. If you want to  
21 comment on that, Steve, or someone?

22         MR. BROCOUM: Steve Brocoum, DOE.

23           There's really not much to say, but we do have this  
24 public meeting on May 21st for the interested parties to come  
25 in and tell us what they think ought to be done, in Las

1 Vegas, in the Mirage Hotel, I believe, on the afternoon of  
2 May 21st. There's a notice of inquiry going out in the  
3 Federal Register to cover this.

4 DR. DOMENICO: Groundwater travel time, or--

5 MR. BROCOUM: No. It's the whole issue of how we should  
6 approach suitability, of which groundwater travel time is a  
7 part.

8 DR. DOMENICO: We have a minute or so. Any questions  
9 from the staff? I'm sorry, I neglected--any--Leon?

10 DR. VERINK: Jean, have you and the NRC reached any sort  
11 of agreement as to whether or not water vapor is to be  
12 included in groundwater travel time?

13 MS. YOUNKER: I am not aware of an agreement, but I do  
14 think that the NRC, at least certain representatives of the  
15 NRC, have made statements that that was never the intent for  
16 water vapor to be included, and I don't recall who said that.  
17 Maybe somebody in the audience can help me, who's closer to  
18 this, but I recall sometime fairly recently reading something  
19 where an NRC person was quoted--I don't know how far up in  
20 rank--was quoted to make that statement.

21 There are some NRC--I don't know. Seth, do you  
22 know? Seth Coplan, do you know who made that statement, by  
23 chance, or--

24 MR. COPLAN: No, I don't.

25 DR. DOMENICO: Thank you very much, Jean.

1           Our next speaker is Linda Lehman, who'll talk about  
2 alternative conceptual modeling of the saturated zone flow  
3 system.

4           MS. LEHMAN: Board members, and ladies and gentlemen,  
5 thank you for the opportunity to discuss with you an  
6 alternative conceptual model of the saturated zone at Yucca  
7 Mountain. I want to note that this work has been funded by  
8 the State of Nevada, and I want to acknowledge by co-author,  
9 Tim Brown. I'd also like to say that I'm very proud to have  
10 been with Nevada for ten years now, and was one of the first  
11 contractors hired by the State of Nevada.

12           Now, Carl Johnson likes to kid me about this, by  
13 proclaiming that I'm the oldest contractor that the State  
14 has, and I hope to some day live up to that proclamation.

15           This alternative conceptual model has really been  
16 built from a number of studies that we've done in the past.  
17 The concept didn't develop all of a sudden. It was actually  
18 a series of clues, basically, that we had from previous work,  
19 and work of other authors.

20           Two of these major pieces of work that have led to  
21 this conceptual model were presented to the Board earlier. A  
22 number of years ago, we presented what we called the Cosine  
23 Components in Water Levels, which I will be reviewing  
24 briefly. Also, our work with the INTRAVAL modeling group in  
25 the unsaturated zone has also led us to this fracture-

1 controlled idea; and, lastly, we have just completed some  
2 work on Devil's Hole, only about two weeks ago, which became  
3 a major piece in this puzzle of fitting together what is a  
4 conceptual model for the site for the saturated zone.

5           In 1989, we analyzed the water table fluctuations  
6 for eight wells at the Yucca Mountain site. These wells are  
7 shown on this diagram. We wanted to examine the frequency of  
8 the oscillations to see if there was anything that could be  
9 correlated, or give us a clue about the behavior of the  
10 saturated zone system.

11           Since a normal transform analysis required a  
12 uniformly-spaced data input set, we developed, in-house, a  
13 procedure which we call FIT.M, which just simply fits a  
14 cosine curve to the water levels.

15           We also looked at the lags, as well as the  
16 periodicity, and what we concluded from that study was that,  
17 basically, Well WT-7 and WT-10 were responding at similar  
18 frequencies and similar lags. Likewise, Wells WT-16, WT-1  
19 and WT-11 were also corresponding together, but at a somewhat  
20 different period and different lag.

21           What was interesting was that we first noted that  
22 these were all aligned in a north/south direction, primarily,  
23 or a northeast/southwest direction, and it indicated to us  
24 that this was parallel to some of the major fault systems,  
25 like Solitario Canyon Fault, and that one side of the

1 mountain was behaving differently from the other side of the  
2 mountain, and that, perhaps, there was some sort of a  
3 hydraulic divide in between.

4           It also, in my opinion, established that we had  
5 some sort of connection in this direction with the  
6 correspondence of the water tables in the north/south  
7 direction.

8           Our work with INTRAVAL in the unsaturated zone led  
9 us to the conclusion that fracture flow probably also was a  
10 major component in the unsaturated zone. Our analysis for  
11 INTRAVAL seemed to--our water content profiles were matched  
12 easier with a fracture model, as opposed to a matrix for  
13 those flow models.

14           It also led us to investigate the work of Sass, who  
15 published this work in 1988. Now, we have modified these  
16 water table contours slightly. He published just the data  
17 points.

18           What this indicates is that it is not an isothermal  
19 system that we're dealing with. On the western side of Yucca  
20 Mountain, we find the hottest temperatures, 38°C, which  
21 happens to be very near the trace of the Solitario Canyon  
22 Fault, and also near the volcanos that are currently at the  
23 site.

24           The coldest water was moving down, we feel, from  
25 the north down through the south, and these cold temperatures



1 are around 30°, 30.1, something like that, and the wells that  
2 we had tended to be coincident with the Ghost Dance Fault,  
3 which led us to believe that perhaps this fault is channeling  
4 this cold water moving in from the north.

5           We also see another cold water spike coming down  
6 the Fortymile Wash zone. In between, we have in between  
7 temperatures and in between these cold spikes, so, from this,  
8 we concluded that perhaps the role of the faults may be  
9 different. Not all of the faults, even though they are  
10 aligned in the same direction, may be providing conduits.  
11 Some of them may be barriers, but others could be conduits.

12           For example, on the west side, in Solitario Canyon,  
13 could very well be acting as some sort of a barrier to flow  
14 coming in across this direction, while this Ghost Dance Fault  
15 definitely, in my opinion, there's some reason for this low  
16 temperature spike to be there.

17           Now, we recently looked at Devil's Hole again. We  
18 looked at that several years ago when the Yucca Mountain  
19 Project went to water adjudication hearings over the use of  
20 water from J-13 to be used during site characterization, and  
21 the question that we were addressing, then, was: Does this  
22 increased pumping affect the water levels in Devil's Hole?

23           And Devil's Hole, historically, has been regulated  
24 because of the Devil's pup fish, Devil's Hole pup fish, and  
25 in the seventies, the water level was fixed that could not be

1 exceeded, or you could not go lower than a certain level in  
2 this hole in order to protect the habitat of the Devil's Hole  
3 pup fish. So, we were looking at what the implications of  
4 additional pumpage could be on that water level, and, at that  
5 time, we found that there was a definite linear trend which  
6 was decreasing over time, and, without any additional  
7 pumpage, that that water level would decrease to the maximum  
8 allowable within the next ten years, without any additional  
9 pumpage.

10           We later went back to examine that to see what's  
11 happened, and over the last couple of years, we've had a lot  
12 of rainfall, so that level of decline, while it's still  
13 declining, is not declining at anywhere near the rate that it  
14 was previous to that. Now, maybe after this intensive  
15 rainfall period ends, we'll see another decline. However,  
16 these data that we used were provided to us by the National  
17 Park Service, and they are daily water level measurements  
18 that we used.

19           So, one of the things we were trying to do was see  
20 what were the correlations between other wells in the area  
21 and Devil's Hole, and what we found is that Devil's Hole was  
22 statistically correlated with AD-7 and AD-8, and some nearby  
23 springs. It did not seem, at this point, to correlate well  
24 with Army Well 1, which we had previously thought we saw a  
25 correlation.

1           What we did notice, though, was the response to  
2 Well AM-7, which is within a mile or so of Devil's Hole,  
3 responded in exactly the opposite direction. It had a  
4 negative correlation, so that, you know, made us curious, so  
5 we started looking into some of the reasons for that. Let me  
6 just show you the response of this water level.

7           What happened here is, during July, 1992, we had a  
8 series of earthquakes, which I will talk about later, but  
9 this response, this sharp response you see here in Devil's  
10 Hole was a result of that earthquake, and, as you can see  
11 here, Devil's Hole responded downward, while a nearby well  
12 responded upward.

13           So, we wondered what could have caused that, and I  
14 remember Ike Winograd's work a number of years ago, which  
15 showed that that spring discharge was probably controlled by  
16 a fault, and he hypothesized that this barrier may occur  
17 right through here. This has later been known as the Stewart  
18 Valley Fault, I believe, and maybe Rick can correct me if I'm  
19 wrong on the name of that.

20           So, this fault runs right through here, and the  
21 springs are in this general area. What we believe is that  
22 the difference in response was attributed to perhaps being  
23 located on the other side of the fault zone, or located in  
24 the fault zone itself of one of the wells, as opposed to the  
25 spring.

1           While we were looking at this, we also noted  
2 another couple of similarities between this region and Yucca  
3 Mountain itself. For one thing, there's another hydrologic  
4 gradient positioned right in this location, and the other  
5 thing was we had just recently gotten a copy, I guess an  
6 advance copy, of Rick Spengler's report, and we noted that  
7 this fault orientation was very, very similar to that of the  
8 Sundance Fault, and, hopefully, he will shed some more light  
9 on that later.

10           But, just in comparison, I put this slide in here  
11 just today, so it's not in your packets, but I felt I should  
12 show these similarities. This is from the Fridrich report,  
13 Journal of Hydrology, and you'll notice here this water table  
14 contour takes quite a dip here, and here's the hydraulic  
15 gradient, the large gradient, and there's a possibility that  
16 there could be movement down into this, what I'm calling a  
17 channel here, but what else is very coincident is I believe  
18 this lines up exactly with Rick Spengler's Sundance Fault  
19 zone.

20           Now, as I was saying, we were looking at magnitudes  
21 of earthquakes, and at the response of the wells to the  
22 earthquakes, and there were three earthquakes that occurred  
23 within a week, and that was the 7.5 magnitude earthquake in  
24 Landers, California; three hours later a second 6.6 magnitude  
25 earthquake occurred near Big Bear; and, the next day, a 5.6

1 magnitude earthquake occurred at Little Skull Mountain,  
2 located southeast of Yucca Mountain.

3           So, what we decided to do was look into our data  
4 base and examine the water table response to all of the wells  
5 that we had information on from DOE's data base. I want to  
6 say one thing about the data. We got these data from the DOE  
7 quarterly monitoring reports, and so, the data we were  
8 looking at was a monthly average, so that what we have is  
9 monthly average points over time, and, unfortunately, none of  
10 the wells that I showed you earlier that we analyzed with the  
11 cosine function were--are on that data base.

12           Apparently, DOE distinguishes between regional data  
13 base and site data base, and we don't have access to the site  
14 data base, basically, so we just looked at the regional  
15 picture.

16           And, what we found was that the responses could be  
17 grouped basically into four categories from these wells:  
18 First, wells that exhibited a temporary upward spike, and  
19 then returned to the previous water level; wells that  
20 exhibited a rapid upward change with an apparent long-term  
21 change, stabilizing at a higher level; then there were wells  
22 that showed a temporary downward spike; and, the fourth  
23 category were wells that showed a rapid downward change with  
24 an apparent long-term stabilization at a lower level.

25           I have some examples here I'll show you. This is a

1 graph of AD-11, Well AD-11, and you can see before the  
2 earthquake, the water levels were here. After the  
3 earthquake, we jump here, and these dots are the measurements  
4 right before and after the earthquake, and with a higher--  
5 although it is declining somewhat it's still stayed up there.  
6 It hasn't come back down, and this difference here is 15  
7 feet.

8           This one shows the opposite response. The Well RV-  
9 1 took a rapid drop and stayed stable at a lower level, also.

10         DR. ALLEN: Excuse me, Clarence Allen.

11           Is this before--is this associated with the Landers  
12 earthquake, or the Big Bear, or--

13         MS. LEHMAN: Well, you see, we're working with monthly,  
14 so we can't distinguish that, so it's really all of them  
15 lumped together.

16         DR. ALLEN: Okay.

17         MS. LEHMAN: Now, this is examples of some that have  
18 responded quickly and come back to their original levels.

19           So, what we did, then, was plot the most  
20 significant of those; in other words, wells that had only a  
21 sustained change of half a foot or more, and we plotted that  
22 coincident with the known shear, major shear zones, and some  
23 of the tensional faults in the region, and what we found was  
24 that a number of these--in fact, quite a few of them--line up  
25 along these shear zone faults, and the ones that are wells

1 that respond in an upward fashion are shown in dots, and the  
2 ones that respond in a downward fashion are shown as  
3 triangles.

4           The magnitude is sort of indicated in the size of  
5 the dot, with the largest change in water level coming from  
6 AD-11, but you can see, right through this area, that they  
7 all line up nicely with this Stewart Valley shear zone.

8           Also, some of the water level declines line up  
9 nicely with other known fault zones in the area, and in the  
10 Crater Flat, we have a couple of water levels lining up with  
11 these north/south trending extensional features. So, while I  
12 believe Dr. Harris, that scientists shouldn't try to solve  
13 social problems, I also believe that hydrogeologists  
14 shouldn't solve tectonic problems, but that didn't keep us  
15 from speculating on a few mechanisms that might be at work  
16 here.

17           Now, one thing I wanted to show, though, was--  
18 before I get off of that--is I've put on here a normal fault.  
19 Actually, this is a transformed fault out of my structural  
20 geology book, and, to me, some of these patterns that I was  
21 seeing in here sort of took that zig-zag, not only with just  
22 the water table contours, but some of these faults as well,  
23 and this also shows the relationship, you know, you can have,  
24 in close proximity, a shear zone and an extensional one  
25 together, hooked together in such a transformed situation.

1           So, anyway, some potential mechanisms, we thought,  
2 could be that as this shear zone was adjusting to this  
3 earthquake, that perhaps the--I don't want to call it--the  
4 pore volume was compressed, which would then cause an upward  
5 movement of the water table, and, likewise, if a fault was  
6 undergoing extension, then the pore volumes would be  
7 increased and, therefore, you could cause a lowering.

8           Another possibility was that the compression was  
9 forcing water out of one region and up through a more  
10 transmissive pathway, and we also were curious about thermal  
11 flow rates brought on by the earthquake, and if they might  
12 also play some sort of role, and it would be, in our opinion,  
13 nice to see if there were any temperature changes.

14           So, basically, that's led us to conceptual model  
15 which is basically fault-controlled movement along not only  
16 shear zone faults, but extensional features as well, which  
17 can be highly influenced by the tectonic regime. We may have  
18 this running right through--these shear zones running right  
19 through the center of Yucca Mountain, so we need to think,  
20 what are some of the implications?

21           Obviously, we have monitoring implications. We  
22 have implications as far as the hydrologic gradients; for  
23 example, in areas that are really flat, if you have a 15-foot  
24 water level change in a well, then maybe your local gradients  
25 could be temporarily reversed, and the idea that we need more



1 specific information along faults.

2           Right now, the Department of Energy wants to do  
3 some work along Solitario Canyon Fault, and along the Yucca  
4 Wash Fault, but these faults, as they showed, may be  
5 barriers. What about the ones that are conduits? To me,  
6 that makes more sense, to start looking at some of those as  
7 well, so I would like to see a different sort of monitoring  
8 program in place, an explorational program which would look  
9 at some of these features in detail, not just the Solitario  
10 Canyon Fault.

11           And, we also feel that we would really like to have  
12 some temperature measurements, more than are coming out of  
13 the program now, especially in the unsaturated zone, and, of  
14 course, access to the water levels on Yucca Mountain in the  
15 WT wells.

16           And that's it. Thank you.

17       DR. DOMENICO: Thank you, Linda. It's refreshing to see  
18 some data analysis on occasion.

19           Do we have any questions from the Board here?  
20 Clarence?

21       DR. ALLEN: You stated you had access only to the  
22 regional data base, but did not have access to the site data  
23 base. What do you mean by that?

24       MS. LEHMAN: Well, historically, the State has had a  
25 problem of getting data from the project, and, recently, the

1 M&O contractor did provide us a bunch of data that we had  
2 data requests outstanding for ten years, and we finally got  
3 caught up with some of that. However, we only now have water  
4 levels through 1989 on the WT wells, and we're hoping, you  
5 know, that we could be in the loop, you know, a little bit  
6 faster and, you know, within six months or a year to get some  
7 of this important data, but it just doesn't seem to happen.

8 DR. ALLEN: Does the DOE have any comment on that?

9 MS. NEUBURY: Claudia Neubury, DOE. I'm the Technical  
10 Data Manager for the program.

11 I've said this before, I'll say it again, that the  
12 State has access to all of our data through our technical  
13 data catalog that they get on a quarterly basis. The TRB  
14 also gets that quarterly data catalog. The NRC gets the data  
15 catalog. I think everybody in this country gets the data  
16 catalog, or at least it seems that way, and the State has a  
17 mechanism for requesting data.

18 The one thing the State doesn't have is any kind of  
19 protocol with us, so we can share data easily, and unless the  
20 State wants to enter into some kind of protocol agreement,  
21 they'll have to go through the data catalog and a formal  
22 request through the Project Manager.

23 DR. DOMENICO: Thank you, Claudia.

24 Any more questions; any other questions from the  
25 Board? Staff?

1 (No audible response.)

2 DR. DOMENICO: Thanks again.

3 We're going to change the topic slightly here.

4 We're going to have an update on the faults at Yucca Mountain  
5 by Rick Spengler.

6 MR. SPENGLER: I'm going to be presenting to you today a  
7 review of some of the characteristics that we've discovered  
8 within the central block of Yucca Mountain. I guess I should  
9 thank Leon and Clarence for inviting me, and also giving me  
10 40 minutes to speak. I rarely have 40 minutes.

11 The structural characteristics at Yucca Mountain,  
12 specifically, the mapping that we've done over the past two  
13 years, involves highly-detailed 1:240 mapping within the  
14 central block. This type of mapping is commonly done in open  
15 pit mines, and it's this type of mapping that, two years ago,  
16 we decided to apply to the central block.

17 Specifically, we were attempting to gather  
18 structural information to supply directly to the unsaturated  
19 zone modelers several discussions that we've had about what  
20 types of data needs that they had, or needed, and--but as we  
21 progressed in the over two years of mapping now, we find that  
22 there are applications or impacts on various phases of the  
23 overall program, which include investigations of the  
24 potential fast pathways, development of tectonic models for  
25 Yucca Mountain, design and construction of the ESF, as well

1 as the potential repository area.

2           This is a map of the central block of Yucca  
3 Mountain, and what I'm attempting to show here are the  
4 structural features that have been mapped at 1:12,000, the  
5 Scott & Bonk map of 1984, and with this, I want to point out  
6 several features here displayed on the Scott & Bonk of 1984.

7           Some of the features on the Scott & Bonk include  
8 the Ghost Dance Fault structure cutting through almost the  
9 entire potential repository area. It dies out to the north  
10 here into an area of intense brecciation to the north here,  
11 but also, I want to point out that in Scott & Bonk mapping,  
12 there are several of these north, north/south, and northeast  
13 faults that have been mapped to Broken Limb Ridge right here.

14           This particular width of this set of north to  
15 northeast trending faults is about 1200 feet. I'd also like  
16 to point out, on the Scott & Bonk map, there are several  
17 features that have been mapped throughout this area,  
18 northwest trending features, such as these within the  
19 potential repository area, as well as directly outside,  
20 you've got this northwest trending set of fractures and  
21 faults here, as well as this set of north/south, or northwest  
22 trending faults here.

23           In FY92, we started our detailed mapping in this  
24 part of the potential repository area, one inch equals 20  
25 foot mapping, and I'll be getting into some of the features

1 that we've seen in this mapping, as well as extension of our  
2 mapping in FY93.

3           This is the grid system that we established out  
4 within the central block, utilizing the Nevada State  
5 coordinate grid system, and within that grid system, we  
6 established an internal grid system which allows us to expand  
7 our mapping in any particular direction within the central  
8 block.

9           We initiate our mapping in this part, as I  
10 mentioned earlier. Each one of these squares here represents  
11 a 200 x 200 foot area that we map. We then compile the map,  
12 or all these areas into one compilation. I should note the  
13 I'll be talking about Broken Limb Ridge to the south here.  
14 We've also mapped ridges, Whale Back Ridge toward the central  
15 part. The focus will be--much of the talk will focus on  
16 Antler Ridge here, and then some of our new mapping will  
17 include Live Yucca Ridge to the north. We've got about 135  
18 200 x 200 foot areas that we've currently mapped.

19           DR. PRICE: Excuse me, Dennis Price.

20           What do the alphabetic letters mean? Because  
21 there's several with the same letter in the slide you just  
22 showed.

23           MR. SPENGLER: What we've done here is established,  
24 within each one of these blocks, 1,000 x 1,000 foot blocks  
25 within the Nevada State coordinates, we established an

1 internal grid going this way within the block, and so, within  
2 any one block, we'll have this alphabetical order to the grid  
3 system.

4           This is a composite of our mapping to date. I  
5 don't know if that shows up very well in the back of the  
6 room. Basically, we've mapped about--we have a relief within  
7 the area that's roughly a 200 foot relief. This exposes a  
8 large part of the densely welded Tiva Canyon tuff, from the  
9 hackly on up to the upper cliff.

10           Right within the middle of our study area is the  
11 trace of the Ghost Dance Fault. You see offsets here. What  
12 we see into the south here, at Broken Limb Ridge, we've got  
13 offsets on the order of about 45 feet vertical separation.  
14 As we go northward to Whale Back Ridge, we get a displacement  
15 on the order of about 70 feet of displacement. Heading  
16 north, Antler Ridge, South Antler Ridge, as well as the north  
17 face of Antler Ridge, we have a offset, or a vertical  
18 separation along the Ghost Dance Fault of about 47 feet, and  
19 then to the north, Live Yucca Ridge, we have abrupt decrease  
20 in the displacement of the Ghost Dance Fault to five feet.

21           What I'd also like to point out in this particular  
22 composite is we have a number of north/south trending  
23 features that we've been able to map on either side of the  
24 main trace of the Ghost Dance Fault. This detailed mapping  
25 allows us to map offsets on the order of two or three feet,

1 and, therefore, we are able to track from south to north  
2 several faults on the other side of the Ghost Dance. We get  
3 the--what we refer to here as the West Hinge Fault, we have  
4 the West Fault, that's about 100-150 feet separation from the  
5 Ghost Dance Fault, and we have several other faults here, one  
6 of which we can trace here, the--what we refer to as the East  
7 Fault.

8           Much of our work has been concentrated over the  
9 past few years at near the central part of our study area,  
10 the south facing slope of Antler Ridge. Here, we have an  
11 exposure, very good exposure of not only the main trace of  
12 the Ghost Dance Fault, but also, these other faults that we  
13 see on the down-thrown as well as the up-thrown side of the  
14 Ghost Dance Fault. We have the West Fault again over on this  
15 side, and the East Fault, and some other faults to the east.

16           Now, what we've managed to do with this detailed  
17 mapping, the fundamental parts of this mapping is to map the  
18 distribution of breccia that we see within the study area, as  
19 well as the offsets of lithostratigraphic units of the Tiva  
20 Canyon tuff.

21           Many of you have been to this exposure at Antler  
22 Ridge. This is toward the base of Antler Ridge, the south  
23 facing slope of Antler Ridge. This is the main trace of the  
24 Ghost Dance Fault. You have this, what we refer to as a Type  
25 1 breccia, granulated breccia at this particular exposure

1 that's a couple of feet in width.

2           Part of our mapping is to trace wherever we see  
3 this breccia up the slope, and in this case, this is a close-  
4 up of this particular breccia zone, this characteristic of  
5 the main trace. We've opened up parts of this particular  
6 exposure I'll be getting into a little bit more, but at this  
7 particular case, here again is the main trace of the Ghost  
8 Dance Fault. The breccia that's now uncovered is several  
9 tens of feet in width right across here. There's a scale  
10 here of about three feet, so it widens out. You've got the  
11 main trace coming on through here, and you actually have  
12 breccia extending over into the up-thrown side, as well as  
13 the hanging wall side of the main trace.

14           I mentioned that we map these breccia zones as we  
15 trace them upward, and in our FY92 mapping, we saw that we  
16 are tracing these breccia pods that have a linearity to them  
17 along the slope, that seem to have a north to northeast  
18 trend, and there appears to be some west or left stepping of  
19 these breccias.

20           In our earlier mapping, this suggested to us that,  
21 in fact, we were dealing with a northwest-trending structural  
22 fabric older than the north/south trending features, and that  
23 this left stepping may be due to some of the faults stepping  
24 along these pre-existing planes of weakness.

25           Right here, we also have been mapping a breccia



1 zone. We refer to this as the West Fault. There are these  
2 covered areas, and here is another breccia that we'll be  
3 uncovering and examining a little bit later.

4           Our study has three components to it. One is the  
5 actual mapping. Number two component is the verification or  
6 validation of our mapping that continues, and, thirdly, is  
7 the planning for future mapping and validation.

8           This is part of our initial validation of this  
9 mapping technique. In FY92 we were mapping these features  
10 along the Ghost Dance Fault. Some people believed that they  
11 were present, other people believed they were not, so part of  
12 the validation was to open up along Antler Ridge here, to not  
13 only open up right along the main trace of the Ghost Dance  
14 Fault here, but extend the pavement out to the west and to  
15 east to verify some of the features that we were seeing in  
16 our mapping.

17           This particular pavement we refer to as Antler  
18 Ridge Pavement-1, and I'll be discussing in two parts. I'll  
19 be looking at detail of this part of the pavement, and then,  
20 also, the western part of the pavement. The pavement is  
21 about 40 feet wide at this end and this end. It widens up  
22 very close to the West Fault right in through here. It's  
23 about 75 feet in width, and it covers a width, along with the  
24 main trace of the Ghost Dance Fault, right about in the  
25 middle. It covers roughly 500 foot.

1           This is the eastern part of that particular  
2 pavement, part of our validation, and what we see with this  
3 is, number one, we have a contact here that separates the  
4 hackly. The lower part is our hackly unit of the Tiva Canyon  
5 tuff from that exposure here of the lower lithophysal zone of  
6 the Tiva Canyon tuff. We just get a hint here in the covered  
7 area of getting into the overlying unit, which we refer to as  
8 the clinkstone unit.

9           What we see here are several features. One, we see  
10 these northwest-trending features, one here, one here, the  
11 contact coming along this bench, a downward dropping, a  
12 slight downward dropping along this bench. You can come  
13 along this bench here, and then, also, there is the  
14 disappearance of these benches over in this area. So, from  
15 this, we have a north/south trending feature exposed here.  
16 We have a north/south trending feature exposed on this  
17 pavement here. This is the main trace of the Ghost Dance  
18 Fault.

19           I want to show a close-up of several of these  
20 features, but to focus in, number one, on this particular  
21 northwest-trending feature cutting through, or this zone of  
22 brecciation cutting through here. We actually have another  
23 one up here, and then I'll show you a close-up of this  
24 particular north/south feature, where we have this particular  
25 offset.

1           This is one of our northwest-trending shear zones  
2 on the pavement. Here we have good bedrock of the lower  
3 lithophysal zone, and on the western side, we have this  
4 intensely broken up rock on the west side. This north/south  
5 trending feature is located right here, heavily coated with  
6 calcium carbonate. You can't see from this particular angle,  
7 but this is where we have that slight down to the west offset  
8 along this north/south trending feature.

9           This is most of our effort to date, or this fiscal  
10 year, is not concentrated on any additional mapping. We hope  
11 to continue our mapping in the latter half of this fiscal  
12 year. Most of our efforts are concentrated on the validation  
13 or verification of the mapping that was done, basically, in  
14 FY92, so there is this lag, but, basically, this is what  
15 we're doing to date.

16           This is the eastern part, again, but this is our  
17 breccia--what we call our breccia intensity mapping that  
18 we're doing. Here again, we have this one contact between  
19 the hackly and the lower lithophysal expressed here, but, in  
20 red, and in oranges, we're showing the highest intensity of  
21 brecciation that we see along this east side of the Antler  
22 Ridge Pavement. Again, we have this particular in the  
23 north/south features. We have a number, we have an offset  
24 here on one of the northwest-trending features shown right  
25 here. We have this intensely brecciated zone. Again, we

1 have this brecciated zone, and so on, throughout this  
2 particular East Antler Ridge Pavement.

3           Now, looking over to the west, the validation, the  
4 dominant feature over on the western side of the pavement is  
5 this particular feature, which we refer to as the West Fault  
6 within this zone. The other thing to point out, I don't know  
7 if you can see it from back there, but there is a very strong  
8 northwesterly trend to the fractures and brecciation along  
9 this part of the pavement.

10           We continue to map in detail. We're mapping these  
11 pavements at 1:60, or one inch equal five feet, very detailed  
12 work, and tried to determine some of the jostling within this  
13 particular zone.

14           This, again, is a close-up of the West Fault that  
15 we see on the west side of the Antler Ridge pavement.  
16 Through our mapping, we had indicated this offset of roughly,  
17 or near-vertical separation of roughly 15-20 feet. This is  
18 the separation between the, in this particular case, is the  
19 upper contact between the clinkstone and the upper  
20 lithophysal zone.

21           Again, one of the more intensely brecciated parts  
22 of this pavement is right here along the West Fault. We have  
23 brecciation that we can see throughout this area that occurs  
24 over a width of several tens of feet.

25           I'd like to now focus on what we were doing in

1 FY93. What we wanted to do is not only verify the existence  
2 of these features from our FY92 mapping, but we also wanted  
3 to extend out in what we refer to as our wing mapping, to try  
4 to get a handle on the width of this particular system or  
5 zone, or whatever you want to call it.

6           Basically, I indicated earlier that in the Scott &  
7 Bonk map, it's roughly 1200 feet width here of these  
8 particular sets of faults, and, therefore, we wanted to  
9 extend our mapping to the east and west. We also wanted to  
10 extend our mapping along the Ghost Dance Fault to continue  
11 mapping northward.

12           This is the eastern part of our mapping in FY93.  
13 We extended to the east along Antler Ridge, mostly on the  
14 southeast, or the southern side of Antler Ridge, but  
15 extending over to the other part of the ridge. This is  
16 roughly 1800 feet in length. It covers about a 400-foot  
17 width.

18           In this mapping, we're mapping the units or the  
19 contacts between the clinkstone, the upper lithophysal zone,  
20 and, in this case, one of the depositional units of the Tiva  
21 Canyon, the upper cliff caprock facies. And, in this mapping  
22 along this part of Antler Ridge, we came across a series of  
23 down to the east faults scattered throughout all this area,  
24 some on the order of several tens of feet of down to the east  
25 displacement. All our other faulting, to date, along the

1 Ghost Dance Fault structure or system, were down to the west.  
2 These were down the east features.

3           This is a view of this particular part of our map  
4 area, and, in looking at this, you can pick out that one of  
5 the depositional units of the Tiva Canyon tuff, and that's  
6 this upper cliff unit here. So what I have just shown you, a  
7 map that covers roughly this particular area, and one of the  
8 things that you can see from this particular vantage point is  
9 that there seems to be an absence of at least part of the  
10 upper cliff unit in this part of the section.

11           Not only were we able to see these down to the east  
12 displacement, but other characteristics of this particular  
13 interval--by the way, this is H-4 location. This is one of  
14 the deep hydrologic holes that went down about 4,000 feet,  
15 and over here are some of the structures connected with the  
16 UZ-16 pad over in this general location.

17           This is looking off to the northwest, and in our  
18 mapping, we've seen several other things connected with this.  
19 One is that the upper cliff is thicker over here. It's  
20 about 75 feet here. Within this unit, it's about 45 feet  
21 thick, so there's an abrupt thickening over on this side of  
22 this particular interval.

23           We also see that the foliation within the Tiva  
24 Canyon near the upper cliff is about three degree dip in  
25 through here. As we get over to this side, it's got an

1 abrupt increase to about 20°.

2           If we step back now to another ridge--I'm heading  
3 out to the southeast now--there's several other features, and  
4 I pointed those out, that they were mapped on the Scott &  
5 Bonk map. This is one of these northwest-trending features.  
6 This particular feature is a down to the east fault scarp  
7 right through here. The area that I was just looking at is  
8 right in through here, so it is actually--can be projected  
9 right in this particular location here.

10           Not all of these features that were mapped by Scott  
11 & Bonk were down to the east, but at least a few of them are  
12 down to the east; others, down to the west.

13           Now, I'd like to direct your attention going  
14 northward, again, along the Ghost Dance Fault. Right here, I  
15 have pointed out that on the south side of Antler Ridge, over  
16 in this area--this is the north side of Antler Ridge--there's  
17 another relationship that came into play as we were doing  
18 this detailed mapping, and that is that the Ghost Dance  
19 Fault, right in through here, has a vertical separation of  
20 about 45-47 feet.

21           As we extend northward, we cross Split Wash,  
22 located right here, and we are not only able to trace some of  
23 these other subtle features, like the East Fault here, and,  
24 also, what we're referring to informally as the West Fault  
25 and West Hinge, we can trace them northward, but as we trace

1 them northward, they appear to be offset in the right lateral  
2 sense on this part of Live Yucca Ridge.

3           Not only are they displaced in a right lateral  
4 sense by about 170 feet, but also, as we cross over this  
5 particular inferred structure, the Ghost Dance Fault  
6 decreases, or abruptly decreases in displacement to five  
7 feet.

8           Also, on the north side of Antler Ridge, in this  
9 particular area, we were able to map in detail the Ghost  
10 Dance Fault north/south trending feature here, and it appears  
11 as though we have to move 50 feet off to the east in order to  
12 pick up that same structure, displaying an offset of around  
13 47 feet.

14           In order to get that abrupt right step to this  
15 particular Ghost Dance Fault, we infer some type of fracture  
16 or fault that appears to be covered up with debris in between  
17 this right stepping feature.

18           This is a, looking northward to Live Yucca Ridge, I  
19 was pointing out features on this map just previously that  
20 were over here on the north side of Antler Ridge, and this is  
21 Split Wash. There are several features that I wanted to move  
22 towards along Live Yucca Ridge.

23           One, is that I'm going to be visiting a location  
24 right here near the drainage level. I'm going to actually  
25 first display a typical fault or a fault that we see in this



1 particular part of the area. I might also note that we took  
2 full advantage of these runoff drainages on this particular  
3 slope. They provided very good natural exposures that would  
4 have been costly if we would have had to remove that.

5           The other thing is that you can barely see in this  
6 photo. There is an area right here that's referred to in the  
7 mid-eighties as Pavement 100, and I'll be discussing in  
8 detail Pavement 100 right at the very top of Live Yucca  
9 Ridge.

10           This is one of the typical features that we see  
11 along the south-facing slope of Live Yucca Ridge. This  
12 particular feature here is interpreted as a cooling joint.  
13 It does have brecciation associated with it, and it has a  
14 north 20, north 30 west orientation. We see numerous  
15 features such as this along the south-facing slope of Antler  
16 Ridge, in addition to these subtle offsets of the  
17 lithostratigraphic units.

18           Toward the base of Live Yucca Ridge, we have this  
19 particular feature exposed. It's a lineament that runs clear  
20 up along the ridge crest here, and I'm going to show a close-  
21 up of this particular location near the drainage level.

22           At this location, we've got about three to four  
23 feet of brecciated rock or breccia within this zone. On some  
24 of these exposures, we were able to identify slickensides  
25 that demonstrate near horizontal displacements or separation.

1           Moving up to the top of the ridge, this is the  
2 actual pavement that was constructed in the mid-eighties.  
3 Some of it is overgrown, but the thing that I want to point  
4 out is if we look to the northwest, where it is this  
5 particular feature that was mapped by Scott in 1984 as being  
6 a lineament that he identified on the aerial photographs,  
7 cutting through this particular ridge, where we see a cutout  
8 or a possible erosional cutout of some of the upper cliff.

9           If we go--I'm not going to descend this particular  
10 slope, but in this particular area, we also have an increase  
11 in brecciation that was mapped by Scott & Bonk.

12           We're going to also take a look at this particular  
13 pavement as it looked shortly after it was exposed in the  
14 mid-eighties. This is the arrow that was used. It's about  
15 three meters in length. It's pointing out in this direction.  
16 This is north, and so we're kind of looking out in a kind of  
17 a southeasterly direction here.

18           Things I'd point out, I'm going to be showing you a  
19 fractured trace map done by Barton of this particular  
20 Pavement 100 on Live Yucca Ridge. The main thing to point  
21 out are these very conspicuous northeast-trending cooling  
22 joints. They're cut across this part of this pavement.

23           To orient yourself, this particular curved fracture  
24 in through here, and this arrow, I'm going to turn you around  
25 a bit with this particular trace map. Here we have the north

1 arrow again, so this is pointing up to north. These are  
2 these northeast-trending dominant cooling features mapped by  
3 Barton. This is actually published in one of the guide books  
4 that came out for the Geological Congress in 1989.

5           The other thing to point out--and this is in your  
6 handouts--these particular subtle features. These northeast-  
7 trending cooling joints are cut by a series of northwest-  
8 trending features. Although they're subtle, and they only  
9 offset these high-angle northeast-trending features by a few  
10 feet, they are present at the top of the ridge in through  
11 this zone, and there are some other offsets in through here.

12           In addition to our mapping of the breccia, and also  
13 the offsets, the sub-units of the Tiva Canyon tuff, to  
14 provide data to the unsaturated zone modeling effort, we also  
15 mapped fractures, and, to date, with our mapping in FY92 and  
16 FY93, we've mapped a total of 1557 fractures that can be  
17 entered into that unsaturated zone data base.

18           These fractures, in order to make progress in our  
19 mapping, we had to have some criteria. The cutoff on the  
20 fractures was fractures that were greater than six feet in  
21 length, or sets of fractures greater than six feet in length.  
22 This particular stereogram indicates that there are very  
23 strong preferred northwest, north to northwest trend to the  
24 fracture system within our mapped area.

25           Another type of compilation that we use is to take

1 each one of our 200 x 200 foot areas and, within that  
2 particular area, any and all fractures that we had mapped in  
3 that area, we then plot up to use to determine the anisotropy  
4 of our study area.

5           In blue, we've kind of plotted up things that have  
6 a general north/south trend to them all along the Ghost Dance  
7 Fault. We do have fairly numerous areas showing a  
8 north/south trend. However, there are these other features  
9 or areas that we see throughout our mapped area that indicate  
10 a preferred northwesterly trend different from the  
11 north/south along the Ghost Dance Fault; pointing out these  
12 particular features here, northwesterly trend in this part of  
13 Antler Ridge, northwesterly trend in this part of Live Yucca  
14 Ridge, and also, through some of our pavement area.

15           Going to the south here, on the south-facing slope  
16 of Whale Back Ridge, we have a strong preferred, or preferred  
17 north/northwest trend to the fracture system, and also down  
18 in through here near Broken Limb Ridge, we have another  
19 series of northwest trending fractures.

20           Back to this slide of Scott & Bonk, again, these  
21 series of, I pointed out these family or set of northwest-  
22 trending features. This is our interpretation. This is  
23 where we've mapped along Antler Ridge. We've mapped, also,  
24 here in Live Yucca Ridge, and shown in red here, or orange,  
25 are some of our interpretation of connecting the dots, and

1 this is where we come up with our Ghost Dance Fault and Ghost  
2 Dance shear zone.

3           We also have inferred that this may extend across  
4 the area where Scott & Bonk has mapped this particular  
5 lineament from aerial photographs, and, also, the breccia  
6 that he has mapped up to the northwest here, and also here.

7           To date, we haven't done any reconnaissance  
8 mapping, so we don't know exactly the field relationships of  
9 extending this off to the southeast.

10           Through our review process, our verification and  
11 review process, we've had a number of people, number of field  
12 trips out to Yucca Mountain to quality check this work, and,  
13 also, we're in the process of quality checking or reviewing  
14 the maps. Part of that review system has led one reviewer to  
15 an alternative hypothesis.

16           MR. FEHRINGER: Excuse me, Rick. Before you said that  
17 that northwest/southeast trending was the Ghost Dance. You  
18 mean the Sundance, don't you?

19           MR. SPENGLER: I meant the Sundance. I'm sorry.

20           This particular alternative structural model that  
21 will also be evaluated as we extend out our mapping would  
22 have this particular feature here, instead of having an  
23 offset, or right stepping of the Ghost Dance Fault on the  
24 north side of Antler Ridge, it would be a series of splays of  
25 Ghost Dance, and then there would be a cross structure. This

1 would be termed the Sundance. This cross structure would  
2 then connect up with this particular feature that we have in  
3 this part of Yucca Mountain.

4           Now, in order to buy into this particular  
5 alternative structural model, what you have to do is  
6 basically dispute the mapping of the southeastern part of  
7 Antler Ridge, right in through here, so this is, again, part  
8 of the verification, and perhaps, maybe we need additional  
9 pavements to cover this particular area, and also Live Yucca  
10 Ridge.

11           To get to some of the characterization that has  
12 been proposed, there are some serious debates going on within  
13 the project right now regarding these particular activities.  
14 The debate revolves around whether or not we should be  
15 continuing on with 1:240 mapping. One of the disadvantages  
16 of this type of detailed mapping is that it is extremely time  
17 consuming. Right now, we have a crew of three people that  
18 have been working on this effort, not including our review  
19 team, for the past two years.

20           We know, from previous experience, and now, with  
21 the complications that we've gotten through this mapping,  
22 that we can only map about 100 of these 200 x 200 foot areas  
23 in any given fiscal year, unless, of course, we increase the  
24 effort so that we have more mappers. However, one of the  
25 difficulties there is that you just don't advertise for a

1 mapper mapping in the Yucca Mountain area and expect he or  
2 she to be mapping within the next week or so. This is highly  
3 specialized mapping that takes some lag time in order to get  
4 up to speed with the very detailed stratigraphy out at Yucca  
5 Mountain.

6           We continue with our verification, and, in fact,  
7 what I just mentioned, we might need additional verification,  
8 the validation of some of these other mapped areas, and  
9 perhaps what we're doing now is strictly in the verification  
10 stage, using our mapping team to map the pavement. We intend  
11 to do some additional mapping toward the end of this fiscal  
12 year; however, if all things go right, we can only map  
13 approximately 30 additional areas this year.

14           So, our effort is being consumed right now in this  
15 verification effort. I suggest that perhaps not only is  
16 verification important, but perhaps it should be done in  
17 concert with additional mapping.

18           The other discussion revolves around whether or not  
19 we should--well, whether we should abandon the 1:240 mapping,  
20 and perhaps cover much more areas by going to more of a  
21 reconnaissance scale, and mapping one inch equals 200 feet is  
22 a scale that, if we were to go into this particular effort,  
23 might cover quite a bit of ground.

24           So, the debate rages in these particular areas as  
25 far as where we're going in the future of our detailed

1 mapping effort.

2           There are some other efforts that will be done in  
3 concert with whatever mapping effort is eventually decided.  
4 We have our surface-based program, or before I go into that,  
5 let me go one step ahead here, and indicate that in FY92,  
6 before I leave the mapping, we had proposed that we start  
7 mapping out these wings. Our Group 1 was to continue our  
8 mapping to the north--

9           DR. ALLEN: Could I interrupt for a moment, please?  
10 This is Clarence Allen.

11           Before we go into this, you've submerged us in so  
12 much detail that I don't think people here really understand  
13 what your gross conclusions are. Could you summarize in two  
14 or three sentences what the gross relationships are, in your  
15 opinion, between the Ghost Dance and Sundance Fault; what  
16 your confidence is in this; and why it makes any difference,  
17 possibly, in terms of site suitability? I think the detail  
18 here has submerged your conclusions completely.

19           MR. SPENGLER: Okay. Let me back up.

20           To summarize, as far as the mapping effort, we have  
21 uncovered or recognized several additional features along  
22 either side of the Ghost Dance Fault, and the discovery of  
23 another feature that we are now referring to as the Sundance  
24 Fault, or fault system.

25           The field relationships suggest that, number one,



1 we've been mapping--and the mapping is strictly within the  
2 12.5 million year old Tiva Canyon, and, therefore, there is a  
3 very good possibility, or, actually, we cannot make the  
4 inference right now that these particular features are, in  
5 fact, older than the 12--or older than the tuffs, or they are  
6 older than the tuffs, but what I'm getting at is that they're  
7 not young features.

8           What we see with these stepping relationships here,  
9 not only the left stepping, but also the right stepping,  
10 suggests that there are these complications where we're  
11 seeing both, and that, in fact, there may have been jostling  
12 of the mountain that would accommodate both types of  
13 utilizing, pre-existing structures, and, at the same time,  
14 offsetting some of these structures.

15           I think the significance of these particular  
16 features is that, number one, they were not previously  
17 recognized. Number two, I don't know, personally, the  
18 significance to the repository or to the studies that will be  
19 going on as far as the hydrologic studies. I think that  
20 remains to be seen.

21           Some people would debate that these particular  
22 features are insignificant. I think with our early stages of  
23 our mapping, I personally do not feel that the significance  
24 of these features can be assumed or can be weighed and tested  
25 at this time.

1           You've got me a little off track here, Clarence.  
2 You've got several questions here that you have asked. Did I  
3 answer at least some of them, or did you have several others?

4       DR. ALLEN: Well, not really, but go ahead.

5       DR. DOMENICO: Rick, you're running a bit over. Do you  
6 have much more to present?

7       MR. SPENGLER: No. I'm just about finished here.

8           Part of the effort here is also to do some  
9 subsurface work. There is activities as far as the borehole,  
10 UZ-7A. This particular unsaturated zone hole is intended to  
11 penetrate the Ghost Dance Fault just north of Broken Limb  
12 Ridge. Part of John Whitney's efforts will be actually to do  
13 some age determination along these particular structures that  
14 we've identified in our mapping effort.

15           These include cutting a trench on Whale Back Ridge,  
16 deepening or exposing more of the trench in Split Wash, and  
17 also, that north/south trending feature that hooked up with  
18 the Sundance Fault, to also deepen that trench in Drillhole  
19 Wash. Also, part of the efforts to determine the age of some  
20 of these features, John Whitney's group also intends to  
21 examine northwest-trending features, such as the one that's  
22 cutting through to the north in Pagany Wash.

23           And then, obviously, part of the effort once we get  
24 underground is to investigate these particular structures  
25 along the Ghost Dance and along the Sundance.

1 I think I'll stop there.

2 DR. DOMENICO: Thank you, Rick.

3 Any questions from the Board?

4 DR. CANTLON: Cantlon; Board.

5 Based on what you know about other faults, what  
6 would you predict down underneath here? Would you expect  
7 these things to converge, or to go down in parallel with the  
8 main faults?

9 MR. SPENGLER: These features that we've been mapping  
10 are high-angle features. Some people have argued, when we  
11 first displayed or illustrated some of this work, that what  
12 we are mapping within our 200 feet of exposure along the  
13 ridge was just superficial. However, there's also zones that  
14 are pretty well exposed, for instance, along Busted Butte,  
15 which gives you much greater relief, and these particular  
16 features, at least the preliminary mapping done by Scott &  
17 Bonk of Busted Butte, does not indicate that these, at least  
18 in the relief that we have available at Busted Butte, that  
19 there is any decrease in the width of these particular zones  
20 in that particular area.

21 Others have suggested that perhaps we should  
22 examine in detail areas like Busted Butte to try to answer  
23 that particular question. Right now, I don't believe that  
24 that can be answered.

25 DR. CANTLON: It would seem that if the faults are major

1 lines of infiltration, if they coalesce, then the collection  
2 basin for collecting water into a fault that gets into the  
3 repository is very much expanded in total collection area, so  
4 it would seem to me very significant to find out whether  
5 these things coalesce into the main fault line.

6 MR. SPENGLER: I agree, but with 200 feet of exposure,  
7 we don't have enough relief to make that assessment, and,  
8 therefore, we have to rely on the underground workings to try  
9 to get a grasp of those issues.

10 DR. CANTLON: But the likelihood of the tunnel  
11 intersecting in the appropriate direction would be a semi-  
12 miracle.

13 MR. SPENGLER: But, as I understand the plans now, if  
14 they actually have a underground working on the west side of  
15 the main trace of the Ghost Dance Fault, there are provisions  
16 available to go ahead and penetrate into the Ghost Dance  
17 Fault.

18 DR. LANGMUIR: Langmuir; Board.

19 The photographs suggested that some of the features  
20 you were looking at had caliche-type deposits within them.  
21 They were expanded, perhaps. Did you focus on those in any  
22 way? Did you identify those to the people interested? I'm  
23 particularly concerned that what you're doing is not tied  
24 into the rest of the program very well at this point, in  
25 terms of its interplay with the--you mentioned unsat zone

1 studies, but, certainly, the issue of upwelling versus soil-  
2 created caliche materials is quite relevant.

3           Did you identify those areas in particular, and  
4 have they been looked at by others?

5           MR. SPENGLER: They have not been looked at as of yet.  
6 In fact, there are studies that will be initiated within the  
7 next few months regarding that particular issue, particularly  
8 in the pavement, the Antler Ridge pavement, where you have  
9 very extensive exposure of these different types of calcium  
10 carbonate deposits.

11           Now, if you're referring to the different types of  
12 brecciation that we see along the pavement, one of the  
13 parameters or characteristics that we are measuring or  
14 documenting is the characteristics of that calcium carbonate  
15 cement, and, also, the fragments associated, or within that  
16 breccia.

17           DR. CORDING: Cording; Board.

18           Just one question on this north of Split Wash. Are  
19 you indicating if this is--if the Sundance is tied into the  
20 Ghost Dance south, where the Ghost Dance, you know, as the  
21 Ghost Dance comes up to the north, and the much of the  
22 activity comes across on the Sundance, are you saying that  
23 the Ghost Dance to the north is not as significant as we  
24 might have thought originally, it's not part of the same  
25 trend, or--I mean, you've got it mapped there at the surface.

1           Do you have enough information up there north of  
2 Split Wash to know what the Ghost Dance is doing up there?

3           MR. SPENGLER: We know along Live Yucca Ridge, just to  
4 the north of Split Wash, that we can still trace the set of  
5 north/south trending features on either side of the Ghost  
6 Dance. We also know, or what I had mentioned was that the  
7 Ghost Dance Fault abruptly decreases in vertical separation  
8 from about 47 feet, North Antler Ridge, to about five feet on  
9 Live Yucca Ridge.

10           Now, the other peculiar thing that we see on Live  
11 Yucca Ridge, or the south-facing slope of Live Yucca Ridge is  
12 that the Ghost Dance Fault, or what we think is the Ghost  
13 Dance Fault, does not have the--of that family of north/south  
14 trending faults, is not the fault of greatest displacement.  
15 In fact, the one fault that's directly to the east, what we  
16 referred to as the East Fault, has a greater amount of  
17 displacement.

18           If that is, in fact, the Ghost Dance Fault, and  
19 that we haven't extended our mapping far enough to the east  
20 to actually capture the other East Fault, then there's even  
21 greater amount of right separation that can be demonstrated.

22           DR. CORDING: Could you pick up some of that with kind  
23 of a reconnaissance-type work that you've described there as  
24 Item 3? You might be able to get some of that information  
25 with that type of exploration, 1:2400?

1 MR. SPENGLER: We probably can pick it up by mapping the  
2 ridges as 1:200. However, if we go to a 1:200 type of  
3 mapping, one inch equal 200 feet, our basic fracture data  
4 base will drop out of any of the study.

5 DR. DOMENICO: Thank you.

6 Let's take a fifteen-minute break.

7 (Whereupon, a brief recess was taken.)

8 DR. DOMENICO: Our next presentation will be an update  
9 on the exploratory studies facility by Bob Sandifer.

10 MR. SANDIFER: This is a status report on the  
11 exploratory studies facility. I will do it in three parts.  
12 First, I'll cover the status of the current ESF layout. If  
13 you will recall, I made a presentation on an improved, or an  
14 expanded layout, a proposal which I will give you the status  
15 of that now; the progress since the completion of the starter  
16 tunnel; and I will have a discussion of ramp extensions  
17 versus the east/west cross drift, which is what was in the  
18 previously-baselined concept.

19 The current status of the enhanced layout is that  
20 it's been baselined at Level 3. A change request has been  
21 prepared and submitted to Level 2 of the Project, and we do  
22 have approval of that, and that's currently being implemented  
23 into our baseline.

24 This is what we have adopted, if you will. This is  
25 the enhanced layout. This shows that the 2.1 per cent grade

1 on the north ramp, to 2.6 per cent grade on the south ramp,  
2 and a .5 to 2.6 grade on the Topopah Springs main drift.  
3 This shows the Imbricate drift, if you will, over to the  
4 fault zone. It shows the north ramp extension going down and  
5 getting in at Solitario Canyon Fault, and, if you will, the  
6 south ramp extension.

7           You have also seen this. This is the conceptual  
8 layout that I used in a previous presentation. This shows  
9 the primary or upper emplacement block, and the potential  
10 expansion block of the lower block.

11           The cross section, again, shows the previous  
12 baselined horizon, if you will, the SCP emplacement tunnel,  
13 and this is the upper block or the primary block, and this is  
14 the, if you will, the potential expansion area here.

15           This is one of the concepts, one of the working  
16 concepts that we're looking at. This is a lower thermal  
17 loading, where it takes the primary block as well as the  
18 lower emplacement block to handle the loading.

19           I'll move now to ESF progress since October, or  
20 since September. Package 1 previously consisted of 1A, 1B,  
21 1C and 1D. Due to budget constraints, that was reassessed,  
22 both construction and design, for Fiscal Year '94 and '95.  
23 We now have a Package 1E, which consists of those things that  
24 are not required to either turn the TBM initially this fall,  
25 or keep it turning going into Fiscal Year '95, and the



1 principal elements of Package 1E are the warehouse and the  
2 operations building, and we've now pushed that 90 per cent  
3 design review into Fiscal Year '95.

4           In this time period, Package 1C, the surface  
5 utilities, completed its 90 per cent design review. Package  
6 2A, which basically is the modifications to the tunnel to  
7 permit launching the TBM, was baselined at Level 2 and issued  
8 for construction. Package 2B, which is basically tradeoff  
9 studies for the north ramp, we completed our 90 per cent  
10 design review, and it's pending submission to Level 2 CCB.

11           Package 2C, which is the north ramp, the design  
12 products that the constructor needs to construct the north  
13 ramp, that 90 per cent design review is currently scheduled  
14 for the first week in May. We would expect to mail our  
15 packages in that time frame, and, two weeks later, have our  
16 initial briefing.

17           The first alcove was excavated. That alcove is  
18 intended to support radial borehole and hydrochemistry  
19 testing. The delivery has begun on the TBM. We have several  
20 shipments on site, and we've begun actual assembly. The pad  
21 itself for the TBM has been formed and poured.

22           The 69kV power line is complete. The installation  
23 of the buried utilities on the south end of the portal pad  
24 are going well, and there's been significant progress in  
25 getting the water line from the J-13 well to the pad.

1           I have a series of photographs that I'll show you,  
2 starting with the front end of the TBM in the manufacturer's  
3 facility. You can see the cutterhead's here, and you can see  
4 the portion that was under assembly at that time. This is a  
5 closer view of the cutterheads. This is looking from the  
6 rear of the TBM, where you can see the, if you will, the  
7 conveyor belt here, and out the front end of the TBM here.

8           This is an artist's rendition of the complete TBM.  
9 The portion you were looking at a moment ago is in this  
10 vicinity right here. TBM is currently on schedule. We are  
11 still anticipating turning the TBM in early August. It's  
12 possible that it could be a little bit earlier, a little bit  
13 later, but, currently, things are encouraging.

14           This is a picture of the utilities, the trenching  
15 for the utilities. I have a view that shows more of that.  
16 The next picture shows more of what is going on with the pad  
17 versus what is going on at the portal.

18           This shows the Jumbo in position in the alcove.  
19 This photograph shows the completed alcove. Finally, there's  
20 a photograph of the--a broader view of the pad, and the  
21 portal itself.

22           I'll talk briefly about the ramp extensions. This  
23 is the north ramp extension, if you will, in the recently  
24 baselined approach, versus the east-west cross drift approach  
25 that was used in the previous approach.

1           First of all, the east-west cross drifts, total  
2 length of 2,063 meters. It allowed an examination of  
3 approximately two-thirds of the vertical extent of the TSw2,  
4 and, clearly, this ran right through the center of the  
5 potential repository block, which, to the designer, is a  
6 disadvantage. If it goes through the block where he's going  
7 to do his initial design work, he either has to accommodate  
8 that tunneling, or he has to avoid it.

9           The enhanced layout, again, this is the north ramp  
10 extension. This particular Imbricate Drift takes you up to  
11 that fault zone, and then the south ramp extension.  
12 Previously, the cross drift, the east-west cross drifts ran  
13 across, above the Calico Hills main drift, and if you recall,  
14 the Topopah Springs main drift came around and basically came  
15 out normal to the Calico Hills main drift.

16           The next is a cross section, if you will, going  
17 back to the east-west cross drift. This shows--this being  
18 the east crossed, and this being the west, and this being the  
19 Topopah Springs drift, normal to this drift, and, as you can  
20 see, you're staying in the upper two-thirds all the way  
21 across. This section, you're not looking at.

22           On the north ramp side, this being the north ramp  
23 as you're coming down, and this being the north ramp  
24 extension, as you can see, it penetrates into the TSw2 and  
25 goes down, and does most of the vertical section of the TSw2.

1           The south ramp, similarly. This should be labeled,  
2 south ramp extension from here to here, and this is the south  
3 ramp, coming down, and then, as you see, it goes through the  
4 TSw2 here; essentially, the full vertical cut of that  
5 particular section.

6           The north and south ramp extensions total 3620  
7 meters, or, roughly 1550 meters more than the east-west cross  
8 drift. It does allow examination of almost the entire  
9 vertical extent of TSw2, and they are located at the ends of  
10 the potential repository block. So, you have the ends,  
11 you're looking at the ends as well as the Topopah Springs  
12 main drift comes across the block.

13           The ramp extension advantages: More footage, more  
14 exposure, supposedly, more knowledge gained; more vertical  
15 exposure of TSw2, preservation of the primary potential  
16 repository block, or, if you want to look at it another way,  
17 it gives the designer more flexibility. He doesn't have to  
18 contend with the east-west cross drift.

19           Exposure of two distinct and separate areas.  
20 Correlation may or may not be good, but, clearly, you will  
21 learn something in either event, because you're on either  
22 extreme of that primary block.

23           Disadvantages, there is more cost, there is more  
24 excavation, and you don't get to see that part of the, if you  
25 will, the middle of the repository block, and therein, I

1 guess, lies the debate. We feel that allowing the designer  
2 the flexibility is a much greater advantage than what we had  
3 in the east-west cross drift, clearly, of seeing the ends.  
4 If you use the north ramp, then you also are going across the  
5 entire block.

6           In summary, the first thing I'd like to say is this  
7 is clearly a cursory review. We have a great deal of  
8 difficulty discussing what we've done at the ESF periodically  
9 with as much work as is going on in an hour or 30 minutes, or  
10 whatever, so we would certainly suggest, and we would offer  
11 you separate sessions or whatever you may think is  
12 appropriate.

13           Also, I would point out that we are perfectly  
14 willing, with small groups, ones and twos, to have informal  
15 sessions; for example, Ed Cording and Russ McFarland were in  
16 our facility last week. We can discuss issues there, and we  
17 can do them in great detail, whatever happens to be bothering  
18 you, or information you need. So, I would certainly  
19 consider, I would ask--suggest you consider those.

20           There has been significant ESF design and  
21 construction work done in the last six months, and the next  
22 six months, as, I'm sure, you gathered, will include the  
23 initial start-up or turning of the TBM.

24           And that concludes my presentation.

25           DR. DOMENICO: Thank you. On time; even ahead of

1 schedule.

2           Any questions from the Board?

3           DR. CORDING: Ed Cording.

4           Bob, in terms of the start-up in early August or  
5 around that time frame for the TBM, you have some other work  
6 that needs to be accomplished at that point to be able to  
7 start in terms of design; is that correct?

8           MR. SANDIFER: We have a tight schedule, both design and  
9 construction. We, at the present time, when we look at the  
10 integrated schedule, we see us making that. Now, to make  
11 promises at this point would be very foolhardy of me, but I  
12 would suggest that this fall is a good, solid time, as far as  
13 I'm concerned, that the TBM will turn. It may not be August  
14 the 12th, it may be August the 20th, but we are close enough  
15 now.

16           For example, the big package, Package 2C is  
17 essentially designed. We go into our 90 per cent design  
18 review in like two weeks, two or three weeks, so most of our  
19 design work is now done, depending on how well that package  
20 does. So, the point there, from a design perspective, is  
21 much of what we had complete control of, we now go from a  
22 mode of complete control to a whole lot less control. We  
23 certainly hope, with the improvements we've made in our  
24 design process and the way we intend to do business with this  
25 design review, that it'll go much smoother than some of the

1 others have. Certainly, that was our intention, and we spent  
2 a lot of energy on that.

3           Construction, the utility work and the TBM work are  
4 critical. Right now, from a CTS standpoint, they see all the  
5 pieces arriving. They have to go together, and we can't  
6 really have any upsets or problems, and the surface utilities  
7 are the same way. It's a great deal of work going on out  
8 there concurrently.

9           So, we feel like we're going to make it. That's  
10 certainly our intention, and we feel like we're on target  
11 today.

12         DR. CORDING: In terms of once you've been able to start  
13 up, what's the present outlook for the funding and the  
14 operation of the TBM? Are you going to be able to operate it  
15 in such a way that it's being utilized 24 hours a day once  
16 you get rolling, or is that still a situation where you're  
17 not going to have it--

18         MR. SANDIFER: That's funding-dependent. It's dependent  
19 on us getting the kind of dollars that we discussed earlier  
20 for the program. You're talking a significant cost component  
21 of the total cost of the work going out there. Once we put  
22 this machine in service, there is a base--if you will, a  
23 baseline cost that you have to support if you're going to run  
24 it three shifts. That is built into the budget, and if we  
25 get the budget, we can run three shifts. If we don't run--if

1 you don't get the budget, then you're talking about something  
2 less than that.

3 DR. DOMENICO: John?

4 DR. CANTLON: Cantlon; Board.

5 You've talked about the TBM being delivered on  
6 time. How about the muck removal apparatus?

7 MR. SANDIFER: Far as I know, it's on schedule.

8 DR. CANTLON: On time?

9 DR. DOMENICO: Any other questions from the Board?  
10 Staff?

11 DR. BARNARD: Bill Barnard, Board staff.

12 In the enhanced ESF layout diagram, you show the  
13 Calico Hills main drift at a significant angle to the Topopah  
14 Springs main drift. Is that a final design decision?  
15 Originally, they were on top of each other, as I recall.

16 MR. SANDIFER: The--

17 DR. BARNARD: The two drifts were running parallel on  
18 top of each other.

19 MR. SANDIFER: The Topopah Springs, that is, in essence,  
20 the change that was made in the enhanced ESF.

21 DR. BARNARD: Right. Do you plan on re-orienting the  
22 Calico Hills main drift?

23 MR. SANDIFER: We have not changed the orientation of  
24 Calico Hills, and, to my knowledge, we don't anticipate doing  
25 that. We've really not looked at it beyond getting this in



1 place. Certainly, the next step is to look at things like  
2 that, but we essentially left it unchanged while we did the  
3 enhanced layout.

4 DR. DiBELLA: Bob, Carl DiBella, Board staff.

5 On your conceptual repository layout you show an  
6 upper and lower block. Do you recall what the acreages are  
7 for those two blocks, and if you're limited--if you use only  
8 the upper block for the total repository capacity, what  
9 thermal loading does that shoot you into?

10 MR. SANDIFER: I'm going to defer that to some of my--  
11 Kal, would you like to answer that?

12 DR. BHATTACHARYYA: I'm Kal Bhattacharyya with M&O. I  
13 happen to have the numbers in my hand here.

14 The upper block, Carl, its emplacement area is  
15 about 930 acres, which translates into about 73kw/a. If you  
16 took the other block on the east side of the Ghost Dance,  
17 that has about 220 emplacement acres, and you can achieve  
18 59kw/a.

19 DR. DiBELLA: A further clarification here. Both blocks  
20 will allow--you have to have 59kw/a? Was that what you said,  
21 Kal?

22 DR. BHATTACHARYYA: If you had both blocks, if you used  
23 the primary block and the one that's on the lower side, if  
24 you had those two blocks, you could accommodate a repository  
25 which would have 59kw/a.

1 DR. DiBELLA: You couldn't accommodate the full  
2 capacity?

3 DR. BHATTACHARYYA: Yeah. The assumption is 70,000 MTU,  
4 and our assumption was that that translates into about  
5 68,000kw total inventory.

6 DR. DOMENICO: Further questions from the staff?

7 DR. REITER: In the last talk, Rick Spengler talked  
8 about the Sundance Fault, and he talked--one of the things he  
9 had in the end was underground exploration, and I wonder to  
10 what--how and to what extent you interact with the kind of  
11 work that he does or other people do when determining what  
12 are targets that you want to look at there? Are you  
13 considering the Sundance Fault? And, if you have; if not,  
14 why?

15 MR. SANDIFER: Well, I don't know which one of these--in  
16 fact, it shows on some of the view graphs that I showed  
17 earlier, but, certainly, what we do underground is integrated  
18 with the scientific community. That's why we're there, so we  
19 certainly will be integrating with--

20 DR. REITER: So, have you discussed this with Rick  
21 Spengler?

22 MR. SANDIFER: I haven't, personally.

23 DR. REITER: I mean, is there interaction going on?

24 MR. SANDIFER: Kal, do you want to speak to that?

25 DR. BHATTACHARYYA: This is Kal Bhattacharyya again.

1           Yes, we are aware of that. We have talked to USGS  
2 on it. It's shown on this--on the view graphs that Bob  
3 showed. We are not quite sure yet is exactly, though, what  
4 significance of Sundance Fault is. As far as I know, this  
5 was traced in Scott & Bonk many, many years ago. It's just a  
6 more definition of the fault, so we are just waiting and  
7 talking to USGS just to see what the characteristic of the  
8 fault is, and, you know, whether displaced, and so forth.

9           So, we are aware of that. This layout preceded  
10 Rick Spengler's work, as a matter of fact, but, as you can  
11 see, it's there. We are looking at it.

12         DR. DOMENICO: Any further questions?

13           (No audible response.)

14         DR. DOMENICO: The last speaker today, Dean Stucker,  
15 talking on focused mined geological disposal system, advanced  
16 conceptual design status, and update on the thermal loading.

17         MR. STUCKER: My name's Dean Stucker, and I hope to  
18 provide a status of the focused MGDS, mined geologic disposal  
19 system, advanced conceptual design, and Dr. Saterlie will  
20 give an update on the thermal loading study as part of this  
21 presentation.

22           I wanted to, before I really get into the status,  
23 we recently went through a organizational change at Yucca  
24 Mountain, and I wanted to review that change with you as it  
25 relates to the engineering and field operations section,

1 which Bill Simecka is now the assistant manager for. Before,  
2 we were working with directors and associate directors, and  
3 we've gone to assistant managers and lead teams.

4           The way we've divided it now is that we're looking  
5 at a project engineering group for the exploratory studies  
6 facility, surface-based testing facility, and we're looking  
7 for a team, a project engineering team for the repository  
8 waste package part of it, and for the implementing, we have a  
9 design team that does all the design, both ESF and  
10 repository; a construction that does all the construction at  
11 the site; and Win Wilson is the supervisor at the site office  
12 for the operations and maintenance part of it.

13           I thought it might be interesting just to--I get a  
14 lot of discussion as to why do we need repository waste  
15 package designs at this point in our site suitability  
16 evaluations, and I think it's interesting just to review that  
17 we are looking to see if the site is suitable for a  
18 repository, and, in doing that, we need to assure that the  
19 activities at the site, and the ESF and the surface-based  
20 testing are compatible with the potential repository design;  
21 and, secondly, that the repository waste package designs  
22 identify any impacts that might be at the site, or with the  
23 site conditions; and, thirdly, the designs, preliminary  
24 designs will provide the basis for any safety or waste  
25 evaluations needed in the site suitability part.

1           You'll hear me talk about the mined geologic  
2 disposal system, MGDS, and what we're referring to there is  
3 the waste package, the surface, sub-surface repository  
4 designs, and the site characterization exploratory studies  
5 facility and surface-based testing activities. We're really  
6 looking at the overall system when we refer to the MGDS.

7           I might skip a couple of these view graphs to catch  
8 up on time. If there's any question in the package related  
9 to them, they have to do with the phases of our design, and  
10 I'll just jump into the fact that, as you know, we had a  
11 major change in our program direction with the decision to go  
12 forward with the multi-purpose canister in February.

13           Of course, that is a single canister that goes  
14 through the storage, transportation and dispose elements of  
15 the program, and the storage must meet 10 CFR 72,  
16 transportation is 10 CFR 71, and to the extent that we can,  
17 10 CFR 60, because of the uncertainties and the to be  
18 determined, to be resolved issues related to 10 CFR 60, we  
19 talk about being compatible with, to the extent we can at  
20 this point, with the design evolution.

21           And, because of the decision with the multi-purpose  
22 canister, we are looking at a need to replace the site  
23 characterization plan conceptual design with a new  
24 architecture that meets the baseline changes with the MPC.  
25 We are in the process now of looking at what those

1 architectural design changes are, and these changes will  
2 support the site suitability interim evaluations, total life  
3 cycle costs, environmental impact development, and license  
4 application development.

5           If I were to put a cartoon up as to--I think I've  
6 showed something similar to this before. The approach that  
7 we've taken is this focused advanced conceptual design  
8 approach, which, really, if you look at the requirements, we  
9 have numerous to be determined criteria constraints to be  
10 resolved in order to meet 10 CFR 60 and other applicable  
11 requirements.

12           Some examples of these: Thermal loading would be  
13 up there. What we want to do is we want to make some  
14 technical judgments, and make assumptions related to each one  
15 of these TBDs, TBRs. We want to make them with the best  
16 available information we have at this point, and go forward  
17 with one concept that's focused, based on the MPC, and also  
18 carry alternative features to that design that are important  
19 to waste isolation, and, at the same time, look at the  
20 assumptions and substantiate those assumptions through the  
21 scientific basis, through the scientific community, and once  
22 we have substantiated them, go back in and do a change  
23 control to our requirements document to make it a permanent  
24 change. If we find out that we need to readjust our  
25 assumption, we'll go back and change our assumption.

1           The control design assumptions really are in three  
2 categories, and I'll have a view graph that goes into it a  
3 little bit further, but we're really looking at the  
4 requirements section assumptions that we need to make in that  
5 area. We're looking at concept, or operational concept  
6 assumptions, and even some data assumptions to go forward  
7 with a design.

8           This is a view graph showing the technical  
9 documents hierarchy for the program, the different elements  
10 of the program, and, of course, us, in the MGDS area, with  
11 the MPC baseline change, we have implemented changes to these  
12 documents that basically say that the MPC will be the primary  
13 concept that we go forward with. We're in the process now of  
14 revamping our project technical documents to trace back up to  
15 the changes with the MPC.

16           This shows the control design assumption document  
17 in the cartoon that I just laid out, where we will go forward  
18 and make numerous assumptions to focus the design and go  
19 forward.

20           This is where we are now as far as the process.  
21 We've identified well over 1,000 assumptions that we want to  
22 go forward on. We want to divide those into key assumptions.  
23 The key assumptions are those assumptions that are important  
24 or may affect other program elements that we want to take and  
25 form specialist panels to help us assure that we come up with

1 the best judgment call on these assumptions.

2           The ones that are not key assumptions, the M&O  
3 design team will go forward, list those assumptions, and  
4 there will be a control design assumption document.

5           If you look at what the outline looks like for the  
6 controlled design assumption document, again, we have three  
7 major elements of this: The requirement assumptions area,  
8 concept of operations area, and technical data assumptions  
9 area, and then there will be appendixes to look at the  
10 rationale for assumptions, substantiation tracking areas, and  
11 traceability matrices.

12           I'll talk a little bit about the schedule and where  
13 we are in the schedule. If you look at the key activities of  
14 the design, I've put some of the MPC milestones that have  
15 been talked about earlier. This is our controlled design  
16 assumption document. We hope to have the draft out by May,  
17 and a Rev shortly after. If we're looking here at the  
18 advanced conceptual design summary reports, we want to have  
19 one in September, which is our initial report, which will  
20 undergo a review to the requirements and to the assumptions,  
21 an interim one in '95, and a final advanced conceptual design  
22 report in September of '96.

23           A key part to all of this is the substantiation of  
24 the assumptions. We want to look at some initial plans by  
25 May, and do status checks along the way to assure that the



1 assumptions that we have made are consistent with the data  
2 that's coming in.

3           I'll turn a little bit now and talk about some of  
4 the concepts and sketches that have changed from the SCP  
5 days, and that we are focusing on. We're basically looking  
6 at two multi-purpose canister designs; a large one, 125-ton  
7 design, which would have a basic 21 PWR MPC container, an  
8 inner containment barrier, and an outer containment barrier  
9 for the waste package part, a corrosion resistance, and a  
10 corrosion--I've lost the terms--corrosion allowance.

11           And for the smaller MPC, a 12 PWR, basically, the  
12 same concept. We have four basic waste packages that we're  
13 focusing on; the two MPC, and the defense high-level waste  
14 package, which is similar; again, an inner barrier and an  
15 outer barrier, with the four defense high-level waste  
16 containers; very similar in dimensions to the large MPC, and  
17 the need to go forward with an uncanistered spent fuel  
18 package that we may receive at the repository, not in an MPC.

19           At this point in time, some of the key assumptions--  
20 -I just put these up here--that we're focusing in on for  
21 materials and the possible thicknesses for the different  
22 waste packages, the inner containment barrier and the outer  
23 containment barrier, and weights. We're looking at, again,  
24 the 21 PWR, I think, is around 125-ton, 75-ton, and Bob  
25 showed some concepts of the underground.

1           One of the drivers for the change to the  
2 exploratory studies facility is clearly the fact that the  
3 repository concepts are changing because of the need to go to  
4 larger waste packages, and now, the decision to go with the  
5 MPCs. We're looking at assuring that we can have a design  
6 that uses the flatter slopes for the large rail-mounted MPCs.  
7 That's the reason for the ramp changes in the ESF, and the  
8 fact that we now want to try to avoid some of the major  
9 faults, and, based on the latest information.

10           Again, these are just working concepts as we go  
11 forward. I wanted to point out that this was the repository  
12 SCP concept layout that had been altered because of the ESF  
13 alternative study. I'll show that with an overlay of where  
14 we are now, and, again, the--what Bob showed is the current  
15 working concept, which has a main area of--and will contain  
16 70,000 MTU, I think, at 73kw/a, and an expansion area, a  
17 lower expansion area that Bob pointed out, that would contain  
18 at a lower thermal loading. I think it's 59kw/a.

19           This shows the--it doesn't show up very well in the  
20 handout, but the green is the SCP layout, and the blue  
21 overlay is the new layout, with the current working drafts to  
22 accommodate our focused ACD. Bob showed that the SCP  
23 emplacement area was on a, I think around a 4 per cent slope.  
24 We wanted these flattened out for the large, rail-mounted  
25 waste packages. That was one of the main drivers for some of

1 the changes.

2           And if you look at the concept that we're carrying  
3 forward right now, of course, this will--this is just early  
4 concepts. They will be enhanced and changed as we learn  
5 through the iterative process. This shows a 21 PWR waste  
6 package on a rail cart, and a 14-foot high emplacement drift.

7           This is an area, enlarged area that shows the main  
8 surface area, and what we refer to right now as a TBM launch  
9 main, where you could launch TBMs, drive the emplacement  
10 drifts, and then come back around and re-launch for the next  
11 drift. These are shielded doors, shielded areas for doors.  
12 These are the 14-foot diameter drifts, and the large service  
13 mains and launch mains are the 25-foot diameter drifts.

14           Our current working concept right now is that the  
15 large waste packages would be transported underground in a  
16 transport cask that fully shields the waste package. They  
17 would be turned on a turntable, lined up with the emplacement  
18 drift, and pushed into the drift. The shield door would be  
19 closed, and the transporter rotated and taken back to service  
20 for another one.

21           And, depending on the thermal loading, you could  
22 remotely take a locomotive, then, and place these cars at  
23 whatever distance you wanted in the emplacement drifts.  
24 Again, these are just our working concepts right now.  
25 They'll go through changes as we go forward.

1           I think that kind of concludes what I had. Are  
2 there some questions? Steve has the thermal loading part  
3 that he will continue on with.

4       DR. DOMENICO: We'll take some questions now. Any  
5 questions from the Board?

6       DR. PRICE: How many people will be working underground  
7 on this? Do you have a concept on that?

8       MR. STUCKER: I think we're in such an early working  
9 stage that we really haven't outlaid it to that extent. I  
10 might ask Kal if he has any working numbers.

11       DR. PRICE: And could I add, in addition to that, how do  
12 you cope with the heat with the people in there, and so  
13 forth?

14       DR. BHATTACHARYYA: Okay. This is Kal Bhattacharyya.

15           As Dean said, we haven't gotten down to the head  
16 counts yet. The concept that we are working with assumes  
17 that once you are in that emplacement area, it will be  
18 remotely operated, so nobody, no human being is going to be  
19 allowed into any of these emplacement drifts. Once that  
20 waste transporter comes in and rotates, from then on, we  
21 assume that everything is going to be automatic. The door  
22 will open automatically. The locomotive's pretty  
23 straightforward to pick it up automatically and push them  
24 back, close the door, and then, and then only, a person can  
25 come up.

1           The transporter itself would be fully shielded to a  
2 Department of Transportation-type shielding level, so that  
3 could go up and down the main ramp and up to the surface.

4           DR. PRICE: And protection from just heat?

5           DR. BHATTACHARYYA: The heat issue, that while we are  
6 emplacing, we are, of course, fully ventilating these  
7 emplacement drifts, so the temperature really shouldn't rise  
8 so fast. You are emplacing from the back on, and in the  
9 automatic mode, so no human being is in there.

10           Once one drift is emplaced, then you close the  
11 door. There is a setback distance of some 30 meters from the  
12 nearest emplacement, nearest--that launch main, you know, so  
13 temperature really should not ever rise very much into the  
14 access drift, as a matter of fact. You're look at a maximum  
15 rise of 50°C.

16           DR. PRICE: And this operating concept that you're  
17 describing now is--was that part of the life cycle costs that  
18 were involved in any system tradeoffs when you were looking  
19 at the MPC versus other types of operations?

20           DR. BHATTACHARYYA: No. We have not done any peer  
21 services under this concept.

22           DR. PRICE: Do you intend to do that kind of life cycle  
23 costing and tradeoff comparisons and system studies?

24           DR. BHATTACHARYYA: I believe we do because, you know,  
25 this ACD, one of the reasons for doing the ACD is to

1 contribute to the TSLCC. [total system life cycle cost]

2 MR. STUCKER: The answer is, definitely, we will. If  
3 you look at the schedule that I had up, I didn't really get  
4 into the lower elements, the elements that we would impact,  
5 but, clearly, total life cycle costs would be re-looked at at  
6 the end of the advanced conceptual design when we have  
7 detailed cost estimates available.

8 DR. PRICE: In terms of tradeoffs with alternatives,  
9 alternative concepts of operations?

10 MR. STUCKER: From a systems point, I'm sure, along the  
11 way, we'll be looking at those tradeoff studies, yes.

12 DR. PRICE: But, at this point, that has not occurred?

13 MR. STUCKER: That has not occurred.

14 DR. PRICE: So that part of the systems studies is  
15 incomplete?

16 MR. STUCKER: I would--yes, it is, and the reason, we're  
17 in the very early stages of the advanced conceptual design,  
18 and we're limited, funding-wise, to a focused approach at  
19 this point. Next year's funding, we plan to look at the  
20 trade studies and expand on that.

21 DR. SATERLIE: Let me see if I can shed a little light  
22 on that.

23 DR. DOMENICO: Can you identify yourself?

24 DR. SATERLIE: This is Steve Saterlie, yes, and on the  
25 systems studies that we did last year, we had some

1 preliminary estimates of cost of the various aspects as best  
2 we understood them at the time; the operational concepts, the  
3 costs of that part of it, and, admittedly, they were fairly  
4 crude.

5           Now, as we develop more details about those costs--  
6 and this year, in particular, we're factoring more of those  
7 details in, and we are, on the various options that we're  
8 looking at, we are comparing those costs, so some of that is  
9 getting done, but, admittedly, it's a maturing--we have until  
10 some of these concepts mature to get a good estimate of the  
11 cost.

12       DR. PRICE: Well, we, just by way of comment, felt you  
13 are off to a start, but that there was much more to do, and  
14 this is, perhaps, an indication of some of that much more  
15 that there is to do in systems studies.

16       DR. DOMENICO: Is that--

17       DR. PRICE: I have another question, if I may, while  
18 I've got hold of the mike, and then I can let go of it, and  
19 that is: Has this concept that you're presently describing  
20 considered the fillers issue and how it might be handled with  
21 respect to not only operating at the repository, but as it  
22 bumps up throughout the whole system?

23       MR. STUCKER: Currently, we're looking at the  
24 assumptions we would carry forward right now, that the--with  
25 the assumption that the design would have to allow to add

1 filler materials at the repository, so a lot of the key  
2 assumptions that we're going forward with allow us those  
3 flexibilities until we come up with the trade studies along  
4 the design process, where we could back off. So, we're kind  
5 of bounding the cases on a lot of those areas.

6 DR. DOMENICO: Ed, you had a question?

7 DR. CORDING: Just a quick question on the TBM launch  
8 main. Would that be used to remove the muck, or would they  
9 be taking it out of the service main? You had a picture up  
10 there just before, Dean.

11 MR. STUCKER: Yeah, I sure did. In fact, I may have a--  
12 what we're looking at is--and I didn't bring other drawings  
13 to show that enhanced.

14 This shows the launching of a TBM, but these mains  
15 would be used, the service mains would be used to remove the  
16 muck, railed back to a central point, to a conveyor; a  
17 central point for conveyor removal.

18 DR. CORDING: Thanks.

19 DR. DOMENICO: Any further questions from the Board?  
20 Staff? Carl?

21 DR. DiBELLA: Carl DiBella, Staff.

22 I'm sort of curious under this concept how you're  
23 going to carry out a performance monitoring program, which  
24 is, we understand now, going to be 100 years in length,  
25 rather than 50, and how you're going to fix things when they



1 go wrong in there. Could you explain a little bit?

2 MR. STUCKER: Yeah. I probably need to clarify that  
3 this--the focused ACD approach that you see here is based on  
4 a recent MPC decision, and it does not incorporate any  
5 changes that we might have if we do incorporate Scenario A.  
6 So, we need to look at what Scenario A impacts would have on  
7 this plan, but they are not incorporated in here.

8 I think they'd be minimal at this point in time,  
9 but things like retrieval, right now, we're looking at a 50-  
10 year retrieval period. If we went with Scenario A, we're  
11 looking at a 100-year retrieval period, and how would you  
12 monitor and look at that may have some impacts back on the  
13 design. They clearly affect the assumptions that we're going  
14 forward on.

15 DR. DOMENICO: Bill, do you have questions?

16 DR. BARNARD: Yeah. Bill Barnard; Board staff.

17 Dean, as I understand it, once the radiation doors  
18 are closed, you aren't ventilating the tunnel; is that  
19 correct?

20 MR. STUCKER: That's our current concept, is that once  
21 the door is closed and the waste package is emplaced, it  
22 would--we wouldn't open it back up unless you wanted to go in  
23 and retrieve, pull it back out.

24 DR. BARNARD: And could you retrieve that waste if the  
25 temperatures had increased to 200°C?

1           MR. STUCKER: We would have to look at what would be  
2 needed. Again, that's why I pointed out, this is very early  
3 conceptual, what we would have to do for blast cooling, or  
4 dropping the temperature down in a drift to go back in, we'd  
5 have to look at, and we'd have to look at--part of the  
6 assumptions that we're going forward on is developing a  
7 retrieval strategy. We are basically at the final part of  
8 developing a retrieval strategy. We need to look at what  
9 that strategy assumption would do with this concept, and how  
10 we might have to adjust the concept then.

11          DR. DOMENICO: Don?

12          DR. LANGMUIR: Langmuir; Board.

13                 Related question, Dean. I would assume you must  
14 have some sort of remote monitoring for radioactivity set up.  
15 Once you close the door, there has to be some way to  
16 establish there's been a leak or not a leak if you're going  
17 to open it up again. I would assume that's being monitoring  
18 remotely. Is that part of your plan?

19          MR. STUCKER: I would assume that the design would have  
20 some monitoring. I don't know the details of what that  
21 monitoring is. Kal, you may have some idea of what the  
22 concept is at this point.

23          DR. BHATTACHARYYA: This is Kal Bhattacharyya.

24                 Depending on the thermal loading, as a matter of  
25 fact--and Steve Saterlie is one of the people who is looking

1 at the survivability of monitoring instruments, you know, in  
2 a given temperature, as a matter of fact. Assuming that the  
3 monitoring, assuming it will survive at the thermal load that  
4 they choose. Nothing says that it cannot actually do it. It  
5 can do it, you know, electrical cables, or whatever, around  
6 the door. The door itself doesn't have to be, you know, like  
7 a airtight, sealed type of door.

8           From my limited knowledge of radiation, I  
9 understand it is more of a shield as opposed to, you know, an  
10 airtight thing, so we could produce a mechanism, you know,  
11 which would allow you to go around or over, through some sort  
12 of conduit to the door, and monitor the emplacement, or the  
13 waste packages.

14       DR. DOMENICO: I think we'd better move on to the  
15 thermal loading part of this presentation.

16       DR. SATERLIE: All right. I want to thank you for this  
17 opportunity to give you a very cursory look at the update on  
18 the thermal loading study. Unfortunately, due to the lack of  
19 time, I haven't provided, really, any technical details of  
20 the study, and I'd certainly be happy to do that, if the  
21 Board is interested, at a later time.

22           So, this is the FY93 thermal loading study. The  
23 objectives of that study, as I think we talked about last  
24 July, are really to place bounds on there, if we could, to  
25 determine what was too hot, and possibly too cold; to grade

1 or evaluate the thermal loading against performance criteria,  
2 and I talked to you about the SCP thermal goals and the  
3 reevaluation that we've done on those goals, and that was  
4 primarily what we'd used in those evaluations, although the  
5 total systems performance work was also incorporated.

6           In the system study, we wanted to, besides  
7 performance, we wanted to look at cost, safety, and  
8 operability, and, as I said, we did some work on the cost,  
9 but many of those concepts are still maturing, and we have  
10 to, you know, do more at getting the details of those costs.

11           Finally, we wanted to identify uncertainties, and  
12 translate that into what we need to do in future work, and,  
13 possibly, into the test programs.

14           The status of the program is that the work has--the  
15 study's been completed. The report is written. In fact,  
16 Russ McFarland has been given a copy of that report. I don't  
17 know if you've had a chance to see it, the draft report. It  
18 had a fairly extensive M&O technical and management review.  
19 DOE has completed their management review, and, at this point  
20 in time, we're ready to send it out to the participants for a  
21 broader review. We want their input.

22           Now, many of the folks that were involved  
23 specifically in the program and contributed, they saw their  
24 portions of it, but they didn't see the whole report, and  
25 that's what we want to do now, is give them, plus others,

1 like USGS, an opportunity to comment, and we'll have a  
2 comment resolution process there.

3           The study integrated the activities of a wide  
4 variety of people. We managed the study, but involved in it  
5 and very integral to that activity were the design groups,  
6 the waste package people the subsurface, surface. Lawrence  
7 Livermore did some of the hydrothermal predictions for us.  
8 Sandia did some thermal predictions. Los Alamos looked at  
9 the geochemistry.

10           The point of this was that we wanted to make sure  
11 that all of these folks doing the predictions were using the  
12 same inputs, the same subsurface designs, waste package  
13 sizes, and the waste stream assumptions so that we could do  
14 comparisons across the board.

15           The study itself looked at a variety of parameters,  
16 three different waste package sizes, all the way from a 6 to  
17 a 21 PWR size capacity, although the BWRs I didn't put on  
18 here, but they're similar. I think it's 42 for the 21, and  
19 21 for the 12, and 12 for the 6. Anyway, those size waste  
20 packages were looked at.

21           The three emplacement modes, vertical borehole, in-  
22 drift, and horizontal were looked at, and five thermal loads  
23 were chosen. These five thermal loads went from 24 to 111  
24 MTU/acre. Primarily, the AML affects the post-closure, the  
25 mountain scale kinds of performance, and I've also put on

1 here for the fuel that we used, the areal power density that  
2 it would be commensurate with, and that primarily affects the  
3 pre-closure or the near-field kinds of environment.

4           The lower thermal loads here, 36 and below, were  
5 chosen because the 36--above 36 becomes above boiling on the  
6 bulk average. The other choices we can talk about, if you're  
7 interested.

8           The evaluation itself, because of the kinds of  
9 calculations that were done, it turned out there was about  
10 eight of the thermal goals that we could evaluate this  
11 performance against. We couldn't do all of the goals. As  
12 you're aware, there's about 15 of them, because some of the  
13 boundary conditions were such that we couldn't make  
14 predictions that were accurate in that range, like the  
15 surface, or other aspects.

16           We also included some look at monitoring. We found  
17 some quantitative data about off-the shelf instruments, and  
18 where those might start to fail, so we included that into  
19 that issue as well.

20           The results. What we found when we did this  
21 comparison is that the 111 MTU/acre case, essentially all the  
22 goals except a couple were violated, and then when we did  
23 comparisons, the predictions at 83 and 111 were well-behaved  
24 enough that we could make interpolations between those, and  
25 we found that even down to about 100, all those same goals

1 were violated, and so that was the reason for the choice of  
2 100 as being too hot--above that as being too hot.

3           So, let me close with the key findings of the  
4 study. There was actually a number of findings, and I'd  
5 refer you to the report, or to a later briefing to discuss  
6 them, but, primarily, the study found that above 100  
7 MTU/acre, that there was sufficient technical basis to say  
8 that that was too hot.

9           Looking at the geochemical aspect of the problem,  
10 Los Alamos concluded that as you increase the thermal load,  
11 the geochemical alterations, the uncertainty of those  
12 increases. That's probably not too startling.

13           Below boiling, on the bulk average in the  
14 repository, what was found is that for bulk permeabilities of  
15 a Darcy or below, that, essentially, there was negligible  
16 mountain-scale hydrologic perturbations. The water movement  
17 was negligible on a mountain scale. That isn't to say that  
18 there wasn't some local water movement that could occur in  
19 the drift scale.

20           Electronic components have high failure rates, it  
21 turns out, about 160° and above, the failures are dramatic,  
22 and so, monitoring was not really feasible or practical above  
23 about 100 MTU/acre. We're going to look at that in more  
24 detail this year, and we're going to get some more  
25 information on those particular aspects of it.

1           A number of uncertainties were determined. These  
2 still remain, and we're looking at those in more detail. In  
3 this year's study, we're trying to do some sensitivity  
4 analysis to determine where the break points really are on  
5 some of these parameters, and I guess, you know, many of  
6 these are no surprise. We've known these, in many cases, for  
7 some time, but we now have some technical basis.

8           For example, bulk permeability, we did a  
9 preliminary sensitivity study and found that above a Darcy,  
10 there are some significant changes, so we have to factor that  
11 into the test program to determine over what range we're  
12 going to be measuring these particular parameters.

13           Corrosion rates, of course, are still an  
14 uncertainty. Fuel variability is one thing that we want to  
15 look at. We just did the study with average fuel. We now  
16 have to look at the variations in the fuel that we're  
17 getting, and how hot--are we going to have hot spots and cold  
18 spots in this thing, and what does that imply about the  
19 performance?

20           Cost, we have to factor, as I said earlier, we have  
21 to factor in some of these maturing concepts and the cost of  
22 those particular aspects of the problem.

23           Geochemistry, percolation, and thermo-mechanical  
24 effects, we did a very preliminary thermo-mechanical  
25 analysis, and we're in the process of doing a better job on



1 that.

2           There were some questions yesterday from the Board  
3 about ventilation and retrieval, and I just wanted to say  
4 that we have been working closely with the subsurface folks  
5 on the ventilation aspect. There was some preliminary work  
6 that's in the report on ventilation, and we plan to update  
7 that and improve that in this year's study.

8           This study, by the way, is--there's also a couple  
9 of other studies that are going on, and one of those system  
10 studies is a retrieval study this year, and so, the retrieval  
11 aspect and, hopefully, some, at least, maybe in a -- order,  
12 the costs of those retrieval aspects are going to be looked  
13 at for the different options.

14           So, more to follow, I guess, as the studies  
15 proceed, and at this point in time, I guess I'll quit and  
16 take questions.

17       DR. DOMENICO: Board questions?

18       DR. LANGMUIR: Langmuir; Board.

19           Just wondering what age of fuel, on average, would  
20 give you that 100 MTU/acre figure that now seems to be the  
21 maximum allowable?

22       DR. SATERLIE: Age. Well, of course, this study, the  
23 age was a 22.5-year for the PWR and it was 23.2, I think, for  
24 the BWR, years out of a reactor, and so what it was looking  
25 at was the density of how you place that fuel and place the

1 package spacing and drift spacing, so I guess I'm not sure I  
2 understand your question, maybe.

3 DR. DOMENICO: Warner?

4 DR. NORTH: Warner North.

5 Could you clarify on the last slide, that I'm not  
6 sure you showed, evaluation of thermal criteria using system  
7 study results? There's a Footnote No. 1 there I'd like to  
8 understand.

9 DR. SATERLIE: That was a backup slide, by the way. The  
10 footnote right here is the goal for the vertical borehole,  
11 and the 6 PWR, and what it says is, we looked at some work  
12 that Sandia had done on a variety of different packages  
13 sizes, heat outputs, and found that to meet the goal of 200°C  
14 wall temperature, we had to have less than about a 5.2 kw  
15 package, which, for the fuel that we used, translates roughly  
16 to about a 9 PWR-sized package, so the 12 and 21 wouldn't  
17 meet this goal and, therefore, they weren't evaluated in the  
18 vertical borehole concept.

19 DR. NORTH: Thank you.

20 DR. SATERLIE: Okay. By the way, let me caution you,  
21 since you do have this in your package, please don't add  
22 those up to get a total value, because we did not--these  
23 goals don't necessarily have the same weight and, in fact, we  
24 have not assigned weights to those, so let me caution you not  
25 to add those up. The report is very clear about that.

1 DR. DOMENICO: Ed, do you have a question?

2 DR. CORDING: Ed Cording.

3 On your 111 loading there, I just was--my question  
4 is, the above boiling concept--I guess, let me rephrase it.

5 The long-term above boiling concept, the 10,000  
6 years, and the long dryout period, is that concept going to  
7 require something like 111, and is that concept still one  
8 that's being considered?

9 DR. SATERLIE: Well, yeah. The predictions--of course,  
10 what we're talking about there is the predictions, the model  
11 predictions that indicate that if you put enough heat into  
12 the mountain, you can drive the moisture to a low enough  
13 level, somewhere around 10 per cent relative humidity or  
14 below, and that you can drive it away for a long enough time,  
15 and that when the heat decays, it takes even longer for the  
16 moisture, then, to come back in, and so, the issue there, or  
17 the belief is that you can, in fact, keep the moisture away  
18 from the packages for a significant period of time.

19 That's one of the things that we're looking at.  
20 The concerns we, of course, have is does the mountain behave  
21 like the models really say they behave? Do you get  
22 refluxing? Are there portions of the repository; for  
23 example, the edges, where you may, in fact, degrade faster,  
24 and all of these questions we're looking at in more detail as  
25 we go along and, of course, many of them are going to have to

1 wait until we get some test data to really substantiate some  
2 of these aspects.

3 I don't know if that answered your question.

4 DR. CORDING: The other part of the question is--not  
5 entirely, because the other part of the question was if you  
6 go above 100, will that long-term boiling concept, or above  
7 boiling concept and long dryout period concept require you to  
8 go above 100 MTU/acre?

9 DR. SATERLIE: Okay, I'm sorry. The predictions that  
10 have been made show that at the 83 MTU/acre, that you can get  
11 substantial dryout, at least in the repository center, and  
12 so, you know, the 80 to 100 range is certainly a candidate  
13 for that kind of dryout.

14 DR. CORDING: I guess one other point was we had some  
15 discussions last year--I don't recall when, but the  
16 discussion was that there would be a possibility that some of  
17 the criteria for temperature at drift walls or borehole  
18 walls, things like that, were being reconsidered; that some  
19 of the criteria were felt not to be as critical as others,  
20 and I was wondering if that's been part of what you've been  
21 looking at, also?

22 DR. SATERLIE: Well, as I said, we used the criteria  
23 that were in that SCP thermal goals reevaluation report  
24 specifically, and we're now, when we did that effort with DOE  
25 sponsorship and support, there was the conscious decision

1 that we should, as test data became available and more  
2 analysis became available, that we should routinely re-look  
3 at those thermal goals, and we've been having conversations  
4 with DOE about this, and there is the feeling that we're  
5 probably at the point where we ought to look at those again,  
6 and this coming fiscal year may be an opportune time to do  
7 that.

8           But, I can't answer any more than that, because I  
9 don't know if that will really be approved or not, and--but  
10 there is an attempt to do it.

11       DR. CORDING: You're working off of some modification to  
12 the SCP original plan. The original temperatures described  
13 previously, you're working off something, what, in the last  
14 two years? Is that--

15       DR. SATERLIE: Right. There was a reevaluation done,  
16 and many of those goals stayed the same, but there was a goal  
17 added about drift wall temperature less than 200°C. That was  
18 based on some thermo-mechanical work that had been done, and  
19 some borehole samples that had been put under stress.

20           There was another goal that's not on here that we  
21 couldn't evaluate; that we found that the surface temperature  
22 of 6°C had been probably established in error, or non-  
23 conservatively, and so we recommended that that be dropped to  
24 2°C change in temperature, so there were some of those kinds  
25 of things, but, for the most part...

1 DR. DOMENICO: Dennis, did you have a question? Oh, did  
2 you? Well, go ahead.

3 DR. VERINK: In looking at the evaluation table, does  
4 the table suggest that the 83 MTU/acre is unsatisfactory,  
5 looking at the bottom part of the chart?

6 DR. SATERLIE: Looking at the bottom part of the chart,  
7 no, not necessarily. As I said, we have to make a  
8 determination of which of these thermal goals are more  
9 important.

10 What this just said is that this is a more  
11 challenging environment, and there are some questions about  
12 that, but if, for example, this TSw3, we find that that goal  
13 may not be really that important of a goal because of the  
14 zeolites are not--may not do the job that we had hoped they  
15 did, or that they may not be as uniformly distributed across  
16 the repository as we had hoped, then that goal may be of  
17 lesser consequence.

18 So, no, I don't think that's--all I want to say at  
19 this point in time is the study showed that above 100 is too  
20 hot, and it doesn't say that any in these range necessarily  
21 meet the requirements or exceed the requirements, but we're  
22 looking at that further.

23 DR. VERINK: That's 100C.

24 DR. SATERLIE: I'm sorry, Ellis. What was--

25 DR. VERINK: You said more than 100.

1 DR. SATERLIE: 100 MTU/acre.

2 DR. VERINK: MTU, okay.

3 DR. SATERLIE: I'm sorry, more than 100 MTU/acre.

4 DR. VERINK: Okay.

5 DR. DOMENICO: John?

6 DR. CANTLON: Yeah. Cantlon; Board.

7 Were there any elements in your calculations  
8 looking at surface variability? Tom Buscheck's models, as  
9 you're probably aware, indicate that if there is high  
10 permeability in fracture continuity areas, you're going to  
11 get big temperature changes at the surface, not the model 2°  
12 rise, but as much as 25° rise.

13 Any surface impacts looked at in any of this  
14 modeling?

15 DR. SATERLIE: Well, I discussed that specific question  
16 with both Tom Buscheck and Sandia, and the problem that we  
17 all had was that those models have a boundary condition at  
18 the surface which would not, in fact, allow us to determine  
19 what the temperature rise was there, or even, really, a meter  
20 below the surface.

21 Now, we can make some estimates, and we'll maybe  
22 look at that a little bit more this year, make some estimates  
23 from the gradients, the temperature gradients that we see in  
24 those upper layers, but it was not, as I said, we couldn't,  
25 from the models that we used, conclude anything about that

1 surface temperature rise.

2 DR. CANTLON: A follow-up question. The temperature  
3 variability from point to point on the surface is one  
4 variable. The other element of his modeling is a long-term,  
5 10,000-year possibility of major moisture transfer to the  
6 surface, which, in the desert, is a fairly interesting  
7 phenomenon ecologically.

8 DR. SATERLIE: Yeah. The predictions do show a  
9 significant transport of water, and then recondensation  
10 levels at--right below the Paintbrush Tuff layer for the  
11 permeabilities that we've chosen there, so that is certainly  
12 a possibility for the high thermal loads.

13 DR. CANTLON: Yeah. It may not be significant to the  
14 repository, but it's something, clearly, some of your critics  
15 are going to want to know something about.

16 DR. LANGMUIR: Langmuir; Board.

17 Just curious, Steve. If we go to the 100-year  
18 retrievability, is the only impact that you would see in your  
19 table deal with access drift temperature? Is that the only  
20 thing that's going to be affected in terms of evaluating the  
21 appropriateness of these choices of MTU?

22 DR. SATERLIE: Well, we would have to look more in depth  
23 at the ventilation concepts that would be able to achieve  
24 that retrievability. You know, if we're planning to retrieve  
25 a single drift, you'd get one answer. If you're planning to



1 retrieve all of the waste, you'd have to have a more complex  
2 ventilation system, and that would have to be factored in  
3 there, so I don't know, did that--I maybe didn't answer your  
4 question exactly.

5 DR. DOMENICO: Dennis?

6 DR. PRICE: I wasn't going to ask this follow-up, but I  
7 think I need to.

8 On the first row, you've got 1 meter rock  
9 temperature in boreholes, and you answered it in terms of  
10 that Footnote 1, that came from a vertical emplacement study.  
11 Can 12 and 21 PWR be placed in-drift without violating the 1  
12 meter rock temperature?

13 DR. SATERLIE: Okay. Well, for that one, we used this  
14 different goal, which is a drift wall temperature of 200°C,  
15 and the reason for that was to keep the temperature gradients  
16 in the wall below a point where the thermo-mechanical  
17 predictions were indicating that we might get some large-  
18 scale rock failure.

19 And so, yes, the 21 PWR at the various thermal  
20 loads, up through 83, as you see, meets that goal.

21 DR. PRICE: And if it were horizontal, we would be up on  
22 the top row again, and the footnote would prevail? 12 and 21  
23 would probably not work in a horizontal?

24 DR. SATERLIE: If the horizontal drift were of a small  
25 size so that there's variable space, yeah. This was just--

1 meets this if you have a, either a 4.3 meter drift or 7 meter  
2 drift, either the 14 foot or the 25 foot.

3 DR. PRICE: And does drift filler make any difference  
4 with respect to that?

5 DR. SATERLIE: That is one assumption--we did not look  
6 at backfill in this thing, and that certainly changes things,  
7 because it will increase the temperatures in the waste  
8 package dramatically. You're going to exceed this 350°C  
9 temperature, most likely, for the typical types of waste that  
10 you have in there, and you could, over a short period of  
11 time, possibly exceed that temperature, but that is an aspect  
12 that we did not look at in this particular phase of the  
13 operation.

14 DR. PRICE: But that doesn't mean to imply that backfill  
15 is out of the picture if you go that way, but it means that  
16 at a later time, you would be able to backfill, or what does  
17 it mean?

18 DR. SATERLIE: Well, yeah, particularly now that if, in  
19 Scenario A, we're looking at a 100-year type of period, we  
20 might not backfill until 100 years, and, at that time, the  
21 waste would have decayed sufficiently; at least, you know, I  
22 suspect sufficiently. I've done some calculations that show  
23 it should be considerably cooler, and so that would cut that  
24 thermal spike out, and, yes, backfill is still a  
25 consideration. There's the possibility that it might be used

1 as a drip shield or moisture barrier.

2 DR. DOMENICO: Ed, you had a question?

3 DR. CORDING: In regard to the below boiling loadings,  
4 the finding says that they produce negligible mountain-scale  
5 hydrologic perturbations. Is that conclusion such that  
6 we're--are you stretching that to say that there isn't  
7 significant moisture effects from heating that we need to  
8 investigate further at those lower temperatures? Have you--  
9 does this take into account the information that's been being  
10 generated, analyses on boiling effects, vapor flow and all  
11 those things, even at below boiling temperatures?

12 How much more do we need to know, in other words,  
13 about thermal effects, even at the below boiling levels?

14 DR. SATERLIE: We certainly need to obtain test data  
15 that will demonstrate or verify any of these conclusions.  
16 The buoyant, the convective scale processes seem to be  
17 working, according to the prediction, at higher  
18 permeabilities than the one Darcy, and that's why I qualified  
19 that statement with the one Darcy level.

20 What we're doing this year, which is, I believe,  
21 very important to do, is look at the drift scale water  
22 movement, because that part and its interaction with the  
23 packages and the corrosion part of it is something that we  
24 need to understand better, and so, we are looking at the  
25 drift scale water movement in those low thermal loads this

1 year.

2 DR. DOMENICO: Any further Board questions? Staff?

3 (No audible response.)

4 DR. DOMENICO: Well, let's now open this up to public--  
5 oh, thank you, first.

6 I presume we could open this up to public comment  
7 now, and I think the public can ask anything they want of  
8 anybody they have heard today.

9 Step up to the microphone and state your name.

10 MR. CHESTNUT: Dwayne Chestnut, Lawrence Livermore.

11 I'd just like to emphasize a point on this boiling  
12 convection question, since it seemed to capture quite a bit  
13 of attention.

14 I think it's very important to keep in mind that  
15 that's extremely sensitive to the average bulk permeability  
16 in the vertical direction of the mountain, and there are some  
17 data scattered around that suggest permeabilities  
18 considerably greater than one Darcy may, in fact, exist.

19 Some of this comes from the containment program of  
20 underground testing, where there have been direct  
21 measurements made of barometric pressure fluctuations, and  
22 these gives numbers of the order of 10 to 50 Darcies over  
23 significant vertical distances.

24 Some other information from the Calico Hills pump  
25 test data in the saturated zone, the modal permeability tends

1 to be about two-tenths of a Darcy, but it's a log normal  
2 distribution, with a standard deviation of about two, which  
3 means that you have substantially high percentage of the  
4 total permeability measurements above 10 Darcies. So, I  
5 think it's important.

6           The other thing is that as far as the high thermal,  
7 or high mass loading density is concerned, we need to keep in  
8 mind that this study was done with a fixed age of fuel, and  
9 if you age the fuel longer, you can go to the higher thermal  
10 loadings, probably still meet some of these thermal goals,  
11 and still have the possibility of the extended dryout. So, I  
12 think the question's still open on a few of these questions.

13           MR. BLANCHARD: This is Max Blanchard with the  
14 Department of Energy, Yucca Mountain Project Office.

15           I'd like to ask the Board to begin focusing on the  
16 use of the word "suitability" with respect to future  
17 conversations and briefings that people present to the Board.

18           It may not be your perception, but at least it's my  
19 perception that what's been happening over the last year or  
20 so is two uses of the word "suitability;" one which focuses  
21 on the term, "suitability" with respect to Section 114 of the  
22 Nuclear Waste Policy Act; another with respect to the  
23 penultimate question, that being should the site be closed,  
24 which is a licensing question.

25           And, oftentimes people in conversations, sometimes

1 in the hallways, sometimes here in the room and other places,  
2 although they seem to think they're talking to each other,  
3 they talk past each other. The point is, it would be of  
4 benefit to everybody, those who know this, and those who  
5 maybe knew it and forgot it, or haven't quite studied the  
6 law, to make sure that when we refer to suitability, we're  
7 referring to not the penultimate question, but something  
8 that's embodied in the Waste Policy Act that was meant to be  
9 a preliminary decision, a measure of increased confidence,  
10 that Congress should get prepared and be willing to spend the  
11 large amount of money to construct a repository.

12           The suitability issue is one where the Department  
13 Secretary makes that decision on his or her own basis, using  
14 a set of criteria that were called the guidelines. To be  
15 sure, in doing that, the Department will be seeking  
16 information from lots of oversight bodies, but, in the end,  
17 there's going to be a risk in that, because all of the  
18 answers to the questions that we need to have over the long  
19 term won't be there. There won't be any empirical  
20 information to determine whether or not the models we've used  
21 are really, indeed, valid.

22           To be sure, there's a question of suitability  
23 implied in licensing, but the licensing question comes in  
24 three parts: One, whether or not, not the Department makes  
25 the decision, but whether another federal agency, going

1 through a formal licensing proceeding, can decide it's  
2 willing to grant an authorization to construct, and then,  
3 perhaps, ten years later, is that same agency willing to  
4 grant an authorization to receive and possess, and then, some  
5 50-75 or 100 years later, is that same agency willing to  
6 grant an authorization to close?

7           At that point, there's a need for an answer for the  
8 penultimate question with respect to the 10,000-year  
9 suitability of the site, and it's not just the site, it's the  
10 engineered barriers, too. So, it seems to me there's an  
11 issue that we need to try to clarify in the conversations  
12 about site suitability, because I know that in some cases,  
13 conversations have drifted into discussing things about  
14 disqualifiers, or the suitability of the site, when, really,  
15 the penultimate question, as opposed to something which is a  
16 measure of increased confidence that indicates we should be  
17 spending the money to go ahead and construct.

18           In the area of disqualifiers, the disqualifiers are  
19 what they are in the guidelines, and, to be sure, other  
20 things could cause us to say, "This site's not suitable."  
21 Either the Department could, on its own, or, by the NRC  
22 saying, "We're not going to license this site given the  
23 conditions of the site, or the design of the engineered  
24 barriers." That also means the site is unsuitable.

25           But, it would be preferable if we refrain from

1 using the word "disqualifiers" in a way other than that which  
2 pertains to 10 CFR 960, given the way the Waste Policy Act  
3 intended for 10 CFR 960 to be used.

4           I don't know how often you all have paid attention  
5 to this confusion, but I've noticed it drifting in over the  
6 last year or so, and in some arenas, not particularly this  
7 arena, but in other arenas, conversations are rather free-  
8 flowing with respect to confusing site suitability as a  
9 preliminary measure of confidence about moving forward,  
10 versus can you get a license on this site to close the  
11 repository.

12         DR. DOMENICO: Thank you, Max.

13           Does anybody on the Board wish to address that  
14 statement? Warner?

15         DR. NORTH: Warner North.

16           I think your point is very well taken. I think  
17 many of us are concerned about it, too. I think it would be  
18 useful if we reserve the word "suitability" to refer to 10  
19 CFR 960, and use other words for the ability for the site to  
20 be approved for a license.

21           Now, given that we're beginning to go into  
22 discussion of phased licensing concepts, I'm no longer sure I  
23 know what that means, and I'm certainly as uncertain as  
24 everybody else as to what the new standard is going to be  
25 coming out of the National Academy review.



1           I have an even more difficult time thinking about a  
2 process 100 years from now that's going to lead to a decision  
3 to close the site. All of this leads me to reiterate my  
4 concern about the need to do an assessment of the risk that  
5 we may be wrong as we take the next steps. What is it going  
6 to cost, and what are the technical difficulties involved of  
7 retrieving waste, given that we put waste in Yucca Mountain?

8           It seems to me that issue really needs to be dealt  
9 with. I'm glad you're thinking about it, but I'm a bit  
10 disappointed that you don't have more to say about that issue  
11 at this point. I think that before we get into discussions  
12 of suitability against 10 CFR 960, you really need to answer  
13 those questions. Is there a way that, if we find something  
14 50 years or 100 years from now that indicates the repository  
15 is not a good long-term place for disposal, that the waste  
16 can be retrieved with an acceptable level of cost and  
17 acceptable difficulty?

18         DR. DOMENICO: Dennis?

19         DR. PRICE: While we're talking semantics, it gives me  
20 the opportunity to make a comment about suitability with  
21 respect to some of the discussion yesterday.

22           I had a feeling inside me, and I didn't make the  
23 comment yesterday, but I'll make it today, that siting  
24 success was synonymous with building and operating a facility  
25 at a site. I would say the siting's success could occur when

1 you reject a site, because the process was appropriate, and  
2 perhaps timely, and I think, also, as we look at this phased  
3 licensing, we have to be careful about chewing up a lot of  
4 time in which, maybe in the end, you come to a decision that  
5 this site should be rejected. That is just a caution. I  
6 think we could be successful by rejecting if it warrants it.

7 DR. DOMENICO: Does anybody in the audience wish to  
8 address--

9 MS. TREICHEL: I don't usually say anything in technical  
10 exchanges, but there was an exchange today that sort of  
11 connected what went on yesterday, and, also, what was going  
12 on today, and it was after Jean's presentation, when she was  
13 talking about groundwater travel time, and about site  
14 suitability, and so forth, and she and Steve Frishman had a  
15 discussion or an exchange concerning what her presentation  
16 was, and at the end of that, Steve Brocoum stood up and  
17 talked about the 960 guideline, and that that would be  
18 brought up at a May 21st meeting.

19 And I've been, for a long time, working on a very  
20 frustrating exercise concerning that May 21st meeting, which  
21 we were all told was going to be a large--well, Alan Benson  
22 referred to it as a, "Y'all come," and that was his way of  
23 saying it was a public stakeholder meeting, and we were sort  
24 of led to believe that during that meeting there would be a  
25 discussion about methodology for determining suitability--if

1 we can use that word--about how the methodologies are used,  
2 about the process, about when it's appropriate to change, if  
3 it's appropriate to change, how you change guidelines.

4           And it seems that with what Steve Brocoum said  
5 today, that meeting suddenly is a new arena, and there's much  
6 more intent to interpret or re-interpret that 960 guideline,  
7 and to have an audience, because that meeting is consecutive  
8 to--or is lined up with the international conference, where  
9 you're going to have a tremendous number of people with the  
10 nuclear industry, with Department of Energy, with their  
11 consultants, with their contractors there. It's being held  
12 in the same place. It follows a Federal Register notice.  
13 The public has very little contact with the Federal Register;  
14 that there is going to be a 960 discussion at that meeting,  
15 and I'm not sure what will come back from that, but it may be  
16 used to create some sort of a mandate that would have to do  
17 with these guidelines, and have very little to do with public  
18 opinion or any sort of way that the public can be involved.

19           And there is, right now, a series of letters going  
20 back and forth between Alan Benson and myself concerning the  
21 public's right, or the public's ability to bring in  
22 consultants or representatives from public interest groups to  
23 be able to be at a meeting like that, because there is going  
24 to be a lot of representation on the other side.

25           And, so, I just want to bring that up to you

1 because so many times, the public is seen as sort of a  
2 irritation element in this whole thing, and, from what we  
3 heard yesterday, that's real counterproductive, and it takes  
4 away trust and confidence, it makes all sorts of problems.

5       But these guidelines have been here, and they were what  
6 was used to sort of encourage and give Congress the  
7 impression that Yucca Mountain was the great place to go, and  
8 we constantly hear about the way we got to Yucca Mountain,  
9 with the 9, the 5, the 3, the 1 site, and those were the  
10 guidelines used, and it's been nine or ten years that those  
11 have been used, and suddenly, we're coming up to a meeting  
12 where I'm not sure how that meeting will go, but it's not, I  
13 don't think, what you would call a public stakeholder meeting  
14 in the way that we're seeing it coming together with the  
15 agenda.

16               Thank you.

17       DR. DOMENICO: Warner?

18       DR. NORTH: I think we'd want to recognize Senator  
19 Hickey.

20       SENATOR HICKEY: I suppose I would like to address the  
21 Board and Dean Stucker. This deals with the waste package  
22 design, and we've always talked about an integrated design  
23 and integrated management.

24               What I don't see, and I don't quite understand--  
25 perhaps you can address it--deals with the movement of this

1 package, the delivery of this package to the site from  
2 wherever that may be, and why I think that perhaps should be  
3 addressed has to do with the exposure along the routes. It  
4 has to do with the travel of that package. It has to do with  
5 the safety. The weakest link in that package is the  
6 equipment that will be carrying it, and I don't see that  
7 addressed in this presentation. I wonder where you see that  
8 fitting in. Maybe it's a timing thing.

9       MR. STUCKER: I might put up a view graph here that  
10 would show the timing and the area of responsibility for  
11 that.

12               If we look at the technical document hierarchy that  
13 I showed earlier, clearly, there is a program element that's  
14 the transportation part of the program that has specific  
15 requirements that they are developing for the transportation  
16 aspect, and to answer your question, it really needs to be  
17 addressed by that part of the program.

18               For the MGDS part of the program, we do have the  
19 responsibility for the link within the State of Nevada, and  
20 there have been some preliminary studies done within the  
21 State of Nevada, but the overall transportation aspect is  
22 under the responsibility of the transportation part of the  
23 program.

24       SENATOR HICKEY: This may affect your whole program and  
25 size of the package, and I think it's a part of your delivery

1 system, and that being a part of your delivery system deals  
2 with how fast this mobile unit will move at this weight. It  
3 should be an integrated part in the delivery of this package,  
4 not a separate system. That's all I'm addressing.

5           What you're addressing here, you're saying, "Well,  
6 it's part of a different system."

7           MR. STUCKER: It has to be part of an overall integrated  
8 system, and the studies that led to the MPC decision  
9 addressed parts of the transportation, storage, and store  
10 elements. I showed on one view graph that 10 CFR 71, 10 CFR  
11 72 were addressed in those early studies that came to a  
12 conclusion that led to the MPC, and I agree with you, it has  
13 to be an overall system element that you look at.

14           SENATOR HICKEY: This could affect your, at least in my  
15 view, the weight that you're going to move it at, at what  
16 speed, and what--that has to be addressed, and what I don't  
17 see is that integration of people that have an understanding  
18 of movement of that kind of equipment, and that's why I bring  
19 it to your attention.

20           DR. DOMENICO: Don't go away, Dean.

21           MR. FRISHMAN: I think I know what's concerning Senator  
22 Hickey a little bit, because I picked it up, too, and that's  
23 that there clearly, to use Dean's word from his presentation,  
24 the SCP is being redesigned based on a decision to employ the  
25 MPS. That's the assumption on that redesign.

1           Well, my knowledge, and I believe Senator Hickey's  
2 knowledge, and a lot of other people's knowledge of the  
3 program is that the decision has not been made to deploy the  
4 MPS, or MPC. So, I think that's where the trap is coming,  
5 where you're redesigning the SCP, and you're, in fact,  
6 probably going to build it based to that redesign, if things  
7 go the way you want, and it's being redesigned on the basis  
8 of a decision that has not been made.

9           I was curious about that, too. Am I wrong? Has  
10 the MPC been adopted?

11          MR. STUCKER: The MPC decision to baseline our program  
12 for requirements to go forward on what the concepts would  
13 look like has been made. The decision to deploy it will be  
14 made at a later date. You need to look at what the concepts  
15 are, and if the overall system works before you make that  
16 final decision, but, clearly, we have made a decision to  
17 baseline our requirements that focus us to look at a MPC-  
18 based program.

19          MR. FRISHMAN: All right. So, the SCP baseline now is  
20 MPC?

21          MR. STUCKER: I would say the technical baseline has a  
22 primary MPC basis to it, and that's why we are going forward  
23 to replace the conceptual design in the site characterization  
24 plan, to update it to be consistent with what the program  
25 requirements are now.

1 MR. FRISHMAN: Are you doing any type of analysis with  
2 that that supposes, or that looks at the possibility that you  
3 do not have the MPC available, and you have re-done the SCP  
4 in accord with an MPC? I love speaking all these alphabets.

5 That was a question that occurred to me, you know.  
6 Do you lose or gain something relative, for instance, to  
7 vertical emplacement if you go to this new design and then  
8 don't use the MPC? It seems to me you've got a lot at stake  
9 in that design.

10 MR. STUCKER: There is definitely risk, and our program  
11 management has pointed out that there is risk, but that risk  
12 is manageable, and we feel that, in the overall picture, in  
13 the system's concept, that is the approach that we have to go  
14 forward on.

15 DR. DOMENICO: Did the Board have anything on this?

16 DR. PRICE: Just a follow-up on Senator Hickey's  
17 comment, and with a question to DOE.

18 As I understand Scenario A, and about April 15th, I  
19 want to call it Schedule A, but Scenario A does take a  
20 minimum funding approach to transportation for the near  
21 future. They're taking, actually, funds away from  
22 transportation and transportation studies for other purposes.

23 Is that a correct, a fair interpretation?

24 MR. BLANCHARD: This is Max Blanchard with the  
25 Department.



1           The evolution of the transportation system that  
2 goes with interim storage, using the MPCs, and delivery of  
3 the MPCs to the repository is not very well thought out yet,  
4 and how that's going to evolve into a much larger role in the  
5 program is yet to occur, and it's clear from a systems  
6 standpoint, that that's a piece of the component that needs  
7 increased funding and increased level of effort.

8           It's downstream as we mature the concept of so-  
9 called Scenario A with respect to how to address your  
10 question.

11         DR. NORTH: Not seeing anyone else in the audience who  
12 is eager to make a parting speech, I'll add a few words of my  
13 own to second what I've heard in the last few minutes, and  
14 try to tie it to yesterday's discussions.

15           I'll start by noting the last line on the last  
16 slide of Scenario A, abbreviated top level strategy at the  
17 bottom. "Conduct stakeholder interactions throughout  
18 process."

19           I think what we are now seeing are major changes in  
20 the basic strategy of the program that have been proposed,  
21 and seem to have some momentum toward being adopted. Maybe  
22 it is seen that this is basically the only way the program is  
23 going to make it, given what they are going to get in the way  
24 of funding and support from Congress in the near term.

25           Nonetheless, lots of representation has been made

1 by the program in the past based on the old SCP and based on  
2 the system as it was conceived at that time. It seems to me  
3 utterly critical--and we had almost a full day of example  
4 yesterday--that the program interacts early and often with  
5 the affected public, particularly in the State of Nevada.

6           And, I must say, if the idea of the program and  
7 implementing the draft public involvement policy that we were  
8 given an opportunity to see and comment on on about Christmas  
9 time, is to hold one meeting on May 21st, at the time when  
10 all the folks in the nuclear waste community have come in for  
11 a conference, it strikes me that the Department is badly  
12 missing an opportunity to have much more substantive dialogue  
13 about these changes in the program that it sees highly  
14 desirable to make at this time.

15           So, I hope you're all listening, especially the  
16 management, and see this period of change as an opportunity  
17 for some real meaningful stakeholder interactions, not as a  
18 one-day event, but as a throughout the process event, and  
19 that you will take what you have heard on this subject,  
20 especially yesterday, quite seriously, and view it as a  
21 central part of the technical aspect of this program, because  
22 if your ideas aren't getting through, you're not understood,  
23 and you don't have the kind of integration that is persuasive  
24 to all those stakeholders out there looking on at what you're  
25 doing.

1           It's not just a matter of having the science right.  
2    You've got to be persuasive, and I would urge that you think  
3    about the funding that you need to allocate the time to do  
4    that, even in an era where the budgets are very tight. I  
5    think it's really critical for the future of the program.

6           End of my parting speech. Thank you.

7           DR. DOMENICO: Is there any further public comment?  
8    This will be the last one, and we'll turn the meeting over to  
9    John.

10          MR. BOAK: On a much simpler subject, I wanted to  
11    address a few questions that came up. I'm Jerry Boak from  
12    the U.S. Department of Energy.

13          I wanted to address a few questions that came up  
14    from the perspective of performance assessment. Perhaps the  
15    first one was the question to Rick about what is the  
16    significance of the Sundance Fault? There are two major  
17    questions with respect to suitability that are raised by the  
18    discovery, or by the amplification of what we think the  
19    Sundance Fault is from a series of fractures on the Scott &  
20    Bonk map, to, perhaps, a major fault zone.

21          The first is, of course, the question of available  
22    area, if we have to have offsets from this zone, and they  
23    have to be substantial, there are questions about reducing  
24    the area, and the Board's made it clear that they have  
25    concerns about how much area is available to us.

1           The second is the hydrologic question with respect  
2 to how that would behave as a hydrologic zone. It's really a  
3 specific case of a much more general question that we've been  
4 struggling with for a great deal of time, and the immediate  
5 follow-on to the completion of our total system performance  
6 assessment is, in fact, to look and see what we can do now to  
7 try and pull together everything we've learned in the past  
8 two years, from studies by Sandia, studies by the U.S.  
9 Geological Survey, to really make some better statements  
10 about fracture flow in the unsaturated zone.

11           We know it's important. We know it's a critical  
12 question for us. We think that the attempts that have been  
13 made to demonstrate it in the past have not been effective in  
14 really resolving questions about it. We have a lot of  
15 concerns about it that remain, but as far as the Sundance  
16 Fault being something unique in that regard, I think we  
17 certainly intend to follow the development of the  
18 understanding of the Sundance Fault, but it's more a part of  
19 a much larger question, that we are, indeed, we're pedaling  
20 frantically, as hard as we can, to study.

21           And that leads to a comment that I'd like to make,  
22 which is a little bit of a defense of performance assessment  
23 as a potential driver for this program. In my view, it's  
24 been involved in driving the program since before I came on  
25 board, but, in fact, it's done so in a rather stealthy way,

1 and that's partly a problem that, as Ross Perot has said, the  
2 devil's in the details. There aren't a lot of people who  
3 know all the details of how we put together a performance  
4 assessment, and, simultaneously, are really intimately  
5 familiar with the site characterization program, and I mean  
6 very intimately.

7           It's surprising how detailed and how focused a set  
8 of data can completely transform your view of how things  
9 operate in the geologic system, and even people like Jean  
10 Younker have to admit sometimes that there are gaps in their  
11 knowledge of those two parts of the program.

12           Our way around that has been, predominantly in the  
13 past, to convene task forces, like the group that put  
14 together the site characterization program, the group that  
15 looked at the Calico Hills risk benefit analysis, the test  
16 prioritization program, and performance assessment was always  
17 deeply involved in those things. There were direct  
18 calculational inputs to ESSE and to the Calico Hills risk  
19 benefit analysis, and there was also direct participation of  
20 performance assessment people.

21           In essence, this constituted having a kind of top  
22 level performance assessment model which was run on a carbon-  
23 based computer. Sometimes, that was invisible, because, as  
24 has been noted before, it didn't have the--it was not blessed  
25 with the silicon sacrament of computation, and so, I think

1 that I have seen--I have a hard time identifying any activity  
2 that we've engaged in in the project that was not either  
3 driven by our need to get forward on issues of suitability,  
4 and move towards demonstrating compliance, or else driven by  
5 concerns of the design, which was also necessary to put that  
6 case together.

7           I would like to have it more directly visible. I  
8 would like to have had more obvious credit for some of the  
9 things that performance assessment has been involved in. I  
10 do note--I want to make firm here the fact that the term,  
11 "pork chop" for that outline did come from a performance  
12 assessment person. It was coined by Maureen McGraw, so there  
13 is an important driver on the program there, at least. I  
14 think there are other places.

15           I think we have now moved to the point where  
16 performance assessment is providing much more direct input  
17 back to the site program, but there is always the problem of  
18 lag between the time we scope out a study, and the time we  
19 finish it, so the question about getting in some of Tom  
20 Buscheck's concerns about the saturated zone, well, Tom  
21 didn't run those calculations until well after we'd scoped  
22 the TSPA, and so there's a fair amount of that kind of thing  
23 going on.

24           It's pretty hard to keep up with Tom's  
25 calculations. We have a tough enough time just checking out

1 some of the assumptions on his earlier calculations. That  
2 has been a problem for us. We've been constrained in a lot  
3 of ways in getting the information in performance assessment,  
4 pulling in what we have learned in the past few years into  
5 performance assessment. It's not an easy process. The  
6 abstraction process is one of the toughest parts of getting a  
7 reasonable performance assessment together.

8           We hope that our avid participation in the  
9 development of Scenario A, in terms of bodies and time, will  
10 help to make sure that as Scenario A gets defined, it will be  
11 defined with performance as a very strong driver in that.

12           Thank you.

13       DR. CANTLON: Well, let me close the session by thanking  
14 all of the participants, DOE, NRC, State of Nevada, our  
15 foreign visitors, who came in to share with us their views.  
16 I think Jerry's last remarks here are perhaps as good a tone  
17 to pull this two days of session together as anything.

18           I think, as we look at the Board's five years of  
19 oversight of the project, you will recall that we were highly  
20 critical in the early years of our perception that the system  
21 was not really pulled together in any kind of an operational  
22 way, and that the hiatus between the very high-quality  
23 science we were hearing, and the "So what?" question, where  
24 does it link into the safety of the repository, that was a  
25 very dominant thing.

1           Today, we heard a very excellent look at the  
2 surface geology when Dick Spengler talked about it. It's  
3 difficult for him, and probably even people in the program,  
4 to fill in the "So what?" question, because we haven't really  
5 gotten the ink dry on his maps yet. So, the element of  
6 frustration that oversight groups like the Board have is, in  
7 part, intrinsic in the nature of this very, very complex  
8 process that's going on, in which the whole operation is  
9 essentially building a prototype.

10           Nobody's built one of these before. Nobody's  
11 looked at that kind of a mountain in that kind of a detail  
12 for that kind of a purpose before. So, I think both the  
13 State of Nevada, the Board, and so on, that have these  
14 periods of frustration, have to recognize that what we're  
15 looking at is really a very, very complex process, almost  
16 without parallel, in the way science and engineering have  
17 been brought to bear in a context of extremely high public  
18 concern and emotion.

19           So, thank you all for bearing with us, and your  
20 critics were, I think, constructive in our intent, if not,  
21 sometimes, in our tone, and so thank you again, and we look  
22 forward to continuing the dialogue.

23           (Whereupon, at 5:30 p.m., the meeting was  
24 adjourned.)

25



- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17