

UNITED STATES  
NUCLEAR WASTE TECHNICAL REVIEW BOARD

FALL BOARD MEETING

Developing a Repository Safety Strategy  
With Special Attention to Model Validation

September 14, 1999

Radisson Plaza Old Town Hotel  
901 North Fairfax Street  
Alexandria, VA 22314  
(703) 683-6000

BOARD MEMBERS PRESENT

Mr. John W. Arendt  
Dr. Daniel B. Bullen  
Dr. Normal L. Christensen  
Dr. Jared L. Cohon, Chair, NWTRB  
Dr. Paul P. Craig  
Dr. Debra S. Knopman, Session Chair  
Dr. Priscilla P. Nelson  
Dr. Richard R. Parizek  
Dr. Donald Runnells  
Dr. Alberto A. Sagüés  
Dr. Jeffrey J. Wong

SENIOR PROFESSIONAL STAFF

Dr. Carl Di Bella  
Dr. Daniel Fehringer  
Dr. Daniel Metlay  
Dr. Leon Reiter

CONSULTANTS

Naomi Oreskes

NWTRB STAFF

Dr. William Barnard, Executive Director  
Michael Carroll, Director of Administration  
Karyn Severson, Congressional Liaison  
Vicky Reich, Librarian  
Ayako Kurihara, Editor  
Paula Alford, External Affairs  
Linda Hiatt, Management Analyst  
Linda Coultry, Staff Assistant

I N D E X

	<u>PAGE NO.</u>
<b>Call to Order</b>	
Jared Cohon, Chairman, NWTRB . . . . .	4
<b>Perspective on the Program</b>	
Lake Barrett, Acting Director, OCRWM . . . . .	14
<b>Proposed Environmental Standard for a Yucca Mountain Repository</b>	
Ray Clark, Team Leader, Yucca Mountain Standards, EPA. . . . .	33
<b>Session Chair</b>	
Debra Knopman, Member, NWTRB . . . . .	57
<b>Perspectives on the Yucca Mountain Project</b>	
Stephan Brocoum, Assistant Manager, Office of Licensing and Regulatory Compliance, Yucca Mountain Site Characterization Office. . . . .	57
<b>Repository Safety Strategy-Introduction</b>	
Abe Van Luik, Senior Policy Advisor for Performance Assessment, YMSCO. . . . .	72
<b>Comments from the public</b>	
Judy Treichel. . . . .	94
<b>Repository Safety Strategy-Implementation</b>	
Michael Voegele, Deputy, Regulatory and Licensing, SAIC, M&O. . . . .	101
<b>Implementation of Repository Safety Strategy in TSPA-SR</b>	
Bob Andrews, Manager, Performance Assessment Operations, Duke Engineering, M&O. . . . .	136
<b>Repository Safety Strategy-Process Models Reports and Analysis Model Reports</b>	
Mike Lugo, Manager, Process Model Reports, TRW Environmental Systems, M&O . . . . .	173
<b>Update on Scientific and Technical Investigation</b>	
Mark Peters, Manager, Field Testing and EBS and Repository Design Support Office, Los Alamos	

National Laboratory, M&O . . . . . 190

**Public Comments**

Walter Matyskiela, Consultant. . . . . 232

P R O C E E D I N G S

(9:00 a.m.)

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21

COHON: Good morning. I'm pleased to welcome you to this meeting of the Board. If you'll all take your seats and get your coffee or whatever else you need to make it through this meeting, please do so.

My name is Jared Cohon. I'm the Chairman of the Nuclear Waste Technical Review Board and it's my pleasure to welcome you again to this fall meeting of the Board.

As most of you already know, perhaps all of you know, but just in case there's one person who doesn't, Congress enacted the Nuclear Waste Policy Act in 1982 which, among other things, created the Office of Civilian Radioactive Waste Management or OCRWM within the U.S. DOE and it charged OCRWM, in part, with developing repositories for the final disposal of the nation's spent nuclear fuel and high-level radioactive wastes from reprocessing. Five years later in 1987, Congress amended that law to focus OCRWM's activities on the characterization of a single candidate for a final disposal site, Yucca Mountain, on the western edge of the Nevada Test Site.

1           In those same amendments in 1987, Congress created  
2 the Nuclear Waste Technical Review Board as an independent  
3 federal agency for reviewing the technical validity of  
4 OCRWM's program. The Board is required to periodically  
5 furnish its findings, as well as its conclusions and  
6 recommendations to Congress and to the Secretary of DOE.

7           Secretary Richardson has indicated that the  
8 decision on Yucca Mountain--that is whether it is suitable  
9 for a repository--will be based on solid scientific and  
10 engineering practice, data, and analysis. Technical  
11 decisions affecting people--and in the final analysis they  
12 all do--must involve individual, community, state, and  
13 national views and values as to what's important. And, they  
14 must be transparent to the public.

15           Our Board meets as a full board two to four times a  
16 year. We usually meet in Nevada, often in Las Vegas, and at  
17 least once a year in one of the communities in Nye County  
18 where Yucca Mountain is located. However, because we do send  
19 our findings, conclusions, and recommendations to Congress  
20 and to the Secretary, we also try to meet here in Washington  
21 once a year. It's my pleasure to extend this special welcome  
22 to those from around and inside the Beltway who are able to  
23 be with us today.

24           The President of the United States appoints our

1 Board members from a list of nominees submitted by the  
2 National Academy of Sciences as specified in the law in 1987.

3 The Board is by law and design a highly multi-disciplinary  
4 group with areas of expertise covering all aspects of nuclear  
5 waste management. I want to introduce to you the members of  
6 the Board, and in doing so, let me remind you that we all  
7 serve on the Board in a part-time capacity. In my case, I am  
8 president of Carnegie-Mellon University in Pittsburgh, my day  
9 job as it were. My technical expertise is in environmental  
10 and water resource system analysis.

11           John Arendt--John, if you'll raise your hand so  
12 people can see you. John is a chemical engineer by training.

13 He's retired from Oak Ridge National Lab, and after doing  
14 so, he formed his own company. He specializes in many  
15 aspects of the nuclear fuel cycle including standards and  
16 transportation. John chairs the Board's Panel on Waste  
17 Management Systems.

18           Daniel Bullen is professor of Mechanical  
19 Engineering at Iowa State University where he also  
20 coordinates the nuclear engineering program. Dan's areas of  
21 expertise include nuclear waste management, performance  
22 assessment modeling, and materials science. Dan chairs both  
23 our Panel on Performance Assessment and our Panel on the  
24 Repository.

1                   Norm Christensen is deal of the Nicholas School of  
2 Environment at Duke University. His areas of expertise  
3 include biology and ecology.

4                   Paul Craig is professor emeritus at the University  
5 of California at Davis. He is a physicist by training and  
6 has special expertise in energy policy issues related to  
7 global environmental change.

8                   Debra Knopman. Debra is director of the Center for  
9 Innovation and the Environment at the Progressive Policy  
10 Institute in Washington. She's a former Deputy Assistant  
11 Secretary of the Department of Interior. Previous to that,  
12 she was a scientist in the USGS. Her area of expertise is  
13 groundwater hydrology, and she chairs the Board's Panel on  
14 Site Characterization.

15                   Priscilla Nelson, we're delighted to note, is the  
16 newly appointed Director of the Division of Civil and  
17 Mechanical Systems in the Directorate of Engineering at the  
18 National Science Foundation. She's a former professor at the  
19 University of Texas in Austin and is an expert in  
20 geotechnical engineering.

21                   Richard Parizek is professor of hydrologic sciences  
22 at Penn State University and an expert in hydrogeology and  
23 environmental geology.

24                   Don Runnells is professor emeritus in the

1 Department of Geological Sciences at the University of  
2 Colorado at Boulder, and he's a vice-president at Shepherd  
3 Miller, Inc. His expertise is in geochemistry.

4 Alberto Sagüés is professor of materials  
5 engineering in the Department of Civil Engineering at the  
6 University of South Florida in Tampa. I am very pleased to  
7 note that Alberto was recently named a Distinguished  
8 University Professor at this institution. We congratulate  
9 Albert on behalf of the whole Board. Alberto is an expert on  
10 materials engineering and corrosion with particular emphasis  
11 on concrete and its behavior under extreme conditions.

12 Jeff Wong is chief of the Human and Ecological Risk  
13 Division of the Department of Toxic Substances Control in the  
14 California Environmental Protection Agency in Sacramento. He  
15 is a pharmacologist and toxicologist with extensive expertise  
16 in risk assessment and scientific team management. Jeff  
17 chairs our Panel on Environment, Regulations, and Quality  
18 Assurance.

19 That's our Board. I'm delighted that they all  
20 could be here today.

21 Many of you know and have worked with our excellent  
22 staff of which we're very proud and for which we're very  
23 thankful. They're sprinkled strategically in sartorial  
24 splendor there in front of the divider looking their usual



1 keen and incisive selves. I'm delighted they could be here.

2 Bill Barnard--Bill, raise your hand please--is our executive  
3 director. Mike Carroll who is not here today because he's  
4 covering another activity for the Board is the deputy  
5 executive director for the Board.

6 We will have with us or already have with us two  
7 consultants for this meeting. I want to point them out to  
8 you. Naomi Oreskes sitting with the staff--do that again,  
9 Naomi? Thank you. She's an Associate Professor of History  
10 at University of California-San Diego. She has a very  
11 interesting background with a PhD in both geology and the  
12 history of science from Stanford. She's an NSF Young  
13 Investigator. She works on scientific methods; in particular  
14 model validation which is why she's with us and she'll be  
15 participating tomorrow in the Panel.

16 Roger Newman is not yet with us. He's a professor  
17 at the University of Manchester Institute of Science &  
18 Technology in the UK. He'll be flying in later today. He'll  
19 be with us all of tomorrow. He also had a time at Brookhaven  
20 and he's an expert in corrosion and he'll also be  
21 participating in the Panel discussion tomorrow.

22 That's our staff and our consultants. I want to  
23 say a little bit more about where the program is a little bit  
24 more about how we'll conduct this meeting.

1           Since our June meeting in Beatty, Nevada, the Board  
2 has issued two letters to OCRWM. The first letter addressed  
3 the OCRWM's repository design efforts and pointed out that  
4 some critical uncertainties about the performance of the  
5 proposed repository could be reduced in the opinion of the  
6 Board if a design were chosen that kept temperatures below  
7 the boiling point of water. We had other things to say, but  
8 that was the key point we made in that letter. The second  
9 letter addressed the OCRWM's ongoing technical  
10 investigations. Copies of both letters are available on the  
11 tables outside or inside? Outside? Outside. If you're  
12 interested in getting copies of those letters, they're on  
13 the table outside the meeting room. They're also available  
14 from our website if you prefer to access them that way.

15           This meeting which we start right now is a very  
16 important one. All of our meetings seem to be important, but  
17 as we approach 2001, they seem to increase in importance and  
18 this is no exception. We're going to have a very full two  
19 days of presentations and discussion on significant and  
20 timely topics. We're very fortunate for Lake Barrett, the  
21 Acting Director of OCRWM, to be with us today. You'll be  
22 hearing from him shortly. He will be providing his  
23 perspective on the program including some thoughts of what is  
24 happening on Capitol Hill and on the budgetary prospects for

1 the program. Lake, we're delighted you could be with us  
2 again and I'll call on you again in a minute.

3 In addition, you will be hearing from Ray Clark who  
4 represents the Environmental Protection Agency. The EPA, as  
5 many of you know, has recently released a proposed  
6 environmental standard for Yucca Mountain and we're very  
7 pleased that Captain Clark could join us today to describe  
8 the EPA's proposal.

9 Most of the rest of today will focus on OCRWM's  
10 evolving repository strategy. The OCRWM issued its first  
11 waste isolation and containment strategy slightly more than  
12 three years ago. It revised it about a year and a half  
13 later. Since that time, as you probably know, the viability  
14 assessment has been completed. Insights from that exercise  
15 are now being incorporated into a new strategy. Steve  
16 Brocoum and Abe Van Luik will talk about the status of the  
17 repository strategy and will provide a context for the more  
18 detailed talks that will follow them.

19 Without commenting on its substance, let me note  
20 that the Board is pleased that OCRWM has maintained a  
21 repository safety strategy as a living document. We see that  
22 as very positive; a document that keeps abreast with new  
23 information being developed from field and laboratory  
24 investigations. The Board believes that the strategy is a

1 critical piece in the OCRWM's efforts to make a safety case  
2 that is clear, transparent, and technically rigorous.

3           Tomorrow the emphasis of the meeting will shift  
4 somewhat. After hearing from Jean Younker about the Yucca  
5 Mountain Project's plans for testing and analysis prior to  
6 site recommendation, we'll be concentrating on the question  
7 of model validation which we feel is a very critical subject.

8       Given the central role now being played by quantitative  
9 performance assessment, the question of the validity of the  
10 models that underlay those calculations is obviously  
11 important. We'll be hearing three presentations from the  
12 OCRWM in this area. The first will be a general overview of  
13 the topic. Then, we will hear about two specific models, one  
14 dealing with seepage into the repository drifts and the other  
15 dealing with corrosion of the outer layer of the waste  
16 package.

17           Following, those presentations, we will have an  
18 organized round table discussion on model validation that I  
19 referred to before. The participants in that discussion  
20 include some members of our Board, several technical experts  
21 from inside the project, and some from outside, independent  
22 experts on the subject.

23           Finally, let me say a few things about the  
24 opportunities we're providing for public comment and

1 interaction during the meetings. It's something that's  
2 extremely important to the Board. It's something that we've  
3 worked on and always tried to perfect our interaction with  
4 the public and given the public as many opportunities as  
5 possible to participate in our meeting. Even our  
6 configuration of tables to give a more interactive feel to it  
7 is something that we've paid attention to.

8           We're planning three public comment periods during  
9 the course of the next few days. One at 11:30 today and one  
10 at 4:30 today. The third one will be tomorrow at 11:30.  
11 Those wishing to comment should sign the Public Comment  
12 Register at the check-in table where the two Lindas are  
13 stationed. That's Linda Hiatt and Linda Coultry. They'll be  
14 glad to help you in signing up and being prepared to comment  
15 publicly when the time arises. Let me point out and I'll  
16 remind you again later that depending on the number of people  
17 signing up, we may have to set a time limit on individual  
18 remarks.

19           As an additional opportunity for questions and  
20 continuing something we've tried out successfully at our last  
21 two meetings in Nevada, you can submit written questions to  
22 either Linda during the meeting. We'll make every effort to  
23 ask these questions; that is the chair of the meeting at the  
24 time will ask the question during the meeting itself rather

1 than waiting for the public comment period. We'll do that,  
2 however, only if time allows. And, as I pointed out already,  
3 we have a very tight agenda and it very well may be that time  
4 will not allow this. If that's the case--that is there is  
5 not adequate time during the meeting itself--we will ask  
6 those questions during the public comment period.

7           In addition to written questions to be asked by us,  
8 we always welcome written comments for the record. Those of  
9 you who prefer not to make oral comments or ask questions  
10 during the meeting may choose this other written route at any  
11 time. We especially encourage written comments when they're  
12 more extensive than our meeting time allows.

13           Finally, I need to offer our usual disclaimer so  
14 that everybody is clear on the conduct of our meeting and  
15 what you're hearing and its significance. Our meetings are  
16 spontaneous by design. These are not scripted events even  
17 though I'm reading from prepared remarks. These are not  
18 scripted events. Those of you who have attended our meetings  
19 before know that the members and especially these members of  
20 this Board do not hesitate to speak their minds. Let me  
21 emphasize that is precisely what they're doing when they're  
22 speaking. They're speaking their minds. They are not  
23 speaking on behalf of the Board. They're speaking on behalf  
24 of themselves. When we are articulating a Board position, we

1 will make that clear in our comments. Otherwise, we're  
2 speaking as individuals.

3 Well, with those opening remarks out of the way,  
4 it's now my pleasure to welcome back to the Board Lake  
5 Barrett, the Acting Director of OCRWM. Lake?

6 BARRETT: Thank you, Jared. Good morning, Mr. Chairman  
7 and members of the Board. It's a pleasure to be here as  
8 always. I actually think there are probably more people to  
9 be dealt when we have these meetings in Nevada than there is  
10 when we have it in the Washington area.

11 First of all, I would like to provide my comments  
12 for a broad overview of the program. There will be a lot of  
13 details that we're going to go through later on with the  
14 staff. So, I'll try to be very brief on that.

15 First, I would like to make an important  
16 announcement related to the management of the program. Last  
17 month, President Clinton nominated Dr. Ivan Itkin to be the  
18 Director of this office. Dr. Itkin has earned his PhD in  
19 mathematics at the University of Pittsburgh and has worked as  
20 a nuclear scientist for Westinghouse Corporation's Bettis  
21 Atomic Power Laboratory in the design of nuclear propulsion  
22 systems for the U.S. Navy. For the past 25 years, he has  
23 served as a Democratic legislator in the Pennsylvania House  
24 of Representatives rising to be the Democratic Whip and he

1 was also the Democratic Party's nominee for Governor in 1998.  
2 The Senate is scheduled to hold a hearing for he and two  
3 other Interior nominees tomorrow morning and we look forward  
4 to welcoming him as soon as he's confirmed with which we hope  
5 is very soon.

6 Some other developments in the program since last  
7 time I talked with you. On August 6, we initiated the  
8 distribution of the draft Environmental Impact Statement for  
9 Yucca Mountain. We believe that was a very major milestone  
10 for us. In accordance with our philosophy of an open,  
11 transparent program, we have also placed the document on our  
12 Internet website along with the references to facilitate  
13 broad dissemination of the information to all. The Notice of  
14 Availability was published in the Federal Register on August  
15 13 which officially started the 180-day review comment  
16 period. The 180-day comment period responds to requests from  
17 the State and from the local government units for the  
18 additional time for all parties to review and comment on the  
19 document. We will hold numerous public hearings between  
20 later this month and in January of next year with the public  
21 comment period closing in early February of 2000. We expect  
22 to publish the FEIS late in 2000 probably commensurate with  
23 the site recommendation consideration report that Dr. Brocoum  
24 and others are briefing you about in some detail later today



1 and tomorrow.

2           The draft EIS indicated that the Department's  
3 preferred alternative is to proceed with the proposed action  
4 to construct, operate, and monitor, and eventually close and  
5 seal the geological repository at Yucca Mountain if the site  
6 is suitable under law. This analysis of the repository  
7 performance under a variety of implementing alternatives  
8 indicates that the Yucca Mountain repository would pose  
9 little risk to future populations in the vicinity of Yucca  
10 Mountain and affirms conclusions of the viability assessment.

11       The EIS also includes analyses of transportation of spent  
12 fuel to Yucca Mountain under different operations methods.  
13 These analyses add a key technical element to the public  
14 debate over the management of spent nuclear fuel and  
15 demonstrates that the risk of transporting spent fuel are  
16 low. Our analysis of the transportation impacts is  
17 consistent with the analysis done by the Nuclear Regulatory  
18 Commission to support its rulemaking on reactor life  
19 extension, as well as other analyses done by the Department  
20 on transportation of fuel in other programs.

21           The draft EIS also analyzed the consequences of  
22 continued storage of spent fuel and high-level radioactive  
23 defense waste at current sites by the nuclear power  
24 industries and the Department of Energy under what is

1 referred to as a no action alternative. Because it would be  
2 highly speculative to attempt to predict future events, we  
3 illustrated one set of possibilities by focusing our analysis  
4 on the no action alternative on two scenarios; continued  
5 storage with effective institutional controls for 10,000  
6 years which is the same period of focus or the primary focus  
7 for the repository and continued storage with no effective  
8 institutional controls after 100 years. These analyses  
9 cannot be viewed as accurate predictions of the future  
10 scenarios. We recognize that neither scenario would be  
11 likely if there were a decision not to develop a repository  
12 at Yucca Mountain. However, they are part of the draft EIS  
13 analysis to provide a baseline for comparison to the proposed  
14 actions consistent with the Nuclear Waste Policy Act and the  
15 National Environmental Policy Act, as well.

16 On August 18, another significant milestone in the  
17 Nation's geological disposal program was achieved when the  
18 EPA released its proposed site-specific rule for disposal at  
19 Yucca Mountain. The Department is reviewing this proposed  
20 rule and will submit comments as part of the rulemaking  
21 process. The Department's primary concern is that the  
22 technical aspects of the rule should not only protect the  
23 public health and safety and the environment, but also be a  
24 fair test of the safety of a repository that is demonstrable

1 in a rigorous licensing proceeding. I understand that Ray  
2 will be here this afternoon and speak to you more in detail.

3           The EPA's proposal responds to the 1992 Energy  
4 Policy Act's direction to develop a site-specific regulatory  
5 framework for Yucca Mountain. The Nuclear Regulatory  
6 Commission proposed a site-specific licensing regulation  
7 earlier this year to provide the technical requirements and  
8 criteria to implement the site-specific standard. Together,  
9 these two regulations should provide a logical and complete  
10 set of regulatory requirements for evaluating the Yucca  
11 Mountain repository focusing on its ability to protect the  
12 public health and safety and the environment. Consistent  
13 with its regulatory approach, the Department submitted a new  
14 site-specific revision to its siting guidelines which was 10  
15 CFR 960 for geologic repositories to the Office of Management  
16 and Budget for interagency review also in August. This  
17 version responds to public comments that we received in our  
18 1996 proposed revision and is consistent with the updated  
19 proposed standards from the EPA and the technical  
20 requirements and criteria from the Nuclear Regulatory  
21 Commission. This revision uses the latest analytical methods  
22 and best science available in order to support a site  
23 recommendation decision. After interagency review, we intend  
24 to issue these revisions for public comment period later this

1 year.

2           Now, turning to the program budget. As I noted in  
3 June, the Administration submitted a fiscal 2000 budget  
4 request of \$409 million for the program. The Senate  
5 appropriations included \$355 million for nuclear waste  
6 disposal which is 54 million less than our request. The  
7 House appropriations bill provides \$281 million which is \$128  
8 million less than our request. We expect that the  
9 differences will be resolved by conference committee within  
10 the next few weeks.

11           In light the funding is likely to be less than that  
12 requested, the Department is currently reevaluating  
13 activities taking into account the advances in the reference  
14 repository and waste package designs. We are prioritizing  
15 the activities most important for developing information  
16 needed to support a secretarial decision on whether or not to  
17 recommend the site to the President. We will emphasize the  
18 science and engineering activities that most effectively  
19 reduce the level of uncertainty in the performance of the  
20 repository. Building on the momentum achieved in the last  
21 four years, our objective remains to develop the  
22 documentation to determine if Yucca Mountain is suitable to  
23 support a Secretarial decision in 2001, and if the site is  
24 recommended, a license application in 2001. In our

1 prioritization the site recommendation is more important than  
2 the license application at this time in prioritizing the  
3 work. However, it is probable that if the budget reductions  
4 are significant, our current program schedule milestones will  
5 have to be adjusted.

6           Now, turning to legislation. In June, I spoke to  
7 you about the comprehensive bills on the management of spent  
8 fuel and nuclear waste that were introduced in both houses of  
9 Congress; H.R. 45 and S. 1287. While both bills have been  
10 passed by their respective committees, there has been no  
11 formal activity since then on either bill. There is an  
12 understanding that some of the proponents of S. 1287 would  
13 like to bring it to the floor this month or next month.  
14 There's a lot of important business before the Congress and  
15 I'm not sure when that will be addressed, you know, if it  
16 will be, and in this time period. The Administration opposed  
17 H.R. 45 because it would place interim storage facility in  
18 Nevada prior to completion of the scientific and technical  
19 work necessary to determine if a final repository be located  
20 there. While the Administration has not developed an  
21 official position on S. 1287, the Secretary has emphasized  
22 the Administration's objection to any bill that precludes the  
23 EPA from establishing standards for Yucca Mountain which S.  
24 1287 in its present state would do.

1           Now, turning to Board reports. We will issue  
2 shortly the two reports the Board issued in April on the  
3 viability assessment and the Board's '98 activities. They've  
4 been completed by our office and they are awaiting clearance  
5 in the Secretary's office. So, I suspect in the next couple  
6 days we will send those to you. We have just responded to  
7 your July letter regarding our evaluation of alternative  
8 repository designs and are preparing the response to your  
9 August letter on the scientific investigations on the  
10 program. Related to the Board's comments on alternative  
11 designs, I would like to now discuss some of the background  
12 on what we've done on the selection of an alternative design.

13           We appreciate the Board's recognition that a  
14 comprehensive and resource intensive effort conducted by our  
15 management operating Management and Operating contractor has  
16 resulted in a much better understanding of the relative  
17 importance of the many factors involved in repository design.  
18 We have used the results from this evaluation of alternative  
19 designs and the results of subsequently analyses performed by  
20 the M&O, as well as policy program considerations to select  
21 the next generation design concept that will be used in  
22 developing our evaluation for the site recommendation. This  
23 decision is based on the technical work of the M&O integrated  
24 with programmatic policy considerations of flexibility,

1 fairness, and equity within and between generations.

2           We agree with the Board the repository design  
3 concept and, in particular, the temperature regime associated  
4 with that concept, can effect the cumulative uncertainty in  
5 estimates of long-term repository performance. We also  
6 recognize that this uncertainty may affect the confidence and  
7 decisions regarding the suitability of the Yucca Mountain  
8 site. We have sought to select a design to specify  
9 conditions on the implementation that are responsive to the  
10 Board's concern while balancing all significant factors  
11 including long-term public safety, inter- and intra-  
12 generational equity, worker safety, and cost. We have  
13 emphasized the need for flexibility to insure that the  
14 scientific and engineering data gathered throughout the site  
15 characterization, construction, operation, and monitoring, as  
16 well as evolution in national policies can be accommodated  
17 through reasonable changes in the repository design or the  
18 repository operational concept.

19           The concept we selected is based on the design  
20 alternatives recommended by TRW, but also includes the  
21 following, flexibility-enhancing conditions on its  
22 implementation.

23           One, the design will permit the repository to be  
24 kept open with only routine maintenance for approximately 125

1 years from initiation of waste emplacement which is  
2 approximately the time necessary for the ventilation system  
3 to remove sufficient heat to keep the drift walls below  
4 boiling following closure.

5           Two, the design will permit the repository to be  
6 closed during the period from 50 years to approximately 125  
7 years or more from the start of waste emplacement. The  
8 design will not preclude keeping the repository open, with  
9 appropriate maintenance and monitoring, for up to 300 years  
10 following initiation of waste emplacement.

11           Three, the sensitivity of postclosure performance  
12 in the repository system to uncertainties associated with a  
13 coupled thermally-driven processes will be examined for  
14 preclosure ventilation durations of 50 and also 125 years.

15           The models that are the basis for the evaluation of  
16 the thermal conditions will be refined to reduce  
17 conservatism. The design options that can increase the  
18 efficiency of heat removal will also be evaluated as we go  
19 forward.

20           The selected design concept provides the  
21 flexibility to adjust emplacement conditions and the  
22 ventilation design and the duration of that ventilation to  
23 keep the rock temperatures below 96 and as cool as reasonably  
24 achievable given the technical, institutional, and cost



1 considerations. It also provides the flexibility to increase  
2 rock temperatures should new scientific and engineering data  
3 show that such an alternative would be beneficial.

4           The design concept we selected also preserves the  
5 flexibility for future generations to determine whether to  
6 close the repository promptly or to keep it open for as long  
7 as 300 years with appropriate maintenance and monitoring  
8 based on their judgments regarding the significance of the  
9 uncertainties. The closure assumption of 50 years is  
10 consistent with the retrievability period required by the  
11 Nuclear Regulatory Commission and should provide adequate  
12 time to complete the performance confirmation program prior  
13 to repository closure.

14           Now, I would like to turn to our site  
15 recommendation program. The program is now working toward  
16 completing the technical documentation necessary to evaluate  
17 the site suitability to support a Secretarial decision of  
18 whether or not to recommend the site to the President. Our  
19 selection of the next generation design concept was a  
20 significant step in that goal. We are updating the  
21 repository safety strategy and refocusing our site  
22 characterization efforts to reflect this design evolution.  
23 We expect that some work planned in the viability assessment  
24 can logically be eliminated or deferred to the performance

1 confirmation program as a result of our design enhancements.  
2 we are emphasizing science and engineering activities that  
3 most effectively reduce the level of uncertainty in the  
4 performance of the repository and which are also needed to  
5 improve our confidence in decisions regarding this  
6 suitability of the Yucca Mountain site.

7           We are continuing to gather and analyze relevant  
8 data, some of which you will hear about later today from Mark  
9 Peters. Following completion of the detailed process models  
10 to describe the system performance and the abstraction of  
11 these models that are used in a performance assessment, we  
12 will generate another major iteration of the total systems  
13 performance assessment. This information will be the basis  
14 for the site recommendation consideration report which we  
15 plan to issue for public comment in November of 2000. We  
16 will then refine the process models and the total system  
17 performance assessment and use the refinements, together with  
18 the comments from the public, the States, the Native American  
19 Indian Tribes, Nuclear Regulatory Commission, and this Board  
20 as input in that process in those final revisions.

21           The program's work remains focused on the  
22 activities that we feel are most important to developing the  
23 information needed to determine if the site is suitable, and  
24 if suitable, support the Secretary's decision on whether or

1 not to recommend the site to the President. The viability  
2 assessment followed by our selection of a design concept for  
3 the next phase of the project activities and the  
4 corresponding update of the repository safety strategy has  
5 clarified the remaining work and illuminated those technical  
6 issues that need to be further addressed. We have started  
7 this remaining work, and input from this Board regarding the  
8 technical and scientific validity of these efforts will be  
9 very important as we proceed toward the completion of the  
10 site characterization phase of this program.

11 Those conclude my remarks and I would be pleased to  
12 address any questions that the Board may have.

13 COHON: Thank you very much, Lake. I just want to  
14 emphasize for the record that we have a wonderful new design  
15 standard as cool as reasonably achievable which, in fact, of  
16 course, you know, fashion designers have been following for  
17 many years and now DOE has caught up. That's great.

18 Let me just use the prerogative of the Chair to ask  
19 you a question. It's good to hear that you're going through  
20 the effort of prioritizing activities in light of the  
21 uncertain budget situation. Could you tell us what happens  
22 if you get the House number?

23 BARRETT: That would be a significant budget reduction  
24 which would result in schedule changes. Our approach on this

1 is to prioritize the work to support the first national  
2 decision which is the suitability of the site which we think  
3 is the most important and defer license application work that  
4 we can catch up. For example, we've already taken steps  
5 within the family and that includes the TRW contractors to  
6 defer preclosure work that's necessary for a license  
7 application. So, we're expecting somewhere between the 280  
8 and the 355. We are hoping that it's very close to the  
9 center mark in the mid-300s. With that, we believe that we  
10 would defer the preclosure work and can basically maintain  
11 the set of necessary scientific postclosure work which  
12 includes the natural sciences and corrosion, things that the  
13 Board is focusing on, to hold the site recommendation to  
14 schedule. As you start to go below, say, the 340 or 330  
15 usable money--this is after you take the State and the County  
16 monies out which will be a national policy statutory  
17 decision; we've asked for that money--then, we may have to  
18 start deferring the site recommendation depending on what it  
19 is. So, we'll have to look and see where that would be. We  
20 have said that if we get the 380, we believe we can get the  
21 380 level, we can probably come close to minimal delay on the  
22 license application and catch back up. If it starts to  
23 impact the site suitability postclosure, that is hard to  
24 catch back up again. So, we'd see slips ranging up to a

1 year.

2           Now, the House situation at 281, we would have to  
3 reduce staff by almost 1,000 people--we have about 2200 or so  
4 on the staff now--the reason being, there's termination  
5 costs. So, when you have to come down that much, it is very  
6 significant impacts. I would expect that a license  
7 application on that scenario would be delayed about a year  
8 and very likely the suitability would be delayed a  
9 commensurate amount also because our first three months are  
10 going to be just basically keeping from being anti-deficient.

11 We went through this back in '96. It was traumatic then and  
12 this would be traumatic again if that case were to happen. I  
13 am very hopeful that the House of Representatives can deal  
14 with their allocation issues and that the results will be  
15 something closer to the Senate situation. We are all very  
16 hopeful of that, but we'll have to wait and see what happens  
17 over the next several weeks.

18           COHON: Thank you, Lake. Other questions from Board  
19 members? Debra Knopman?

20           KNOPMAN: I don't want to go through every budget item,  
21 Lake, but I think it would be helpful to clarify where  
22 something like further work on transportation studies routing  
23 would come in under these various budget scenarios that  
24 you've just gone through.

1           BARRETT:  You know, we're trying to hold the site  
2  recommendation schedule.  The site recommendation schedule  
3  requires the final Environmental Impact Statement to be done.  
4  We are funding the hearing process.  I think we're going to  
5  have, you know, 17 public hearings we're going to do.  We  
6  will have public information meetings, you know, basically as  
7  requested and a reasonable request we will grant.  So, what's  
8  necessary to support to the FEIS is a high-priority work.  It  
9  goes with the site recommendation.  We need to have a  
10  balanced program.  I referred to this to staff.  It's sort of  
11  like a chain picking up a heavy load.  You want to make every  
12  link of the chain the same strength.  If you have one length  
13  that's bigger than the other link, it doesn't matter and the  
14  chain is only as strong as the weakest link.  So, the FEIS  
15  work needs to be supported for going on with site  
16  recommendation along with, say, the natural sciences, the  
17  engineering, the whole thing.

18                       So, as far as additional transportation work, we  
19  will do what's necessary for the FEIS and we'll go into the  
20  public hearing process.

21           COHON:  Dan Bullen?

22           BULLEN:  Lake, when you introduce a concept or a term  
23  like "as cool as reasonably achievable", you immediately draw  
24  a parallel to as low as reasonably achievable with respect to

1 dose base protection and radiation workers and the public.  
2 And, I guess, the question that I raise and maybe it will be  
3 answered in later presentations, is how do you define what  
4 reasonable might be? Do you do a risk basis estimate using  
5 the performance assessment models or does it turn out to be a  
6 cost benefit analysis? What kinds of things define  
7 reasonable or how do you envision reasonable to be defined  
8 for as cool as reasonably achievable?

9           BARRETT: That's what we did as we went through this.  
10 We didn't put \$1000 per man-rem, and those of you who can go  
11 back to Appendix I to Part 50 through, you know, those kinds  
12 of days, it is not a quantitative analysis. You cannot  
13 quantify these. It is a qualitative judgment where you are  
14 balancing the programmatic flexibility considerations.  
15 Following the Board's letter from July, we did this in an  
16 open documented way. That is in the Board actions that I've  
17 signed to balance that. That's really what it is. It is not  
18 an analysis, per se; it is a judgment that is written down as  
19 to why we chose and we weigh very heavily the flexibility for  
20 future generations in that and not to foreclose options  
21 through a design requirement at this time. There is not a  
22 mathematical algorithm of the old \$1000 per man-rem and that  
23 never worked then and it doesn't work now.

24           BULLEN: Thank you.

1 COHON: Other questions? Richard Parizek?

2 PARIZEK: It's a question about the selection activities  
3 that might be postponed for a validation stage. Some of this  
4 might be dealing with some uncertainty, some of it might be  
5 work that you really couldn't do up front, but may be quite  
6 critical as to when it may create some uncertainty about the  
7 suitability of a site. You've got to make a recommendation  
8 about suitability on schedule. If you postpone some  
9 activities until after site recommendation, that might be the  
10 fatal flaw or create a great uncertainty, you know, in the  
11 program. Kind of sort that out. Will we hear about your  
12 priorities and how these are decided upon at this stage  
13 because it's quite critical?

14 BARRETT: Yes.

15 PARIZEK: --sure that at the end point that you haven't  
16 postponed some key things that really should have been  
17 addressed up front before site recommendation.

18 BARRETT: Yes, you'll hear more about that as basically  
19 it's the application of the repository safety strategy. It's  
20 kind of where that shows as we're guided by the TSPA work and  
21 the uncertainties in the TSPA, as the Board has pointed out.  
22 We desired to do the \$409 million suite of work. Well, our  
23 desire is not being met. Very seldom in life do I find in my  
24 personal situation that my desire is always met. Now, can we



1 do what is necessary for a suitability? Now, what is  
2 necessary? We must do that floor. Now, what is necessary  
3 versus what is desirable? And, desirable can be put into the  
4 performance confirmation because this is an easily reversible  
5 process. So, as we make a very important national decision  
6 if the site is suitable and go through that political process  
7 as laid out in the Act, that is a very solemn decision. But,  
8 it is not a reversible decision if science tells us something  
9 different. But, there must be adequate uncertainty to  
10 sustain that decision for us to recommend to the Secretary,  
11 the Secretary to recommend to the President, for the State of  
12 Nevada Governor and the State Legislature to do their  
13 actions. So, we need to have an adequate base. We're all  
14 struggling. I'll say we are struggling trying to determine  
15 what is the most important, what is the absolutely necessary  
16 work that must be done, what is desirable in confirmatory  
17 work that can be done later? And, we don't know quite at  
18 what level--if it's 340, 330, 320--where we say, no, in our  
19 judgment we did not do the necessary work for the  
20 suitability. So, we have deferred almost all other  
21 activities focusing on basically the postclosure regime.  
22 Prioritization is to do the suitability which includes doing  
23 the FEIS, but we've deferred pretty much all general  
24 transportation work. We've deferred almost all repository

1 surface work. I am trying to do all my issues dealing with  
2 the lawsuits and the utilities with just a very small  
3 skeleton staff in Washington and trying to isolate the Yucca  
4 Mountain Project from that trauma so they can focus on Job  
5 One which is are we doing sufficient scientific work to  
6 address the suitability.

7           The Board's views, I think, is extremely important  
8 and this is a very timely meeting as we are basically getting  
9 our algorithms together so that we do the most important work  
10 and then we're going to decide after we do the most important  
11 work is that work sufficient to support that decision?  
12 That's the process we're going through this fall. So, it's  
13 timely that you see, what I call, the application of the  
14 repository safety strategy using the TSPA and the  
15 prioritization of the work. And, we must and I think the  
16 Board in all practical purposes, if we're not satisfied that  
17 we've done the necessary work, then the suitability decision  
18 would have to be deferred until the necessary work can be  
19 done.

20           COHON: Thank you very much, Lake.

21           BARRETT: Thank you.

22           COHON: I call on now Ray Clark to talk about the EPA  
23 standard. Ray Clark is a Captain in the U.S. Public Health  
24 Service who has been detailed to the U.S. EPA in the Office

1 of Radiation and Indoor Air. Welcome, Captain Clark.

2 CLARK: I'd like to thank the Board for inviting us here  
3 today. It's been long in coming, but it's finally here. It  
4 was nice to hear Lake say that EPA has proposed a standard  
5 rather than when EPA proposes a standard.

6 Before I get started, I wanted to recognize two of  
7 the people from my office that are here with me. Dr. Ken  
8 Czyscinski is in the back back here. He's our  
9 geologist/geochemist. Frank Marcinowski is the acting center  
10 director for Center for Waste Management and Deputy Director  
11 of the Radiation Protection Division.

12 Since you squeezed us into the agenda anyway, I'll  
13 really try to fly through these. I'll provide a very short  
14 background on how we got to Yucca Mountain Standards, go  
15 through some of the provisions and a little bit of the  
16 rationale on how we reached the proposed standards that we  
17 have, and then very quickly the plans for the future of the  
18 final standards.

19 As the Chairman said earlier, the Energy Policy  
20 Act, of course, gave us the authority to set these site-  
21 specific standards. I was also told that the contract was a  
22 National Academy of Sciences to provide technical  
23 recommendations on the bases for the standards. We did do  
24 that. They gave us their findings and recommendations and

1 I'll mention that a little bit later. Finally, the NRC  
2 licensing regulations which have now turned into Part 63 are  
3 to be consistent with the EPA standards. We did propose  
4 those, at least published in the Federal Register on August  
5 27.

6 One of the earliest questions that came up in our  
7 deliberations was how do we take into account the NAS report?

8 The Energy Policy Act said that our standards were supposed  
9 to be based on and consistent with the NAS findings. We  
10 finally arrived at the conclusion that we were not absolutely  
11 bound to what the NAS said, but of course, do weigh heavily,  
12 particularly in the technical areas where NAS is obviously  
13 the strongest. The NAS panel did help us out because they  
14 did a fairly careful job of separating policy from technical  
15 issues, at least that was our impression. So, therefore, a  
16 lot of their findings were written as suggestions or as thou  
17 shalt or thou shalt not.

18 The second thing was that Congress directed us to  
19 set standards by rule. So, by that, we think by rule usually  
20 means you go through a public rulemaking process, and  
21 obviously if you're familiar with the report, there are many  
22 places where they tell us or the NAS even says go through a  
23 rulemaking.

24 The final thing is that setting standards such as

1 this is a federal function and not getting high-handed here,  
2 but if we were to assume that whatever NAS said was a  
3 standard, it's possibly getting into constitutional issues.  
4 But, I'm certainly not a lawyer, I'm not an engineer, as I  
5 said. So, those are the bases of how we weigh the NAS  
6 report.

7           A big consideration also is our Part 191 generic  
8 standards which, of course, do set a precedent for  
9 protection. They have been used for certification of the  
10 WIPP facility and also being used for approval of the greater  
11 confinement disposal facility.

12           Getting to the standards themselves, as you can  
13 see, we have two subparts, one storage and one disposal. The  
14 NAS didn't address storage, at all, in their report. For  
15 disposal, individual protection standards, human intrusion  
16 standards, groundwater protection, and a couple of other  
17 provisions that limit some of the considerations. As far as  
18 storage, storage is also taken to mean as management both on  
19 the surface and in the repository itself. The proposed  
20 standard is 150 microsieveverts or 15 millirem for the English  
21 speaking people in the crowd. That is committed effective  
22 dose equivalent. We divided the applicability of rules  
23 between in the repository and outside the repository. Again,  
24 a legal interpretation, the Energy Policy Act says that we're

1 supposed to set standards for storage and disposal in the  
2 repository. So, we took that literally. So, the new  
3 standards would cover storage in the repository or  
4 management. The Part 191 generic storage standards cover the  
5 surface operations that occur within the Yucca Mountain site.  
6 Those two would be combined and that's what would be  
7 compared with the 15 millirem standard.

8           This level--and we'll get into this again shortly  
9 and I'll just point it out now--is also consistent with Part  
10 191, of course, since we're using it and it's also the NAS  
11 suggested annual risk level of  $10^{-6}$  to  $10^{-5}$  which is 20 to 200  
12 microsieveverts at least in our system.

13           Moving on to the disposal standards which is  
14 probably of more interest here than the other, again we have  
15 150 microsieveverts under the effective dose through all  
16 pathways over 10,000 years. One place we've not followed the  
17 NAS recommendation was we've used what we've called a  
18 reasonably maximally exposed individual as opposed to a  
19 critical group which is what NAS recommended. This  
20 individual is a theoretical person who is in the highest  
21 exposed group--and this is the theory behind it--in the  
22 highest exposed group, but not the maximally exposed  
23 individual. We're trying to keep analyses into what would be  
24 reasonably expected in an actual situation. The way you

1 arrive at that is to set one or a few of your parameter  
2 values at their maximum. These are the exposure parameters  
3 and set the rest at a mean or median value, an average value.

4           So, what we've proposed is that this individual be  
5 located near the Lathrop Wells intersection. I suspect most  
6 people here know roughly where that is. It's about 20  
7 kilometers south of the repository. We think that using this  
8 method of calculating a dose puts you in the same place as  
9 the critical group approach that NAS recommended. The other  
10 reason for not using critical group is because EPA has never  
11 used it in the past; however, there have been programs which  
12 have used reasonably maximum individual in other areas of the  
13 agency. We'll get to that in a minute. This person would be  
14 representative of the current residents in Amargosa Valley;  
15 in other words, physiology, lifestyle, all those sorts of  
16 factors that are considered. One of the maximum values that  
17 we would direct is that they drink two liters per day of  
18 groundwater. I should point out, I guess, that this Lathrop  
19 Wells is also one of the other factors that would be  
20 considered to be one of the maximum parameter values.

21           I've already touched on a little bit of this. In  
22 fact, probably most of it. This gives just a little more  
23 explanation of why we chose RMEI rather than critical group  
24 and I think I've hit on most of that. In the interest of

1 time, we'll skip on to the next one.

2 Human intrusion standards. Here, the NAS said  
3 human intrusion or assumed human intrusion will occur. It's  
4 just you can't do a--well, remove it from a probabilistic  
5 assessment. Just assume that it occurs and it occurs once or  
6 twice or whatever you recommend and do the analysis to test  
7 the resilience of the repository. And, here's a place where  
8 they recommended that we use public rulemaking process to  
9 establish this scenario. The limit that we've put on this  
10 which again follows NAS recommendation is 150 microsieverts  
11 per year--that should be CEDE, as well; I see that got left  
12 off--within 10,000 years. The scenario is a single intrusion  
13 through a waste package as a result of water exploration. We  
14 specifically say water exploration to set some sort of a  
15 limit on borehole size. Borehole goes clear to the aquifer  
16 and you assume that it is not carefully sealed. The timing  
17 in our scenario, the intrusion would occur as soon as the  
18 canister or waste package, more properly I guess, is  
19 sufficiently degraded that the drillers wouldn't recognize  
20 that there's a waste package there. I guess to follow up on  
21 that a little bit, in other words, we didn't set a particular  
22 time for the intrusion. It would be up to DOE and NRC  
23 working together to establish that.

24 An alternative approach is also in the proposal.



1 It depends on the timing of the intrusion which, in turn,  
2 depends on the corrosion of the canister, of course. This  
3 intrusion could not occur prior to the 10,000 years. We  
4 would require DOE to put the results of their analyses in the  
5 Yucca Mountain EIS. Now, obviously, we probably wouldn't get  
6 them to put it in the first draft of the EIS, but presumably  
7 there will be a final EIS, as well as most likely  
8 supplemental EISs as time goes along. This would not require  
9 NRC consideration if it was shown to occur after 10,000 years  
10 in the licensing application, at least.

11           One of the more fun ones, groundwater protection  
12 standards. We've proposed the limits to be the maximum  
13 contaminant levels as established under the Safe Drinking  
14 Water Act. These are the same limits that are established or  
15 used by the agency in other programs, non-radioactive waste  
16 disposal and various other areas. These would be in a  
17 representative volume of groundwater and we will get to that  
18 in a minute or two what that means. That bottom bullet just  
19 lists the MCLs.

20           Why have separate groundwater standards, a question  
21 we've been asked once or twice. First of all, it's the  
22 Administration policy to protect ground water and the way  
23 that is currently being done is to use the MCLs as  
24 groundwater protection. The intent is to protect the current

1 and future uses of the resource. Part of the philosophy is  
2 also it's a lot easier to prevent the contamination than to  
3 try to detect it, especially in a large aquifer--well, I'm  
4 sorry, in an aquifer and it's also cheaper to do that rather  
5 than having a facility declared possibly a SuperFund cleanup  
6 site or something in the future and then try to go in and  
7 clean that up. It's also, as I mentioned earlier, consistent  
8 with other programs. Part 191 has separate groundwater  
9 standards. The WIPP certification was based on Part 191.  
10 So, therefore, it used groundwater standards. The GCD  
11 program is subject to some groundwater standards; albeit not  
12 in the same form, there is provision there. Hazardous and  
13 municipal waste disposal, as I referred to earlier on the  
14 underground injection control program, all use MCLs as  
15 examples.

16           What's this thing, representative volume of  
17 groundwater? What are they doing now? Realizing that it's  
18 difficult to model groundwater, particularly in a fractured  
19 medium, we said it was reasonable to come up with a method to  
20 reasonably implement the groundwater standards. How we came  
21 up with this concept, what it is it's the volume of  
22 groundwater withdrawn to meet a specified demand. We'll get  
23 to the specified demand in a minute. It would be centered on  
24 the highest concentration in the plume. It's position and

1 dimensions would be based upon average hydrologic properties  
2 along the flow path rather than trying to pinpoint what the  
3 actual characteristics are right at whatever particular point  
4 is chosen.

5           We've proposed two ways to calculate the dimensions  
6 of this representative volume. One is a well-capture zone.  
7 In other words, you have a well pumping water out so many  
8 acre-feet per year. Or a little slice of the plume in which  
9 you actually take or model part of the plume that equals the  
10 relevant water that we'll discuss in a minute that's in the  
11 representative volume. How you dilute the--if it turns out  
12 to be dilute--the releases into that volume and use that for  
13 your calculation.

14           We've proposed a representative volume of 1285  
15 acre-feet per year exactly. I know that sounds awfully  
16 specific. What we did was we assumed a small farming  
17 community of roughly 25 people and this farming community had  
18 255 acres of alfalfa. Now, based on the information that we  
19 have, that's the average size of the alfalfa operations in  
20 Amargosa Valley. They use five acre-feet per year of water  
21 out there again according to the information we could find.  
22 So, that leaves us with 1275 acre-feet per year. Then, you  
23 have a family of four that could have domestic uses including  
24 a garden. So, that adds the other 10. So, that's the basis

1 of the 1285.

2 We also have some other alternatives in the  
3 standard that range from 10 to 4,000 acre-feet per year. The  
4 10 is the minimum volume of water for a public water supply.

5 So, that's obviously the bottom of where we would protect.  
6 120 is based on this 150 person community and it's also based  
7 on the current water use in the Amargosa Valley/Lathrop Wells  
8 area and a short term projection of land use up in that area.

9 4,000 acre-feet is the annual yield of Jackass Flats sub-  
10 basin. I was going to say perennial, but it says annual; so,  
11 I'll say annual.

12 There are four alternatives for the groundwater  
13 compliance point. Here, I apologize. I hope you got the  
14 handout of the map. It got left out of the package, the  
15 thing that looks like that. There are two methods of  
16 approaching this that we've proposed. One is a controlled  
17 area which if you're referring with Part 191 we use  
18 controlled area. The other is designated point together with  
19 fixed distance alternative which I'll explain. The first  
20 area--and this is courtesy of DOE; so, I've used the earlier  
21 drawing of the Part 191--a five kilometer area, is precisely  
22 that. It's just brought over from Part 191. So, presumably,  
23 you'd have an area similar to this for the five kilometer  
24 option. The other controlled area option is a combination of

1 five kilometers in the Nevada Test Site. It is a five  
2 kilometer distance around the footprint. This is obviously  
3 for illustration only. I'm also not an artist. But, what  
4 happens is in your five kilometer distance where it  
5 intersects the Nevada Test Site boundary, that becomes the  
6 controlled area. So, your controlled area for that option  
7 looks like that. We refer to that as the 18-kilometer  
8 alternative assuming that this is about 18 kilometers down to  
9 here.

10           The two designated points fixed distance, one is  
11 Lathrop Wells which is roughly 20 kilometers. The other is  
12 an area down here in southern Amargosa Valley where most of  
13 the agriculture takes place. We would have DOE and NRC to  
14 determine a point within that area for the compliance point.

15    The fixed distance alternative would be the fact that we've  
16 assumed the groundwater is going to be on--for illustration  
17 purposes coming down this direction. If somehow that higher  
18 concentration comes over here, we'd obviously want to avoid  
19 the situation where--well, concentration at Lathrop Wells is  
20 zero. So, that's fine. What we would do at that point is,  
21 say, use the same distance, but draw an arc to wherever that  
22 concentration would intersect it; the same thing down with  
23 the 30 kilometer option.

24           The other provisions that were in the outlying

1 chart earlier, post-10,000 year results for individual  
2 protection. The NAS did recommend peak dose within geologic  
3 stability time of the repository. So, we wanted to address  
4 that; however, we were also concerned about the uncertainties  
5 that occur after 10,000 years. So, what we've proposed to do  
6 that is you do the 10,000 year analysis as a regulatory  
7 requirement, you calculate on out after 10,000 years to the  
8 peak dose, and again include the results in the Yucca  
9 Mountain EIS. This is intended to be just an indicator of  
10 future performance. So, nothing really crazy happens out  
11 there.

12           The second requirement is just a limit on  
13 performance assessment considerations. This is the same as  
14 in the general standards in Part 191; you need only to  
15 consider process and events with probabilities. Critical  
16 event are equal to  $10^{-8}$  per year.

17           I'm not flying very well. So, I'll try to pick  
18 this up. All our standards in Subpart B are based on the  
19 concept of reasonable expectation. Our whole approach here  
20 has tried to be reasonable. The RMEI, for example, is not  
21 the maximally exposed individual, but hopefully a realistic  
22 dose that could occur out in the population. Likewise, our  
23 other standards are based on this reasonable expectation.  
24 This is the same concept we used in Part 191. Our intent

1 here is that it's taking into account the uncertainties in  
2 long-term projections and we also mean it to be less  
3 stringent than the concept of reasonable assurance which has  
4 been used in the reactor licensing business. Obviously, a 40  
5 year lifetime on an engineered system is different  
6 uncertainty-wise than the 10,000 year projection on a  
7 geologic system.

8           We're still leaning toward to include all important  
9 processes and parameters, but the important point is even if  
10 they're not precisely quantifiable, if there's a barrier or a  
11 geologic feature that could add to the safety of the  
12 repository, use some reasonable bounds. Just because you  
13 can't say it's  $10^{-3}$ , da-da-da, still consult the science--  
14 well, I'm not doing well here. Consider the findings and use  
15 a reasonable bound. That's all I'm trying to get to in that.

16   The compliance determination should not be heavily  
17 influenced by worst case assumptions. In other words, don't  
18 always take the extreme ones or the distributions and  
19 compound them. Use the entire range of those distributions.  
20   That's what I was trying to say before, as well, and that  
21 covers the last point, as well.

22           And, mercifully, the final or next to the last  
23 slide, public hearings are currently scheduled for next month  
24 in Washington here on the 13th; Amargosa Valley on the 19th;

1 Las Vegas, the 20 and 21st; a midwest location which is not  
2 yet quite nailed down for the final week of October. Comment  
3 period is open until November 26. We, of course, will do a  
4 response to comments document and final technical background  
5 documents which are background information documents which is  
6 our version of an EIS in a sense, but it's just technical  
7 information and also an economic evaluation. Target for  
8 final is a year after proposal.

9           Now, a slide you don't have and I apologize to the  
10 non-physicists in the group. It's speaking of uncertainty.  
11 I found this and I couldn't resist it. That concludes what I  
12 have.

13           COHON: Thank you, Captain Clark. Let me ask you a  
14 logistical questions before we get into a substance. We have  
15 approximately 10 minutes left in this part of our meeting and  
16 I probably have more than 10 minutes worth of questions  
17 myself and I expect there will be more. Are you able to stay  
18 with us until noon or so today? That's putting you on the  
19 spot. You can say no.

20           CLARK: I'll try and stay for a while.

21           COHON: Well, the reason I asked about noon is that we  
22 must take on the next two presentations that will last until  
23 approximately 11:30. At that time, we have a public comment  
24 period and I expect there will be public comments, as well as



1 additional Board questions about the standard. So, if you  
2 can't stay until noon, then there's no point staying until  
3 11:30 either unless, of course, you want to listen to the  
4 wonderful presentations. All right. Well, please, consider  
5 that and let's not waste the rest of our 10 minutes here on  
6 this.

7 Paul Craig?

8 CRAIG: Ray, I'd like to ask you whether EPA has issued  
9 other standards that allow doses to increase above those  
10 permitted? Has EPA issued other standards that allow doses  
11 to increase above the permitted level at some period of time?

12 What I'm specifically referring to is the way in which you  
13 dealt with the academy recommendations that doses be set for  
14 the time of peak dose. One could envision doing a peak dose  
15 standard taking into account the growth of uncertainty beyond  
16 the 10,000 year limit. Well, you rejected the academy  
17 proposal for doing a peak dose standard and my question is  
18 whether there exists other instances where you allow--where  
19 you anticipate that the dose will rise above the permitted  
20 level at some time outside the regulatory time standard, time  
21 specification. This is an unusual situation where at the  
22 time of your regulatory limit based on the analysis that DOE  
23 has done, you expect the doses to be increasing and  
24 increasing substantially.

1           CLARK: I stand to be correct on this, but to my  
2 knowledge, we've just never addressed that for 10,000 years,  
3 whatsoever. So, it's not necessarily that you didn't expect  
4 doses to increase.

5           CRAIG: But, you said something about uncertainty. I'm  
6 not supposed to consider uncertainty?

7           CLARK: --based it on the uncertainty becoming a problem  
8 for decision makers to try to make a reasonable determination  
9 after that time. So, here, we were just trying to address  
10 the long-term possibility and recognizing the NAS  
11 recommendation.

12          COHON: That sounds like no. With apologies to Lake  
13 Barrett. We had asked him to be prepared to comment if he so  
14 chose on the proposed standard and I forgot to call on him.  
15 May I call on you now, Lake? Do you have comments to make at  
16 this point?

17          BARRETT: Just very briefly, I mean, I think my remarks  
18 earlier stand that we want to have a demonstrable standard  
19 that protects the public health and safety and environmental  
20 that's demonstrable in the rigorous license proceeding. As  
21 you heard and Ray presented, there are many options and  
22 combinations in the proposed standard. Some of those, we  
23 believe, would be reasonably implementable. Some of those,  
24 we feel, may be going beyond what science and technology

1 could ever demonstrate.

2           Picking up on Paul's remarks, if you project out to  
3 nominally a million years and have low numbers, the  
4 uncertainty becomes so high you can't do it and then you  
5 reach a situation where having a standard would basically  
6 foreclose geologic disposition in any fresh water site.  
7 You're starting to make a decision and then you need to start  
8 looking at sort of the no action alternative situation we had  
9 in DEIS. The only thing we've ever evaluated in this program  
10 that ever had environmental impacts that we believed were  
11 major and significant are those in the no action alternative  
12 where you did not responsibly manage the material. In the  
13 far future in the no action alternative, we've lost  
14 institutional control where you had big doses.

15           So, I think as a society we must be very careful  
16 that we don't set a standard that is beyond what science and  
17 technology can do, but yet must be a reasonable standard and  
18 await EPA as going through the process that they're going  
19 through. So, we will provide our comments in the hearings  
20 and in the official thing, but we're just very concerned that  
21 a priori we don't set a standard that's impossible to meet  
22 and especially considering the Board's views of uncertainties  
23 and we must consider the uncertainties as we go forward.

24           COHON: Thank you, Lake. Dan Bullen?

1           BULLEN: First, just a comment and I know this is a  
2 little bit absurd, but in the intruder scenario that I know  
3 you have to do, it's always amazing to me that somebody is  
4 going to drill for water from the top of a mountain. Okay?  
5 That just strikes me as one of those things that's a little  
6 bit absurd.

7           But, actually, as a followon to that, could you  
8 comment on the maximum concentration levels for groundwater  
9 protection? Specifically, what fraction of existing  
10 municipal water supplies meet or maybe what fraction fail to  
11 meet due to naturally occurring radioactive materials the  
12 standards that you set for Yucca Mountain?

13          CLARK: To get you a real number, I'd have to get back  
14 to you on that. For the beta/gamma, it's only manmade.  
15 That's the four millirem part. As far as the alpha, I'd have  
16 to check. I don't know.

17          BULLEN: I'm just curious about that because, I mean,  
18 that's one of the sticklers that people have with respect to  
19 making the four millirems is that, you know, if there's  
20 naturally occurring radioisotopes that--I mean, I don't see  
21 the difference between a naturally occurring radiation  
22 exposure and a manmade radiation exposure. And so, you know,  
23 the stringent standard for MCLs in the groundwater are  
24 probably pretty challenging.

1 CLARK: Well, as I say, the four millirem is just  
2 manmade beta/gamma. It doesn't consider background. That's  
3 just the way they are set up, you know, just--well, before my  
4 time is the way that is. But, you're correct, the alpha does  
5 include background. At this point, I don't think we see  
6 alpha as getting down that far, but--I mean, if it's five  
7 kilometers, we'd have to see.

8 COHON: Dan, do you want a written response to that  
9 question?

10 BULLEN: Actually, I'd like to see the numbers if  
11 they've got them. I'm pretty sure that when the Clean  
12 Drinking Water Act was revised in the early '90s, those  
13 numbers were published in the Federal Register somewhere.

14 COHON: Okay. Thank you. Jeff Wong?

15 WONG: This is a promised question, Ray. How do you  
16 envision the two standards interacting? Do you see a  
17 situation which either standard might act alone in demanding  
18 repository performance? Two questions, so far.

19 CLARK: I might have to get back on your second one. By  
20 the two standards, you mean individual protection and the  
21 groundwater?

22 WONG: Right.

23 CLARK: Not given intrusion?

24 WONG: Groundwater and individual protection.

1           CLARK: Okay. Well, we see both of them as protecting  
2 what they're intended to protect. Individual protection is  
3 required to protect individuals; groundwater is to protect  
4 the resource as such even though we use a dose number to do  
5 that. The individual protection requirement was established  
6 on a risk level which I mentioned in there earlier. The MCLs  
7 were established under the Safe Drinking Water Act and is the  
8 current law at this point. My understanding is it's a policy  
9 decision to apply separate groundwater standards, but they're  
10 intended to protect two different things. --intends to be  
11 limiting the other.

12           COHON: Jeff, if I could just interject because I have a  
13 similar question. You just said in passing that the  
14 groundwater standard uses dose considerations to arrive at a  
15 standard. Wouldn't one expect then consistency between the  
16 groundwater standard and the 15 millirem standard?

17           CLARK: I guess I need to know what you mean by  
18 consistency between the MCLs for drinking water. It's the  
19 drinking water pathway. The individual protection is all  
20 pathways. So, there is that one pathway.

21           COHON: Well, both are filled, especially the  
22 groundwater protection--the application of groundwater  
23 protection standard is filled with assumptions about various  
24 scenarios. People living in certain places using a certain

1 amount of water or for certain purposes. Similar assumptions  
2 are made arriving at the 15 millirem per year standard. That  
3 is the two liters per day water consumption, for example. I  
4 would think that it would be desirable to have consistency in  
5 that sense that there's some linkage here.

6 CLARK: Well, with the different alternatives, we might  
7 have to have different locations. Is that what you mean; the  
8 same person using the same water or would that be a--

9 COHON: No, I think I made my point for the record.  
10 Jeff, did you have more questions?

11 WONG: I have one more question. You say you're going  
12 to use the RMEI instead of the critical group to avoid the  
13 most extreme cases. I assume that's related to dose  
14 projections. But, in your bullet that's on Page 8, you say  
15 you're doing to use a mixture of 95 percentile and average  
16 values for the exposure parameters. I assume that's for  
17 other biosphere parameters, also. What's your expectations  
18 on how you or NRC or DOE will decide what parameter they'll  
19 use the 95 percentile value and what values they'll use the  
20 average value?

21 CLARK: Well, for that purpose, first of all, we weren't  
22 using our RMEI instead of the critical group to not do the  
23 maximally exposed. They're both approaches that would not  
24 use maximally exposed if I heard you say that right. We have

1 proposed two parameter values as maximums. The Lathrop Wells  
2 location and the two liters per day. After that, it's up to  
3 the commission as an implementing decision whether to do more  
4 than that or not. It's their prerogative.

5 WONG: So, again, on Viewgraph 8, the use of the mixture  
6 of 95 percentile and average values for exposure parameters,  
7 you're going to leave it up to the NRC to tell the DOE which  
8 they're supposed to use?

9 CLARK: With the exception of the two that I mentioned,  
10 yeah, uh-huh.

11 WONG: All right. Thank you.

12 COHON: Thank you. Let me just do a quick time check.  
13 I know we have questions from Alberto and Debra. Are there  
14 any other members? Well, let's push on for five minutes, and  
15 wherever we are, we're going to end in five minutes. Okay?  
16 Actually, I think Debra was next; Debra and then Alberto and  
17 then Richard.

18 KNOPMAN: Could you tell us how much EPA when back and  
19 examined the underlying biological, physical basis for the  
20 standards for low radiation exposures in the first place?  
21 There is a report in the September issue of "Physics Today"  
22 about a UN committee going back and reexamining the  
23 underlying assumptions that go into standards used worldwide  
24 for exposure to radiation. I'm wondering how much EPA



1 decided to just take what is conventional practice or how  
2 much time you spent going back and looking at what actual  
3 health effects there are at these various levels.

4 CLARK: As far as the Yucca Mountain standards project  
5 did, we don't do that personally. We have a group that is a  
6 bio-effects analysis group who are continually reviewing new  
7 information and reviewing what they've already looked at  
8 relative to the new information and are continually updating  
9 the information they give to us to use. So, they're, at  
10 least to my knowledge, well-aware of everything that's going  
11 on, as well as the history of what's gone on before.

12 KNOPMAN: So, that was not a point of discussion or  
13 debate as to whether or not to proceed with using the current  
14 international standards?

15 CLARK: Well, that might be a little different.  
16 Certainly, we considered other standards, if I'm  
17 understanding you right. Rather than the bio-effects, you  
18 mean the other dose standards or--

19 KNOPMAN: Well, based on what you presume the biological  
20 effect to be of radiation.

21 CLARK: Oh, that's agency policy.

22 COHON: Thank you. Alberto Sagüés for a very brief, to  
23 the point question.

24 SAGÜÉS: Yeah. On your transparency #10, there's a

1 statement to the effect that if intrusion could not occur--

2 CLARK: Uh-huh?

3 SAGÜÉS: Yeah, how could intrusion not occur?

4 CLARK: That's based on our condition that we've imposed  
5 that the canister or the waste package had not degraded  
6 enough for the driller to not know. So, if the driller hits  
7 a waste package and the bit deflects or they have a lot of  
8 trouble getting through the package more than they would  
9 expect, we would consider that they recognize there's  
10 something there that's not normal. Therefore, the intrusion  
11 would not have occurred. If the time that it occurs is once  
12 the package has degraded enough that the water drill bit  
13 could pass through that area without recognizing there is a  
14 waste package there. So, what's what we mean by could not.

15 SAGÜÉS: I see.

16 CLARK: That it would not be recognized by the drillers.

17 SAGÜÉS: And, the second part of the statement, the  
18 results of the assessments and their bases must be placed  
19 into the Yucca Mountain environmental impact statement,  
20 wouldn't they be placed anyway or--

21 CLARK: I don't know whether they would or not. I  
22 haven't examined the draft EIS all that much, but I don't  
23 think that's there at the moment. But, that's something we  
24 think is important to be in there.

1           SAGÜÉS: All right. Thank you.

2           COHON: Thank you. Richard Parizek?

3           PARIZEK: I was looking for other limits on drinking  
4 water and I only find total dissolved solids mentioned in one  
5 place. Do you have like iron and lead and zinc and copper  
6 and so on in the plan? I don't see it mentioned anywhere  
7 except as total dissolved solids, and on Page 11 of the  
8 viewgraph, you talk about MCLs, but it seems all radionuclide  
9 related.

10          CLARK: That's correct. Those are just a radiation  
11 protection standard and we're not using the false lead of  
12 MCLs now.

13          PARIZEK: Okay.

14          COHON: Thank you very much, Captain Clark. If your  
15 schedule permits you to stay, we would appreciate it, but  
16 we'd certainly understand if you're not able to.

17                 We will now take a break for seven minutes. The  
18 next session will be chaired by Debra Knopman who will call  
19 us to order in seven minutes. Thank you and thank you to all  
20 of our speakers.

21                 (Whereupon, a brief recess was taken.)

22          KNOPMAN: We're now going to begin the portion of our  
23 meeting devoted to understanding the evolving repository  
24 safety strategy and we will, however, start with an overview

1 of the Yucca Mountain Project by Steve Brocoum. Steve is the  
2 assistant manager and in charge of the Office of Licensing &  
3 Regulatory Compliance at the Yucca Mountain Site  
4 Characterization Office.

5 BROCOUM: Okay. I'm just going to give an overview of  
6 the perspective on Yucca Mountain. We're going to talk a  
7 little bit about some new people on the projects, what we did  
8 in '99, what our priorities are for fiscal year 2000,  
9 implementation of what our enhances are in Alternative II and  
10 an overview on the planned testing, a few words on repository  
11 safety strategy which will be talked about in detail, as will  
12 be the planned testing, and where we are in our EIS process  
13 right now.

14 We are continuing to implement our culture of  
15 excellence. We informally call it nuclear culture. We've  
16 tried to enhance our project management practices to become  
17 more efficient, to become more traceable, to become more  
18 transparent, and we've put a lot of effort into that this  
19 year. The project manager, Russ Dyer, has proposed a two  
20 deputy organizational structure for Yucca Mountain. It's  
21 proposed at this point with Don Horton would be the deputy  
22 for technical, and Linda Bauer who was just shown the project  
23 a month or so ago in Hanford will be the operations deputy.  
24 Secondly, the vacancy for the assistant manager for the

1 Office of Project Execution was filled by Suzane Mellington  
2 and she came from Oak Ridge. Suzane Mellington and myself  
3 report to Don Horton.

4 For '99, things that we've done from '99, we issued  
5 VA in December. I think that's very low impact here. We  
6 completed and released the technical basis report last  
7 December. We released the site description in January. We  
8 released the draft Environmental Impact Statement in August.

9 Just this Friday, Lake signed for the program, the design  
10 concept, EDA II, and he sent a letter to the Board.

11 Where do we go in the fiscal year 2000? One of the  
12 key things we're doing is implementing a quality initiative  
13 of trying to resolve the issues we've had and the corrective  
14 actions for our qualification data and our model validation.

15 The NRC has made it pretty clear that unless we get a lot of  
16 that well on its way to resolution, then when it comes time  
17 for them to make sufficiency comments on our site  
18 recommendation, we might have some issues that they might  
19 produce. So, we have to really work on that. But, we're  
20 also going to do it for ourselves to get our program in good  
21 shape.

22 We are preparing--and you're going to hear a lot  
23 about this over the next two days--Process Model Reports  
24 which are key inputs to the TSPA and the system description

1 documents for the design inputs that we're going to use for  
2 next version of the TSPA and our site recommendation  
3 consideration report. And, of course, we're implementing  
4 Design Alternatives II, as I mentioned already.

5           We're conducting testing and there's several  
6 presentations on testing to understand our key parameters.  
7 We're to complete TSPA--we're at zero--next September or  
8 September 2000. We're preparing for fiscal year 2000, the  
9 site recommendation consideration report, you know,  
10 internally. We're conducting public hearings on the EIS.  
11 We're going to work if the hearings are finished on  
12 finalizing EIS and we're trying to resolve the status of the  
13 DOE siting guidelines for evaluation of suitability for the  
14 site recommendation.

15           The acting director, Lake, has approved the M&O  
16 recommendation. Lake talked about this a little bit. So, I  
17 really won't go over it. The key thing is that we added some  
18 conditions that the closure could occur between 50 and 125  
19 years. At 50 years, some of the rock around the drifts will  
20 be above boiling. At approximately 125 years, we don't  
21 believe any of the rock would go above boiling, but with  
22 maintenance can be kept open for 300 years. This gives a  
23 very flexible design as we better understand postclosure  
24 thermal conditions and we can modify the design of the future

1 and also allow us the option, as Lake said, if the future  
2 generations of the site want to close.

3           Okay. Our planned testing depends on the needs for  
4 a new EDA II. We've got a lot of comments from external  
5 oversight groups including the TRV. We keep learning about  
6 the site and understanding the site conditions and, of  
7 course, the repository safety strategy and how we're going to  
8 get to the license application assuming it's site suitable.

9           You'll hear a lot about testing in the next two  
10 days, but basically seepage is one of the big issues and  
11 these types of tests here are to address issues on seepage.  
12 Again, flow and retardation are big issues at Calico Hills.  
13 Drift scale heater tests for hydrothermallogic conditions. A  
14 lot of concern about retardation in the saturated zone and  
15 that's what the 40 Mile Wash is, in part. Waste package and  
16 engineered barrier system are very important in our design.  
17 Those need to be understood. Of course, National Analogue  
18 studies is one of the key additional confidence builders that  
19 we have in our repository safety strategy.

20           Revision 3 of the RSS is in draft form. We've  
21 decided not to finalize just yet until we have a meeting with  
22 TRB and get input from the TRB before we finalize it.  
23 Currently, we're thinking of finalizing sometime in the  
24 middle of October. So, any comments that TRB has would be

1 very useful for us in finalizing this version of a strategy.

2 This, as somebody mentioned, is a little document. This is  
3 Rev.3. Next summer, we will have a Rev.4. It will include  
4 the updated design, EDA II. It focuses on understanding the  
5 principal factors most important to repository performance.  
6 There will be a lot of discussion of that of the seven key  
7 principal factors. It discusses the approach of adequacy of  
8 information and prioritizes future work and describes how to  
9 implement TSPA and what we call barrier neutralization  
10 analyses.

11 The EIS, a few words on the EIS. Once the public  
12 comment period closes in February, the revised EIS, it goes  
13 on the 24th of July into internal headquarters concurrence  
14 and we'll plan to publish it on November 17, 2000.

15 The EIS has been lightly distributed, although we  
16 should have been smart and had several copies out on the  
17 outside table here in both hard copy and CD-ROM. It's  
18 available through our project website, it's available through  
19 the DOE Office of NEPA Policy, and it's available by just  
20 calling that phone number. All the references are in four  
21 reading rooms. The EIS itself is in many, many libraries  
22 throughout the country.

23 When the public notice went out, we had 16 meetings  
24 scheduled for the EIS. I understand we're adding a 17th



1 meeting for Carson City public hearings.

2           This is a very busy chart. I just want to point  
3 several things out on this chart. This is our schedule to  
4 site recommendation. Today, we are right about here. You'll  
5 notice originally we were going to have the repository  
6 strategy done by the end of September. That repository  
7 safety strategy will be revised for Rev.4 roughly in July of  
8 next year. By November of next year, we will have the final  
9 EIS. We will have site recommendation hearings and comment  
10 notice of hearings. We will ask the NRC for sufficiency  
11 comments. We will release the site recommendation  
12 consideration report for public review and that will happen  
13 next November. We hope to get sufficient comments from the  
14 NRC May 25 of '01, and if we stay on schedule, the Secretary  
15 will issue a decision roughly June 26 of '01. Those are the  
16 key dates. Rev.00, as we call it, of the TSPA comes in on, I  
17 guess, August 1, '00 and that feeds the consideration draft.

18       And, Rev.01 of the TSPA comes in April 1 of '01 and that  
19 feeds the site recommendation.

20           This is our pyramid for site recommendation.  
21 Working from the bottom up, this is all the detailed  
22 information the project has collected over the years. That  
23 feeds up into various summary type documents such as the  
24 system description, the Process Model Reports, the TSPA-SR,

1 repository safety strategy. The area surrounded by the green  
2 is roughly what we will be issuing for the consideration  
3 report. Those are prepared by DOE. We're thinking of four  
4 volumes. Volume 1, Volume 2 which would be issue the  
5 consideration draft, Volume 3 which is summary of views of  
6 outside parties, and the Secretary's response, and Volume 4  
7 which is the NRC's sufficiency comments. So, those four  
8 volumes we make in our current view of site recommendation.

9 In the site recommendation consideration report, we  
10 would issue Volumes 1 and 2 which should be all a preliminary  
11 nature and a status at the time for public comment. But,  
12 that's what would come out next November.

13 Now, adequacy of information, there will be a lot  
14 to be said about adequacy of information. I just want to  
15 make two points here. First is that we've been studying the  
16 site for many, many years. We have about spent \$4 billion by  
17 the time site characterization is done. We have had enough  
18 confidence that new information won't make radical changes to  
19 our understanding. If there are radical changes, it seems to  
20 me that you're not ready to go into the site recommendation.

21 You have to have enough confidence that new information will  
22 not make major changes.

23 Secondly, you have to be able to put together a  
24 defensible compliance position because we need to comply with

1 the regulations that will be in place. We're working very  
2 hard and have got extensive documentation. We're working  
3 very hard in integrated product, a traceable product, and a  
4 defensible product. All of our business practices have  
5 improved this year to make sure we can have traceability and  
6 improve our transparency.

7           Process Model Reports and analysis and model  
8 reports which feed the process models are very important.  
9 It's a way to put all the information together in a  
10 structured and controlled environment so that other parties  
11 who look at this can see how it's been done. The same with  
12 system description documents for design and all of these feed  
13 together and are the building blocks of the future TSPA.

14           This is a larger diagram that, I believe, Lugo will  
15 talk about in his talk on PMRs, but it gives you the sequence  
16 of events. I felt it a very nice diagram to show the  
17 sequence of events. The first Rev of the Process Model  
18 Reports will start coming out this fall. The integrated site  
19 model at the very top here comes out the end of October. Is  
20 that date right? Why does it say 12?

21           SPEAKER: DOE approval date.

22           BROCOUM: DOE approval date. Okay. The other Process  
23 Model Reports will come out between April and late May of  
24 next year. Those analysis from those reports will support

1 the TSPA-SR Rev.0 which will, in turn, support the site  
2 recommendation consideration report. As new information  
3 comes in that we're collecting this year and so on, those  
4 Rev.0 PMRs will be a updated to Rev.01. Rev.01 PMRs will  
5 support TSPA-SR Rev.01 which will support the SR. New  
6 information has come in as we improve the Process Model  
7 Reports. That will be updated to Rev.2. Rev.2 will support  
8 the TSPA that we eventually do for LA assuming the site is  
9 suitable which will support the LA. That's kind of the  
10 logic. This schedule, of course, depends on the funding  
11 situation. Lake has said we'll try to hold the schedule for  
12 SR under most budget scenarios. LA depending on the budget  
13 may have to be readjusted.

14           The system description documents define the design  
15 and there's a series of them that are being prepared for many  
16 or different systems of the design. They will provide and  
17 demonstrate compliance with what we call QL-1 which was  
18 safety issues that directly affect the public and QL-2 which  
19 are safety issues at minimal grade that indirectly affect the  
20 public.

21           So, this kind of summary slide, we're working on  
22 now and getting better. Culture of excellence where the big  
23 job in fiscal year 2000 is to prepare the final EIS and  
24 prepare the technical basis for the site recommendation

1 consideration report. We're implementing EDA II. We're  
2 hoping to get the guidelines all straightened out during  
3 fiscal year 2000.

4 I talked about adequacy and there will be a lot  
5 more debate on that in the next two days. Rev.3 will be  
6 finalized after this meeting on its way, of course,  
7 eventually to becoming Rev.4. And, of course, in fiscal year  
8 2001, right now we're planning to issue the final EIS and the  
9 site recommendation consideration report.

10 Thank you.

11 KNOPMAN: Thank you, Steve.

12 Questions from Board members?

13 COHON: On this very last slide--also, it came up on 18  
14 --this point about adequacy information, this first point is  
15 a useful one and I know it's been said before it sort of  
16 crystallizes a key point. First, one statement about it and  
17 then a question for you. The observation is that first point  
18 about the impact of additional information is a useful, I  
19 guess, in being able to determine that even though, let's  
20 say, uncertainty is high on a particular parameter, if you  
21 believe that new information will not reduce that  
22 uncertainty, then you've still met this test. Now, I  
23 understand that the second point goes with the first. That  
24 is you still have to have a defensible safety case. But,

1 there must be some kind of time dimension in this. That is  
2 given enough time, like infinite, you could know whatever you  
3 need to know about the mountain. So, there's some judgment  
4 that has to go into applying this first threshold. Have you  
5 talked through that yet, thought through the time issue here?

6 BROCOUM: Well, I'm not sure, you know, if perhaps given  
7 an infinite amount of time, we could understand the mountain,  
8 but we have spent, you know, like 15 years and close to \$4  
9 billion. So, I would say that we have probably spent quite a  
10 bit of money on this piece of real estate called Yucca  
11 Mountain. So, we've probably studied that more intensely  
12 than most other areas, you know, that have been studied in  
13 the world. So, I think there's been intense study at Yucca  
14 Mountain, you know, with all national labs and the M&O and  
15 the USGS. So, this has been an intense look at Yucca  
16 Mountain. Say, if we can't go into the site recommendation  
17 and say, you know, we think we've got a pretty good  
18 understanding and we think we know what's important and I  
19 think--and what's less important? If these important things  
20 change or go out in ranges that we're considering for, then,  
21 you know, they may make some changes. You know, if things  
22 radically change, I think we're not ready for a site--  
23 personally, we're not ready for site recommendation. That's  
24 where I am.

1           COHON: Yeah, I except that. I think that's a very  
2 useful way to proceed. I'm thinking about gray areas.  
3 Here's an example. Suppose you were told by one of the labs,  
4 you know, Steve, if we just had five more years, we could  
5 really give you a terrific model about corrosion rates of C-  
6 22. You've got to make the judgment, you know. How much  
7 more do I really get out of five more years of testing? I  
8 just wonder if you've talked through or thought through those  
9 kinds of gray areas?

10           BROCOUM: Well, in the last five years, probably  
11 somebody would say give me five more years and--scientists  
12 always ask more questions than answers. I mean, that's just  
13 the nature of science. At some point, you have to make  
14 decisions and that's what you're discussing. Is it a  
15 reasonable decision or what you make of the decision and move  
16 on. That's kind of what we're going to be talking for the  
17 next two days. There is no simple answer to that. I think,  
18 Lake said there wasn't a simple answer to that. I can't  
19 stand here and give you a simple answer to that. But, I  
20 think you'll hear collectively we're thinking through as we  
21 develop the repository strategy, we're trying to focus on  
22 what's really important. I know there's some controversy  
23 over that, but you'll hear, you know, the seven principal  
24 factors that people are focusing on. Those are the ones.

1 Some of the other factors, there's a lot of changes in the  
2 range. So, it doesn't make any difference to the result.  
3 We're trying to focus on what makes a difference, say, to the  
4 results on how the thing performs.

5 COHON: Good. And, I just want to make sure  
6 acknowledging that the program is going to be under  
7 tremendous pressure even more than it's under now one year  
8 from now that you don't decide that you've got all the  
9 information you need because it's September 2000 and not  
10 because of, you know--you see the point. Thank you.

11 BROCOUM: It's a big challenge to get to September or  
12 November of 2000. I acknowledge that right up front as being  
13 the one that's in the middle of trying to get that done.

14 KNOPMAN: Dan Bullen?

15 BULLEN: Actually, Steve, if you've got #21, if you can  
16 go back to that, the multi-colored one which we have seen  
17 before. I guess, the followon question is that if the PMRs  
18 are all going to be done by 04 of '00 and 05 of '00, I  
19 understand that the drafts of those have to be done even  
20 sooner. And so, the input or the time frame put for a new  
21 date is essentially either fast approaching or has come and  
22 gone. Could you talk about the ability to incorporate the  
23 new data that would tell you whether or not you have a fatal  
24 flaw in these PMRs or essentially is it what we see is what



1 we get right now based on the data that we have in hand?

2 BROCOUM: Well, as new data keeps rolling in, you always  
3 compare it with what you had. You know, and if it reinforces  
4 what you know already, you can kind of rely. If it tells you  
5 something new you didn't know, then you've got to sit back  
6 and reconsider. I think we always plan to operate that way.

7 This is a schedule. Schedules, you always have to plan out  
8 your work and so there's--you know, so if something was to  
9 come in right here between--let's say right here, just for an  
10 example, between Rev.0 and Rev.01, oh, you know, something  
11 outside that we were expecting, I think we have to go look at  
12 it. Okay? So, we've always done that. But, we have project  
13 management and we have schedules and assuming there's no big  
14 surprises, we go on. But, if there's a big surprise, now, we  
15 say, no, no, let's reconsider which I think is similar to  
16 what I said earlier.

17 BULLEN: I guess as a follow on to that, based on the  
18 fact that you're worried about budget limitations now, there  
19 may be no new data between Rev.0 and Rev.01?

20 BROCOUM: No, but a lot of testing will be going on and  
21 you will be--

22 BULLEN: Is that--I mean--

23 BROCOUM: --hearing about that from Jean and Mark Peters.

24 BULLEN: Okay. Great.

1           BROCOUM: So, exactly how that will be, I think they'll  
2 tell you.

3           BULLEN: All right.

4           KNOPMAN: Don Runnells?

5           RUNNELLS: Could we look at Slide 23, please? Could you  
6 expand, Steve, just a little bit on that last bullet. As you  
7 flew by it, you used the words "and get that all straightened  
8 out". I can't link that bullet into the schedule and into  
9 the logic diagram.

10          BROCOUM: Was it '96 we published a proposed rule for  
11 Yucca Mountain and the Department has been thinking about  
12 that ever since. And, I'm not sure. Lake made some comments  
13 on that in his talk. Okay? That rule is an interagency  
14 review. Can I say that because I said it already. Once that  
15 gets out of interagency review, it will be published as  
16 second proposed rule, Part 963, which is the Department of  
17 Energy's siting guidelines. Assuming that is finalized, we  
18 will use our new siting guidelines for evaluating Yucca  
19 Mountain for consideration for site recommendation. The  
20 current guidelines that are in place right now are 10 CFR  
21 960. They've been in place since 1984. With the NRC coming  
22 out with a new proposed rule 10 CFR 63, with the EPA coming  
23 out just recently with their proposed rule that Ray Clark  
24 talked about, Part 197, the regulatory--you know, was kind of

1 in flux, the regulatory infrastructure, if you want to call  
2 it that. So, we're trying to work through all of this and  
3 we're trying to project what we think the rules will be. So,  
4 we are working in a kind of not a very constrained  
5 environment right now in terms of regulations.

6 RUNNELLS: That helps. I know and understand what you  
7 meant by get it all straightened out.

8 BROCOUM: Yeah. But, the key regulations will be 197  
9 from the EPA, 963 from the NRC, and 960/963 depending on how  
10 it all ends up from the DOE.

11 RUNNELLS: Okay, thank you.

12 BROCOUM: And, I'm looking at Lake here because I always  
13 have to be careful on the rules not public yet.

14 KNOPMAN: May the record show Lake put a thumbs up  
15 there.

16 BROCOUM: Okay.

17 KNOPMAN: Thank you, Steve.

18 I'd like to move on so that we make sure we do have  
19 time in the public comment period. Our next speaker is Abe  
20 Van Luik. He's going to give us an introduction to the  
21 repository safety strategy.

22 VAN LUIK: I want to talk about the repository safety  
23 strategy. It's basically going to be the subject for the  
24 rest of today. I want to introduce the subject so we can go

1 to the first viewgraph.

2           The repository safety strategy and the postclosure  
3 safety case are not the same thing. The repository safety  
4 strategy is a plan to develop the postclosure safety case  
5 appropriate for each stage of decision making. It starts  
6 from the current postclosure safety case and adds to that an  
7 assessment of the current confidence in the safety case and  
8 the confidence needed for the next level of decision making.

9           The evolution of the repository safety case, we put  
10 out a Revision 1 which was based on the information from site  
11 characterization and looked at specific hypotheses to be  
12 tested in further characterization. We put out a Revision 2  
13 which was based on the updated information available at the  
14 time and the VA system concept. It was the initial site-  
15 specific proposal for a safety case and identified 19  
16 principal factors and the need to evaluate design  
17 enhancements. Now, we are working on Revision 3. It is in  
18 draft form. There are policy discussions going on within the  
19 DOE about its content and it should be done pretty soon, I  
20 would think, but it's based on the updated information from  
21 the VA experience and SR design enhancement. It updates the  
22 list of factors and the proposal for the safety case, focuses  
23 on seven principal factors and plans to simplify remaining  
24 factors where appropriate.

1           The strategy continues to develop under the  
2 postclosure safety case. I think I'm probably over-  
3 emphasizing that both the strategy and the safety case are  
4 living entities that, as soon as you learn something  
5 significant, you update them. Looking at current and needed  
6 confidence, we did that in Rev.2; we're continuing that in  
7 Rev.3. We are considering input, for example, from this body  
8 right here, regulators, stakeholders, public, on the adequacy  
9 of the safety case. Based on this assessment, it specifies  
10 plans to adjust the system concepts, the barriers to be  
11 relied on to obtain additional information and additional  
12 science--and by science, I also mean the engineering testing  
13 world--increasing the assessment capability, and modeling  
14 development. It has a discussion of prioritizing the  
15 remaining work, focusing on principal factors. What it does  
16 not do in Rev.3 and which it can't do is look at the impacts  
17 of budget. It just says here's your priorities and principal  
18 factors. To then go specifying what your work detail is  
19 going to be for the next year or two is a different call.  
20 You will not find that in the safety strategy. The updated  
21 safety case follows from a safety assessment after  
22 adjustments and new information. In other words, after you  
23 have done all this work, you still need to do a safety  
24 assessment before you can update it again.

1           This is a picture of what I just said. You have a  
2 safety case. You do a confidence assessment, look at your  
3 technical basis updated, go back and do a safety assessment,  
4 and then you update your safety case. This is like a bicycle  
5 wheel. We have a lot of questions about which comes first,  
6 the chicken or the egg. You know, do you do the safety  
7 assessment first, do you do the strategy first? Now that we  
8 are into this loop, this loop is revolving and it really  
9 makes no sense to historically try to point out what's going  
10 on.

11           We can go to the next viewgraph. The original of  
12 this--I think, it's instructive--said SR and LA, but really  
13 it could also say VA and SR design. SR design became a  
14 decision because in the confidence assessment that we did  
15 after we did the work for the VA, we said makes a very good  
16 case for 10,000 years, but the depth of confidence is not  
17 there where we are really comfortable with it and so this was  
18 like an intermediate step before the SR decision. So, we  
19 plan to continue this, and as soon as information determines  
20 the need for it, we will rev it again probably next year or  
21 in two years.

22           Confidence and long-term safety is a crucial issue  
23 for the site recommendation and the licensing decisions.  
24 It's not just that you have a number that looks good, but

1 it's also that you can demonstrate that you have confidence  
2 that that number is meaningful. The postclosure safety case  
3 is the evidence to provide confidence sufficient for each  
4 stage of decision making. This is important, too. The VA  
5 was not the same as the LA; the SR is not the same as the LA.  
6 Repository decisions proceed as information is developed.  
7 Consequently, the safety case evolves. I've probably  
8 overstated that quite a few times, but it's an important  
9 concept. Based on the current status of the safety case, the  
10 strategy proposes needed adjustments to that case and  
11 prioritizes the work to get there. That's what Rev.3 is all  
12 about. That's why we're doing it.

13           What is the nature of the postclosure safety case?  
14 Some of you are familiar with a document from the OEC/CDA NEA  
15 and might recognize some of the sequence of thought here.  
16 But, before you can develop a safety case, you have to have  
17 some prerequisites. You have to have a system concept. You  
18 can't make a safety case that has no bearing on any system.  
19 And, you have to do an assessment of safety of that concept  
20 so you can see how it works. It includes a discussion of the  
21 status of the technical basis for the safety assessment, an  
22 evaluation of safety margins, a formal statement of the  
23 degree of confidence and a description of the approach to  
24 confidence for each aspect of that assessment. It provides

1 feedback to future development to address remaining issues  
2 and is revisited whenever substantive new information is  
3 developed. This is the NEA's thought on the topic and this  
4 is exactly what we're trying to implement.

5           The original case in our particular application was  
6 in the site characterization plan. It's actually a very nice  
7 discussion of why we at that time thought Yucca Mountain  
8 would work as a repository. It was based on a preliminary  
9 assessment of the roles of the geologic and engineered  
10 barriers. It was the basis for the strategy for site  
11 characterization to design development at that time and model  
12 development. Now, the case has become more focused and has  
13 changed in some areas, but it is not a brand new totally  
14 radically different approach. As information has been  
15 acquired, design has evolved, and also as regulations have  
16 changed.

17           If we look at the safety case, a question that I  
18 get all the time is what's the difference between the safety  
19 case and the safety assessment? The total system performance  
20 assessment is the safety assessment. Well, the safety case  
21 is basically the body of evidence. It includes a TSPA. TSPA  
22 is a very important part of it, but also it discusses the  
23 design margin, the defense-in-depth. It discusses disruptive  
24 processes and events that may or may not be part of the



1 safety case and discusses why they are or are not thought of  
2 as part of the safety assessment. This is getting tricky.  
3 It is discussed as insights from natural analogues that have  
4 bearing on the safety case and it discusses what you're still  
5 working on to provide further confirmation of your safety  
6 case. So, all of these things together are the total bag of  
7 things that you bring in to make a case for safety.

8           Now, when we get specific to the SR which is the  
9 next big ticket decision the DOE and all of society basically  
10 is going to make, TSPA-SR will address all factors  
11 potentially contributing to postclosure performance. It will  
12 perform sensitivity and uncertainty analyses. Design margin  
13 and defense-in-depth for the SR will be looked at through the  
14 enhanced design that you're quite familiar with and it will  
15 have an additional assessment of the contribution and  
16 significance of barriers. Disruptive processes and events,  
17 we will do qualitative assessments of key scenarios and we  
18 will do a quantitative inclusion of FEPs in the overall TSPA.

19    Insights from natural analogues, in each Process Model  
20 Report, PMR that Steve mentioned, you will see a discussion  
21 of possible natural analogue insights and also natural  
22 analogue information that has actually been used in the  
23 context of developing the process model. And then,  
24 performance confirmation, we will have sufficient detail in

1 the plan for SR to show what we are continuing to work on  
2 even as we make this decision at this point in time.

3           An example of what you will find in the strategy,  
4 Revision 2 of the strategy had the key attributes. The key  
5 attributes basically haven't changed any except that we have  
6 streamlined the wording a little bit. But, the strategy of  
7 the key attributes of it remain the same. It's what  
8 important in the implementation of it that have changed.  
9 And, here, we have a listing. It's a longer listing this  
10 time than it was last time partly because the new design  
11 introduces some new features that all become factors for  
12 enhancing system performance. However, key--you remember the  
13 19 to seven that I mentioned in a previous viewgraph. Out of  
14 this list, there are seven that are considered key. I don't  
15 want to go into that now, but when the draft is approved by  
16 DOE, you will see a table in there that explains these and  
17 what the basis is for those decisions.

18           We said something a while ago that might have  
19 peaked your interest; assessing the safety case confidence at  
20 each stage of the decision making is an important aspect of  
21 the overall discussion of safety. At each stage of decision  
22 making--like, SR is a stage of decision making--we need to  
23 assess the robustness of the system concepts, whether it  
24 favors safety, whether it limits or mitigates uncertainty.

1 Assess the quality of the safety assessment. Does it  
2 explicitly account for uncertainty? Does it incorporate  
3 multiple lines of evidence? Assess the reliability of the  
4 performance assessment. Does it observe appropriate  
5 principals, criterias, and procedures? Have the models which  
6 are the basis for it at the process level been adequately  
7 validated? And, are the computational tools free from error?

8           How do we build confidence into safety case over  
9 time? Well, one good way is to look at multiple lines of  
10 evidence. Performance assessment indicates margins and  
11 importance of features, events, and processes, scenarios, and  
12 sources of uncertainty. Qualitative assessments including  
13 insights from natural analogues and identification of  
14 multiple diverse barriers. Alternative interpretations and  
15 opposing views; this has been handled very nicely, I think,  
16 in the EIS and we want to adopt the same approach in the SR  
17 and the LA. And, that is to acknowledge opposing views on  
18 certain issues, and to the extent that it makes sense to do  
19 so, do some analyses to show whether or not those views mean  
20 anything in terms of long-term safety. Accounting for  
21 phenomena relevant to safety. Another thing is that internal  
22 to the project we have a lot of alternative interpretations  
23 of our own data. We have alternative conceptual models. All  
24 of these are going to be discussed, and to some extent,

1 incorporated into the analyses. And, we want to give some  
2 assurance that cases of significant consequence and uncertain  
3 likelihood can be dealt with. In other words, you have to  
4 show a capability that it's not extremely limited to only  
5 those things that you tend to find with the short-term  
6 testing that we're looking at.

7           We are going to continue development of the safety  
8 case. This is not the last word. The case will continue to  
9 be evaluated and presented throughout repository development.

10 So, even after the license application is in, we will  
11 continually reevaluate it. As information about the sites  
12 increases and the focus on factors most important to  
13 postclosure performance changes, we will revisit it. Looking  
14 at the information for performance confirmation which goes  
15 right with the first bullet, if we make further changes in  
16 design, particularly those that would enhance performance,  
17 enhance robustness, thermal design, and performance--the  
18 thing that Lake Barrett talked about this morning, if after  
19 25 or 30 years of testing we decide that the issue is more  
20 important than we thought or less important than we thought,  
21 we will change the safety case and the safety strategy will  
22 be changed. And, if regulations and standards in the future  
23 would change, we would also revisit this whole arena. So,  
24 the repository safety strategy, you can expect to see updates

1 to as soon as important information in any of these  
2 categories comes up.

3           That's my introduction, basically, to what other  
4 people are going to be referring to which is the  
5 implementation of the repository safety strategy and the  
6 continued testing and then the performance assessment arenas.

7           KNOPMAN: Thank you, Abe.

8           Questions from the Board? Paul Craig?

9           CRAIG: You did make reference on Page 10 and some other  
10 places to the concept of defense-in-depth which, as you know,  
11 is very important to the Board. We refer to that rather  
12 frequently. To what extent are you going to explore the  
13 expansion of the one-off concept? We're concerned about the  
14 relative role of the engineered barriers versus the mountain.  
15 It would be very useful to be able to split those apart and  
16 discuss exactly how the mountain performs all by itself and  
17 how much the engineered barriers contribute. Can you analyze  
18 that for us?

19           VAN LUIK: In fact, one of the internal discussions  
20 we're having on RRS Rev.3 is that it does contain one  
21 approach to that type of analysis. Part of the internal  
22 discussion we're having is that in order to do that analysis,  
23 you do them to gain insights and that's the only reason you  
24 do them because you're evaluating scenarios that cannot

1 possibly happen. Their likelihood is zero. So, we have them  
2 in there right now. We show that the mountain has a role  
3 about eight orders of magnitude reduction in potential dose  
4 from the mountain itself. But, the reason that you create a  
5 system is because you're not relying totally on that. You  
6 also have to take care of a couple of other orders of  
7 magnitude and that's why you invoke an engineered system.

8           So, one of the internal discussions is is the  
9 current approach to showing that--there's no quarrel with  
10 needing to do it, but is a current approach to showing that  
11 the right approach or should we go to a more probabilistic  
12 approach that stays within the bounds of what we think the  
13 expected roles of these things would be. So, there is  
14 discussion on that. In the draft that we currently have,  
15 there is an example of calculations set and we will determine  
16 very quickly whether we stay with that or go with a different  
17 approach before we issue this version. But, we're committed  
18 to do that, yes.

19           KNOPMAN: Dan Bullen.

20           VAN LUIK: Should have just yes, I guess.

21           BULLEN: Actually, right here on the same viewgraph  
22 where you talk about performance confirmation, do you see the  
23 postclosure safety case as driving performance confirmation  
24 or do you think that performance confirmation will make

1 significant changes to the safety case?

2 VAN LUIK: It's a revolving wheel, yeah.

3 BULLEN: But, the followon question here is that if your  
4 performance confirmation doesn't test a more aggressive  
5 environment, then you won't have any reason to update your  
6 safety case. Is that not correct?

7 VAN LUIK: This is a discussion we've had internally  
8 that you drive performance confirmation through the strategy,  
9 through the needs of the safety case. At the same time, if  
10 you only--and this is why I don't like the word performance  
11 confirmation. If you only do those tests that you know will  
12 confirm what you've already found, then it's a self-  
13 fulfilling process and you're wasting everybody's money and  
14 time. So, performance confirmation has to honestly look at  
15 those issues where we still need more information to close  
16 the uncertainty gap and there is the possibility that we will  
17 have surprises, although we are not planning to aggressively  
18 look for surprises in some areas. But, it's a balancing act.

19 BULLEN: But, by aggressively looking, if you don't find  
20 the surprises, then you're a little bit more convinced that  
21 the repository safety case that you're building is robust  
22 enough to meet the needs of post-closure time.

23 VAN LUIK: Yeah.

24 BULLEN: And so, that's why I asked about aggressive

1 testing as opposed to just performance confirmation.

2 VAN LUIK: Oh, that's what you meant by aggressive?

3 BULLEN: Yes. I mean aggressive so that you can--if you  
4 want to relax the temperature limits, for example, or you're  
5 going to have a hot drift. I mean, that's sort of the issue  
6 that you want to take a look at.

7 VAN LUIK: Or do you install some kind of a testing  
8 mechanism to test pieces of the hot drift?

9 BULLEN: Right. Maybe, that hot drift may not perform  
10 as you're expecting. So, you have to abandon that drift and  
11 put it somewhere else because it has to stay cooler, but  
12 that's why I'm interested in an iterative process of the  
13 safety case because if you want to look at performance  
14 confirmation--I mean, in estimates, if you ventilate for 50  
15 years, there won't be anything to worry about because there  
16 won't be any surprises. If you're going to try and take an  
17 aggressive stance and you want to say, well, we really can't  
18 close at 50 years, you have to have the data to support that.

19 That real data should be data from the repository that says,  
20 yeah, the performance is as expected and so we think that our  
21 projections are correct. But, if you don't have the  
22 aggressive environment, you won't be able to make that case.

23 VAN LUIK: Yeah. And, Lake made the commitment this  
24 morning that during that 50 year period, we will do the



1 testing that will give us a definitive word on whether or not  
2 we close off at that point or go further. But, the reason I  
3 was a little cautious about the aggressiveness is because we  
4 don't want to do things that we intuitively know are not  
5 going to lead anywhere.

6 COHON: Abe, will one of your colleagues be addressing  
7 in a later presentation how the seven factors were chosen  
8 from the list of 27?

9 VAN LUIK: That is not in the presentations that we were  
10 going to make this time. In fact, that's part of what the  
11 internal dialogue over the content of this report is still  
12 about is the--basically of that going from 19 to seven. But,  
13 we will be looking at some of the consequences of that in the  
14 planned testing and the plan analysis work. We were just  
15 simply not planning to go into that, although once the  
16 document is out in public, it certainly will be there in some  
17 detail.

18 COHON: Can you say just a few words about the process--  
19 I mean, the considerations that go into the choosing of the  
20 seven?

21 VAN LUIK: Yeah. The considerations I went into were  
22 multi-staged. I ran a little pilot program myself first  
23 using DOE and contractor staff to quickly run through what  
24 would be involved in reassessing all the aspects of the

1 safety case and came out with a reprioritization list. We  
2 then handed the whole thing to the M&O and said now we have  
3 shown you one way to do it; now do it right. They brought in  
4 all aspects of the project in some detail, went through and  
5 reevaluated all of the things that were done for RSS 2 and  
6 not only the physical new things brought on by the design,  
7 but also the implications for processes, and then came up  
8 with a list of something like 52 and have gone from 19 to 52.

9 Then, in further discussions, brought that back down to the  
10 list I showed a while ago. I think it's down to 27 or 32 or  
11 something, and then by basically talking through some kind of  
12 consensus as to which one feeds which and which one is a  
13 direct link to performance assessment and which one in  
14 sensitivity studies that were done for LADS 2, for example,  
15 were shown to be key, then came down to that seven.

16 So, that was kind of the process, but I'm not  
17 prepared to go into the nuances of the discussion. There  
18 were, I mean, days and days of large meetings and discussions  
19 on these things which were captured, I think, pretty well in  
20 the notes that are actually in the archives on this decision  
21 making process.

22 COHON: Thank you.

23 KNOPMAN: Dick Parizek?

24 PARIZEK: Viewgraph 12 is obviously a list of things

1 that need to be done and you said that there will be  
2 analogues used to help support the understanding of all of  
3 those process models. On Viewgraph 10, you say, well,  
4 insights from natural analogues obviously is important to  
5 this process. Then, we go on to Steve Brocoum's Slide 9 and  
6 he has natural analogue studies at Pena Blanca as the planned  
7 testing as the only analogue mentioned for which testing is  
8 to be done. Now, that implies that all of the analogue  
9 studies are done and are mature and can be used to support  
10 your process models. I see a disconnect here because I think  
11 there's quite a few analogues that may not have been  
12 investigated that could have been on that investigation list.

13 So, what happened to the other analogues?

14 VAN LUIK: Okay. We internally put together a natural  
15 analogue team. That team pulled together work that had been  
16 done by others and in the literature on multiplicity of  
17 analogues. That work is being basically farmed out and  
18 discussed with the process level modelers. So, there is some  
19 information, for example, from Oklo, from Cigar Lakes, and  
20 from other analogue sites which are not quite mimicking Yucca  
21 Mountain processes, but get insights on those processes and  
22 you will hear tomorrow from Bo Bodvarsson and from Joe Farmer  
23 from Livermore on their particular process models and what  
24 natural analogues they have used not only to sharpen their

1 intuition, but also to kind of guide where they're going.  
2 So, what you saw in these two talks is not the only thing to  
3 the story.

4           Now, the reality of it is that we had a plan laid  
5 out with natural analogue work that we would like to do. The  
6 funding realities for next year are restraining us to only do  
7 something on Pena Blanca next year. The rest of it will go  
8 into the PC plan and will become part of performance  
9 confirmation. So, the story is not over, but it's not like  
10 we are making broad statements about natural analogues that  
11 would only do in one. We've actually done a pretty good  
12 survey, I think, of the excellent literature on the  
13 international work on natural analogues and seen where it  
14 applies to the different models that we're using. So,  
15 there's a little bit more to it, but it's not a full-blown  
16 international search for natural analogues at this point  
17 either. So, it's somewhere in between.

18           KNOPMAN: Thank you, Abe.

19           I have a question. It seemed to me on your Slide  
20 11 when you talk about TSPA-SR and then design margin,  
21 defense-in-depth, the disruptive processes, etcetera, that  
22 there is a certain self-referencing quality here to TSPA.

23           VAN LUIK: Uh-huh.

24           KNOPMAN: So that these are not multiple independent

1 lines of evidence. Everything is getting stacked up in terms  
2 of their significance as it gets crunched through TSPA. How  
3 do you test TSPA with these various other--with insights from  
4 these other sources if you keep going back to the same models  
5 as your basis for evaluating their significance?

6 VAN LUIK: There is kind of an inbreeding and it's  
7 partly the presenter's fault because my focus is TSPA. But,  
8 TSPA is the place where we integrate all that is important  
9 out of these other things. The reason I mentioned features,  
10 events, and processes in a quantitative evaluation of the  
11 FEPs, you know, in a systematic way to create scenarios and  
12 to find out what's important in your system separately from  
13 TSPA is because part of the reason of doing the features,  
14 events, and processes process is to exclude some things from  
15 TSPA as not contributing to performance. So, that's why I  
16 mentioned it separately here. Those that are excluded will  
17 become still part of the safety case because you discuss what  
18 the basis is for the exclusion. But, only those that are  
19 included will then roll up into the TSPA. So, the safety  
20 case will be also a discussion of what is not in TSPA and why  
21 it isn't.

22 Design margin, defense-in-depth, of course, the  
23 design is going to be rolled up into TSPA. It's part of the  
24 system and it's a system performance assessment. But, we

1 will look at the contributions and significance of individual  
2 barriers in separate calculations also in TSPA sensitivity  
3 studies, but also in separate calculations of the type that I  
4 was hedging with Paul on which is, you know, we have done it  
5 one way, so far. There may be other ways to do it. But,  
6 those will be separate analyses reported in the safety case,  
7 but not particularly part of TSPA.

8 KNOPMAN: Okay. That's a longer discussion we can have  
9 at another time. Leon Reiter?

10 REITER: Abe, if this will be answered later on, that's  
11 fine. But, does the safety strategy and/or the safety case  
12 plan to address and evaluate post-10,000 year behavior, and  
13 if so, how?

14 VAN LUIK: We were just having a discussion on this this  
15 morning. The idea behind a license application is to show  
16 that you comply with the regulation that applies which would  
17 be Part 63. Both it and 197 say that you will do a 10,000  
18 year quantitative calculation. The safety strategy for the  
19 SR and LA may or may not be limited to 10,000 years. My idea  
20 this morning was that it would be limited to 10,000 years  
21 because it's addressing 960 and 963 which refers right back  
22 to 63 and 197. The discussion we had this morning with Steve  
23 Brocoum was, you know, there may be valid reasons for showing  
24 something beyond that. So, we had not decided on that.

1 Steve will answer.

2 BROCOUM: You know, when you have a regulation and you  
3 have certain legal requirements so you have a legal hat or a  
4 technical hat on, you'll meet with the lawyers. And, of  
5 course, what they want you to do is put as little as possible  
6 to make your case and not do anything that can get you in  
7 trouble. But, to get the insight for the 10,000 years, you  
8 know, and how it's going to perform, we always felt we had to  
9 do the calculations out beyond 10,000 years. In fact, our  
10 current draft of our repository safety strategy does talk  
11 about doing analyses out beyond 10,000 years.

12 So, I don't see any difference and I don't foresee  
13 any difference in the way we do it in the future than what  
14 we've done in the past for doing the calculations. But, we  
15 put it in a license application and it may be dictated in  
16 some part by, you know, the legal advice, not what we present  
17 in our--we'll always have the analyses that will go out as  
18 they've gone in the past in my view.

19 VAN LUIK: So, the issue is where do you put these  
20 analyses? Do you put them in the documents addressing the  
21 regulation or do you put an additional document out with  
22 these other analyses that give insight? I don't know. So,  
23 it's a policy call waiting to be made.

24 KNOPMAN: Okay. Thank you, Abe.

1           VAN LUIK: Thank you.

2           COHON: And, thank you, Debra. We'll turn now to the  
3 public comment portion of our agenda. Before I call on the  
4 one member of the public who has signed up, I note that  
5 Captain Clark is still with us and I want to express our  
6 appreciation for that. He indicated to us that he has a  
7 reminder of the fact that he is a member of the Public Health  
8 Service and not just on detailed EPA and is on call because  
9 of Hurricane Floyd and, I gather, will have to go muster for  
10 their purpose soon. So, we especially appreciate your  
11 willingness to stay, Captain Clark. I would like to continue  
12 the questioning of Captain Clark and EPA with my own question  
13 and we'll see if anybody else wants to chime in and then  
14 we'll move to you, Judy.

15                   I have a question. It's sort of an all-embracing  
16 one, but it touches on several points that you made, Captain  
17 Clark. It has to do with how the EPA standard anticipates or  
18 EPA anticipates that uncertainty will be a concern in the  
19 application of the standard or standards. You didn't  
20 mention, but we know that with regard to the 15 millirem  
21 standard, I believe, the proposed rule is that the mean or  
22 the median performance, whichever is higher, is to be used.  
23 That's one observation.

24                   And then, in your presentation--no one else has to



1 refer to this. I just want to give you a couple of things to  
2 react to. In talking about reasonable expectation, you made  
3 the point that it takes into account inherently greater  
4 uncertainty of long-term projects. You made the point that  
5 EPA expects reasonable bounds to be considered and later on  
6 you make the point that--here's a quote, that it will include  
7 a full range of reasonable parameter value distributions. I  
8 have not read the standard. So, all I have to go on is your  
9 presentation and the summary that I've seen elsewhere. Other  
10 than the mean median thing, is there any part of the rule  
11 that requires DOE or NRC to use values other than those two  
12 things? That is some specific way in which bounding is to be  
13 used or the full range of parameter values as you say here?

14 CLARK: I think the only factors that we specified are  
15 those that are referred to in the groundwater standards of  
16 the two liters per day in the Lathrop Wells location. Other  
17 than that, it's essentially up to the implementing agency  
18 which is NRC in this case.

19 COHON: Okay. Thank you.

20 CLARK: Uh-huh.

21 COHON: Are there other questions for Captain Clark?

22 (No response.)

23 COHON: Judy, will your comments be--do you have any  
24 questions directed to Captain Clark? If not, we can release

1 him from this captivity. Okay. Thank you very much, Captain  
2 Clark. We appreciate your willingness to stay later.

3 CLARK: Certainly, and I'm sorry if I caused confusion  
4 earlier when I hesitated on my answer.

5 COHON: I understand. I now call on Judy Treichel who  
6 asked to be heard.

7 TREICHEL: Was this an effort to make Hurricane Floyd  
8 more attractive to Ray?

9 COHON: We may have.

10 TREICHEL: I have two things and one of them is  
11 something that you've heard for years and years and years.  
12 It's my problem with the word "stakeholder" and it was used  
13 twice today; on one slide that Abe had on Page 4 and on Steve  
14 Brocoum's Page 13. It's very obvious and it was made obvious  
15 to me years ago that stakeholder means the nuclear industry  
16 and people argue about that and call me a valuable  
17 stakeholder, but I refuse to accept that title. And, the  
18 fact that it's used in the way that it is, I think is  
19 important because the word "reasonable" gets thrown around  
20 and has been thrown around a lot today. Our question has  
21 always been reasonable to who? And, I think it's reasonable  
22 to the stakeholder, to the nuclear industry, when we're  
23 talking--in the way that we use that word.

24 Where I'm going with this is the safety strategy

1 used to be--or the repository safety strategy used to be  
2 waste isolation and containment. That was very easy to  
3 understand. But, now, we've moved--because Yucca Mountain  
4 does not contain and does not isolate waste, we've moved into  
5 this safety strategy which is real sort of hazy. As Abe was  
6 talking about in his presentation, there's this evolving or  
7 changing or the safety case needs to change. And, if Yucca  
8 Mountain was isolating and containing waste, safety strategy  
9 wouldn't be changing. It would be safe and you wouldn't have  
10 a standard that had to meet a test of reasonableness.

11           And, as Lake was--when he got up and commented that  
12 if you didn't have a reasonable standard that you might rule  
13 a repository in any fresh water environment which I guess  
14 makes a distinction between WIPP and Yucca Mountain. And, I  
15 don't think that's terribly important. You might, in fact,  
16 rule this one out and you don't always have the sort of red  
17 herring that gets thrown in where you have the choice and the  
18 EIS does this, too, and I certainly will be commenting on it  
19 where you get a choice between having Yucca Mountain or  
20 having just an abandoned batch of waste everywhere and that's  
21 not the case. You don't have to do one or the other. And,  
22 Yucca Mountain isn't the only thing that saves you from  
23 having abandoned wastes in all kinds of places in the  
24 country. I think reasonable people would understand that.

1 And, now, we're down as cruel as reasonably acceptable. I  
2 won't even talk about that. That's ridiculous.

3 And, we have the reasonably maximally exposed  
4 individual and I don't have any battle with that. I'm very  
5 glad that EPA came down in the way that they did that, but  
6 this person has to be protected; not reasonably protected,  
7 but just plain protected. And, if Yucca Mountain doesn't do  
8 that, then we don't need Yucca Mountain or we're certainly  
9 not ready for it and that comes into these discussions that  
10 were with Steve Brocoum about, you know, supposing in five  
11 years, you could find out something important? Well, there's  
12 been \$4 billion in 15 years. Some people would argue that  
13 for many of those years, they were doing the wrong work.  
14 Perhaps, not doing it wrong, but doing the wrong work.

15 So, I don't know that you can put a line in the  
16 sand and that's the sort of thing that has the public, at  
17 least in Nevada and I'm quite sure in other places, too, very  
18 nervous about this project and the kind of wordsmithing that  
19 goes on.

20 Thanks.

21 COHON: Thank you. Does anybody wish to respond to that  
22 or pick up on any of Judy's comments?

23 (No response.)

24 COHON: I would like to just elaborate on one point you

1 made, Judy. This issue of reasonable expectation or  
2 reasonable assurance, in this case reasonable expectation, is  
3 really something that can't be avoided. You need something  
4 like that and that's because of uncertainty. We cannot know  
5 and no one can say exactly how this repository or any other  
6 repository will behave.

7           So, it's unavoidable that one has to deal with  
8 probability and uncertainty. And, what we need is some  
9 measure of that or some guidance on it. What we've gotten  
10 from EPA is reasonable expectation as we just heard from  
11 Captain Clark. The interpretation of that is up to--I'm  
12 putting words in his mouth--the NRC. Your point about  
13 reasonable expectation to whom is well-taken, but it's  
14 unavoidable.

15           Any other comments or questions from anybody? Yes?

16           KESSLER: John Kessler, EPRI. It's along the same lines  
17 of the difference between reasonable expectation and  
18 reasonable assurance and I think this--and I'm going to ask a  
19 question in the form of a comment if Ray would like to  
20 respond.

21           Looking to the preamble to the Part 197 standard  
22 about what reasonable expectation says and Ray hinted on it  
23 again this morning is that you have to look at all the  
24 components of the system even if they're highly uncertain and

1 build those into your safety case as opposed to looking at a  
2 bounding analysis where you may throw out components of  
3 performance because you don't know them well.

4           One example might be cladding. There's been  
5 discussion about should cladding be part of the safety  
6 strategy or not? The way I read what EPA has just said about  
7 reasonable expectation is you put it in. Now, if that's  
8 going to be a part of SR and then DOE reserves the right to  
9 not have it when it comes to LA, that's fine. Certainly, for  
10 SR, it would be nice to put in everything that they believe  
11 has some bearing on a safety case.

12           So, I guess the first question for Ray is is that  
13 what he means or is that what EPA means when they mean  
14 reasonable expectation; is did they expect to see DOE put  
15 everything into their safety case that they bring before NRC?

16 That certainly would have some big implications in terms of  
17 safety strategy and prioritization and everything else.

18           COHON: Would EPA like to respond to that question?

19           CLARK: I think, basically, John's right. Now, whether  
20 everything really means everything, that's probably  
21 debatable. I'd certainly have to consult with NRC, I  
22 believe. But, all these reasonable factors, there's some  
23 basis for.

24           I'll ask Ken Czyscinski then to address that, as

1 well, if I may?

2 CZYSCINSKI: It's basically the applicant's obligation  
3 to present the safety case and what they choose to put in or  
4 leave out is up to them. They have to defend it in this  
5 licensing forum. What we're saying by reasonable expectation  
6 is not to a priori eliminate things that may have beneficial  
7 performance effects simply because you can't quantify them to  
8 high degrees of certainty.

9 For example, if we look at the analysis in the VA,  
10 you see the DOE assumed in the assessments that every drop of  
11 water that seeps into the emplacement drift contacts the can.

12 This is a very conservative assumption since the width of  
13 the can is only about a third of the width of the drift. We  
14 don't consider that a reasonable expectation kind of  
15 assumption. In addition, they assume that every drop of  
16 water that contacts the can is uniformly distributed over the  
17 can. Again, this is not a realistic assessment. What will  
18 drip on the can will also drip off the can. So, looking at  
19 those assessments from a reasonable expectation perspective,  
20 we think they're extremely conservative. So, that's the kind  
21 of assessment we would advocate as an interpretation of  
22 reasonable expectation.

23 COHON: Thank you. Any other questions or comments?

24 (No response.)

1           COHON:  Seeing none, we will now take a break until 1:00  
2 o'clock.  Let the record show we're getting eight minutes  
3 more than originally scheduled for lunch.  We will remember  
4 that in the future when we have to take them back.

5           (Whereupon, a luncheon recess was taken.)

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24



1

2

3

4

5

A F T E R N O O N   S E S S I O N

6

7

8

9

KNOPMAN: Okay. This afternoon's session continues our discussion of the repository safety strategy. Our first speaker is Mike Voegele who is Deputy for Regulatory and Licensing and is with Science Applications International.

10

11

12

13

14

15

16

VOEGELE: What I'm going to talk about this afternoon are the activities that are going on within the program right now of how we're going to implement the strategy to complete the safety case for the site recommendation. We've been following the plan that's in Volume 4 of the Viability Assessment which correlates to repository safety strategy Rev.2 for developing our safety case.

17

18

19

20

21

22

23

24

The implementation that we're doing started from the 19 principal factors that were the viability systems concept that were in the viability assessment. Right now, what we're doing is evaluating data that we've received since the viability assessment and enhancements that we've undertaken to the design since the viability assessment. We've set out a path to update the set of factors that were in the viability assessment. We used a couple of techniques

1 and a lot of information to do this. What this bullet says  
2 is that we used preliminary--for proposed assessment  
3 calculation and barriers importance assessment to identify  
4 principal factors. As we step through this, you will see  
5 there's a fair bit more involved. We certainly used the  
6 information that was available from the past several  
7 performance assessments, but we also used the knowledge that  
8 was resident in the principal investigators who were doing  
9 the work on the program, the people who were doing the  
10 performance assessment calculations, the designers, as well.

11 What our goal was was to try to prioritize the work to  
12 complete the safety case for the site recommendation.

13 The design enhancements that I'm talking about were  
14 changes to the viability assessment design. We adopted a  
15 more robust waste package. We're looking at including a  
16 redundant drip shield to provide defense-in-depth. We're  
17 looking at backfill to protect the waste package and the drip  
18 shield. We're looking at what we're categorizing as an  
19 improved thermal design.

20 This next viewgraph just gives you an example of  
21 concepts of defense-in-depth to water diversion. One of more  
22 of these may be effective and we'll try to decide that and  
23 use it in the site recommendation documents, as well. First  
24 of all, there's a possibility of diversion of this

1 infiltration by capillary barrier within the rock system  
2 itself. There's a possibility of diversion by the drip  
3 shield and there's a third possibility of diversion of the  
4 water by the waste package. Just as an example, there are at  
5 least three different mechanisms identified there where water  
6 could be diverted. So, that's a simple concept of a defense-  
7 in-depth type concept.

8           We mentioned that we were updating the factors for  
9 the nominal scenario. This is the list of principal factors  
10 that were in the viability assessment that correlate to that  
11 design. We've augmented that list and generally what the  
12 augmentation consists of is to address new design  
13 enhancements. So, you'll see that we have a little bit of  
14 change down here in the engineering components, as well, and  
15 addressing new data components. So, they're focusing a  
16 little bit in this particular table details of what might  
17 have been a single item in the VA. A set of principal  
18 factors might be uncoupled a little bit here to allow us to  
19 look in more detail at components of those principal factors.

20           As I mentioned, our goal was to prioritize these  
21 factors, to use them as a driver for the work that we believe  
22 needs to be completed for the site recommendation. It was  
23 really conducted around not just the barrier importance  
24 analysis, not just the information that we had in total

1 system performance assessment, but we used the scientists,  
2 engineers, the PA staff, the regulatory staff on the program  
3 who have in their minds and who have through their research  
4 looked at what the important things are in terms of  
5 determining the performance of a repository at Yucca  
6 Mountain. We started from the preliminary TSPA. We used the  
7 variability assessment and performance assessment  
8 calculations. We used information that had been gathered  
9 from previous performance assessment calculations and, you  
10 know, we were talking just a little while ago how I would  
11 characterize this. It certainly was a total system  
12 performance assessment and base calculation that was looking  
13 at enhancements over and above the VA. It is not something  
14 at the level that Bob Andrews is talking about having done to  
15 support the site recommendation. So, you know, it's maybe  
16 TSPA-VA, one and a quarter or maybe one and a half. It's  
17 certainly not where this thing has to be as opposes the  
18 performance assessment. If I used the word "TSPA" to  
19 describe any of the curves I'm going to show you this  
20 afternoon, please correct me because they are not that. They  
21 are not compliance evaluations. They are not equivalent to  
22 what a TSPA has to be. They were calculations that we used  
23 to inform ourselves on what might be important to  
24 performance.

1           KNOPMAN: Mike, excuse me. Could you adjust your  
2 microphone because your voice is coming in and out and I'm  
3 having a little trouble hearing.

4           VOEGELE: Okay. Where would you like it?

5           KNOPMAN: Just get it more in the middle.

6           VOEGELE: More in the middle. Better? You want it up,  
7 he wants it down.

8           KNOPMAN: Up, no--every time you turn your head--

9           VOEGELE: I understand. Yes, no? It's going to get you  
10 again every time I turn my head. Okay. I'll just talk  
11 louder and let you pick it up from down on the lapel. Is  
12 that better?

13          SPEAKER: Yeah.

14          VOEGELE: Okay. The most important thing that the  
15 scientists, engineers, and PA staff contributed to our  
16 prioritization of the factors was their knowledge of model  
17 uncertainties and the limitations that existed in the  
18 preliminary analysis that we were using. I hope that I can  
19 make that clear to this group that it was not simply the  
20 barrier importance analyses, it was not simply the results of  
21 total system performance assessment that we used to look at  
22 priorities and those factors. Probably more important were  
23 the principal investigators' knowledge of the model  
24 uncertainties and the limitations of preliminary analyses.

1 Abe Van Luik this morning emphasized this is an ongoing  
2 process, that we expect to do more with this, and we have  
3 already identified from working with the principal  
4 investigators areas that we need to look into this more  
5 carefully before we complete the performance assessment for  
6 site recommendation.

7           We tried to assess our understanding of what the  
8 current confidence is in the data and what would be needed to  
9 determine the factors needed for an adequate safety case.  
10 Our objective was to focus our work on the most important  
11 factors and the adequacy of information from the safety case  
12 for site recommendation and license application. So, again,  
13 this is not a compliance type performance assessment  
14 calculation. It is an evaluation that was done to inform  
15 ourselves on what were the important factors.

16           This is an example of one of the types of analyses  
17 that we did to look at the enhanced design, the design that  
18 followed the viability assessment. There are about three or  
19 four things that are illustrated on this charge. One of the  
20 most important ones is if you just look at no barriers at  
21 all, solubility limited to releases, the natural barriers  
22 themselves are effective in reducing the estimated dose rates  
23 by eight orders of magnitude. The remaining dose rate is due  
24 to a relatively small number of radionuclides less than .004

1 percent of the total by dose, by mass, by curie content,  
2 whatever you want to do. The less then takes care of that.  
3 So, it's a very small amount of the remaining material that's  
4 not taken care of by the natural system in this analysis. I  
5 will emphasize you will probably hear things in both Bo  
6 Bodvarsson's presentation tomorrow afternoon which are things  
7 that will eventually get into performance assessment  
8 calculations that would have changed these results. These  
9 are relatively conservative. They're nominal case. They  
10 look more like the VA than I believe the PAs that will be  
11 done for site recommendation will look.

12           In this analysis, we used a waste package and a  
13 drip shield to address that residual. And, as you can see,  
14 looking at the releases in this analysis from the natural  
15 barriers only, this is the natural barriers release. If you  
16 have natural barriers waste package and drip shield, you have  
17 no releases for 100,000 years. And, if you have just the  
18 natural barriers and the waste package, take the drip shield  
19 out, this is what the release might look like. That gives  
20 you an indication as to the importance of the engineered  
21 components in this analysis.

22           So, let me talk a little bit about this barriers  
23 importance assessment that we used. It's a technique where  
24 we took the performance contribution of a component of the

1 system completely out of the system. So, this is not a  
2 probabilistic distribution of the performance of these  
3 components. We totally cut the performance of components one  
4 at a time out of the system to see how that affected the  
5 performance. So, this is a specialized sensitivity study in  
6 which the effect is omitted from the calculation to determine  
7 its importance of that calculation. They are not expected  
8 performance calculations. We only did them to get some  
9 insight as to what the importance was. We looked at  
10 additional insight. We looked at the nominal performance  
11 case. We also looked at the unanticipated early failure of a  
12 waste package to gain additional insight.

13           Okay. This is one where we call this a preliminary  
14 barriers importance assessment. The base case in this  
15 nominal case gave zero release for 100,000 years. Individual  
16 neutralizations of all but two of the barriers also gave zero  
17 release. That is the beginning of an indication that either  
18 the barriers are unimportant to the total performance or they  
19 are backed up by other barriers. That's about all you can  
20 judge from that calculation. If that is true, if a barrier  
21 is unimportant to performance, the eventual compliance  
22 demonstration may not be sensitive to unresolved issues from  
23 the barrier. That was what we were seeking. We were trying  
24 to understand how well we could develop an argument that



1 would, say, for instance, that if you are placing reliance on  
2 six or seven or eight of these barriers, the other nine, 10,  
3 20, whatever your total number turns out to be how you  
4 package them, may not be as important in your compliance  
5 determination eventually. And, I'll emphasize it again.  
6 What this tool was was an investigation to let us gain some  
7 preliminary insight into how that might work.

8           Individually, only the waste package and the drip  
9 shield neutralizations gave any contribution for 100,000  
10 years. Now, within this particular evaluation when you do  
11 the waste package neutralization which is this blue curve,  
12 you have diffusion controlling up until the point of about  
13 10,000 years and that represents in this evaluation the  
14 failure of the first drip shield. So, that's why you get a  
15 peak in this particular curve at that point in time. So,  
16 you're looking at diffusive releases down here and then when  
17 the drip shield fails, remembering that you've got the waste  
18 package containment neutralized, this is what happens. If  
19 you do it the other way around, if you neutralize the drip  
20 shield, this is the type of performance you get. It's a  
21 strong performance in the nominal case of the waste package.

22       So, in the waste package neutralization, that 10,000 year  
23 number is a result of the failure of the first drip shield.

24           Again, I want to emphasize this. This is not

1 expected performance, but this suggests that uncertainties in  
2 the waste package performance are important. I think that is  
3 something that you would have concluded for yourself in  
4 looking at the sensitivity studies and all of our previous  
5 performance assessment calculations. We just look at it  
6 again from this perspective.

7           We repeated these analyses for a juvenile waste  
8 package failure scenario. This was one to try to understand  
9 again and give a different perspective on it if we have a  
10 failing waste package. Again, we looked at neutralizations  
11 of the natural barriers up in here. We looked at the  
12 saturated zone and the unsaturated zone. The overlying rock  
13 is the unsaturated zone above the repository horizon compared  
14 to the base case. And, you can see not very much difference  
15 other than for the saturated zone. If you look at the  
16 neutralization of the engineered barriers, they're a little  
17 bit more difficult to sort out. The colors will help. The  
18 waste package again is blue, the cladding is this  
19 maroon/purple color, the drift invert is this green color,  
20 base case, and the red should be the drip shield as before.

21           When you look at that information, the base case,  
22 it releases at about 10,000 years which is again when the  
23 drip shield failed in this particular evaluation. No other  
24 releases occurred for 100,000 years. When you look at

1 neutralizing each natural barrier, you get minor changes from  
2 the base case because the barriers are relatively redundant  
3 with each other. We're going to look at a case where we  
4 looked at all the barriers together on another slide to help  
5 give us some more insight, but generally the barriers in this  
6 situation are redundant with each other. There's very little  
7 difference. Neutralizing the engineered barriers; the waste  
8 package neutralization gave the largest change, cladding was  
9 less important, and the other changes we categorized as  
10 relatively minor. So, here is the base case, this dark  
11 colored line. The waste package gives the biggest change  
12 when you take it out of the system and then the cladding is  
13 the next highest one. But, relative to orders of magnitude  
14 of change, the waste package is the more important one in  
15 this analysis.

16           Okay. In this one, we looked at the natural  
17 barriers more as a combination to provide retardation  
18 capability. In the nominal case, they contributed very  
19 little because the radionuclides remained in the waste  
20 package. After the waste package fails, they're very  
21 important. Under all conditions we looked at, retardation  
22 was very important and solubility was less important, but  
23 again it, especially in the longer time frames, has a  
24 significant contribution, a couple orders of magnitude.

1           Okay. So, what we did in these prioritization  
2 workshops, the gathering together of a lot of the project  
3 scientists to look at this information, we looked at our  
4 assessments of current confidence, what we knew about the  
5 information related to those models, what we might need to  
6 enhance confidence in those models, and we made a working  
7 conclusion that the analyses that we had done suggested that  
8 there's probably a high likelihood of adequate margin, but  
9 they relied very heavily on the waste package and the drip  
10 shield. This working group also concluded that that  
11 confidence probably would not be adequate for the site  
12 recommendation unless the natural systems could be  
13 demonstrated to contribute significantly, as well. So, in  
14 addition to the engineering components that looked to be  
15 important, seepage, retardation, and dilution were also  
16 concluded from the results of these workshops to be important  
17 factors.

18           Now, Abe told you this morning that he wasn't  
19 prepared to talk about the seven principal factors. I have  
20 them on a slide here, but I would like to just caution you  
21 that this is work-in-progress. The document has not been  
22 reviewed by the Department of Energy and this is subject to  
23 change. Basically, what I have told you--remember, let me  
24 emphasize again it was our previous knowledge of sensitivity

1 studies done in the performance assessment calculations that  
2 have been done and was the barrier importance evaluations  
3 that we did to support this with the enhanced design features  
4 incorporated in them at some level. It was the understanding  
5 of the principal investigators about needed confidence and  
6 weaknesses in the models where there was need for improvement  
7 that led us to conclude that seepage into the drifts, the  
8 solubility limits of dissolved radionuclides, dilution of the  
9 radionuclide concentrations, retardation of radionuclide  
10 migration in the UZ, SZ, performance of the waste package  
11 barriers, and the performance of the drip shield appeared to  
12 contribute more to repository performance than what I've  
13 called the other factors down here.

14 I think I would like to leave it at that. This is  
15 --it's work-in-progress. I will again state probably to the  
16 point of having to beg your forgiveness for having said this  
17 too many times, this is not performance assessment. This is  
18 a calculation that we did to try to peel apart some of the  
19 onion layers to understand what were the big contributors to  
20 performance at our site.

21 Okay. We are in the process of using those factors  
22 to prioritize our remaining technical work. So, the testing  
23 analyses are focusing primarily on principal factors and  
24 sensitivity studies to examine potential simplifications in

1 the non-principal factors. What we're talking about there is  
2 downstream, long-term, going into a license application  
3 environment, trying to build the simplest, clearest, most  
4 defensible argument that we can to convince our regulator  
5 that we have adequate margin to meet his standard, that is  
6 typically done by simplifications to a large number of  
7 components in the system and focusing on what I've called the  
8 principal factors here. I believe we have a fair amount of  
9 work to get done before we get to there and I think you're  
10 going to hear Bob Andrews tell you a little bit more about  
11 how we will be dealing with this in the context of the site  
12 recommendation.

13           We are also addressing what we have identified as  
14 opportunities for enhanced performance; the seepage  
15 threshold, cladding performance, and the canister  
16 performance. In the viability assessment, we had a carbon  
17 steel and a stainless steel. In this new design, we have two  
18 stainless steels and there's a question about whether you  
19 should try to take credit for the corrosion performance of  
20 both of those stainless steels. Because of the similarity in  
21 mechanism, it may be hard to argue that one of them is  
22 providing defense-in-depth of the other one. So, that's an  
23 additional issue that we have to address. The work scope  
24 that we've developed is reflected in the plans for the

1 Process Model Reports and the associated analysis and model  
2 reports.

3           We have a fair amount of work to do. I had  
4 mentioned that workshops that develop the prioritization  
5 tables that I just showed you still have some unresolved  
6 questions that we are working. I think that Abe showed you a  
7 chart this morning and Steve made a comment that we would  
8 have another rev to this repository safety strategy out by  
9 next spring. I think that's very real. I think we need to  
10 do that. We'll have new information supporting the  
11 performance assessments. We'll have better information on  
12 the design. We'll have better calculations upon which to  
13 look at this. We also have to look at our completion of the  
14 screening for the features, events, and processes that are  
15 important to repository performance to confirm the  
16 identification of principal factors. We have to complete our  
17 model development for these principal factors and analyses to  
18 support the simplification of the non-principal factors. We  
19 need to address how we're going to incorporate parameter and  
20 model uncertainty into the total system performance  
21 assessment. We have to complete our representation of the  
22 disruptive events. Those of you who were looking at that  
23 table as I flashed it up there briefly will notice it did not  
24 have the disruptive events on it. We have to complete our

1 performance confirmation plan to understand how those pieces  
2 fold in.

3           We have things to do beyond that, as well. We are  
4 going to update the strategy after we do the additional  
5 analysis for the site recommendation effort, to incorporate  
6 those parameter and model uncertainties that are identified,  
7 and additionally to incorporate the results of the screening  
8 of the features, events, and processes. We need to finalize  
9 the principal factors for the SR safety case so that we can  
10 clearly articulate exactly how we're going to develop the  
11 safety case that Abe talked about this morning. We would  
12 like to finalize the areas for simplification that would be  
13 appropriate for our license application safety case. There's  
14 a possibility that as the design evolves, as our performance  
15 confirmation strategies evolve that that could also have an  
16 effect on how we develop our safety strategy.

17           So, with that, I will take your questions.

18           KNOPMAN: Thank you.

19           Dan Bullen?

20           BULLEN: I'm a little bit perplexed by the presentation  
21 because if you take a look at your Slide #10 and you look at  
22 the neutralization of the engineered barriers, you'll see  
23 that the spent nuclear fuel cladding seems to have a  
24 significant impact and yet you say that it's the



1 neutralization of the waste package in the drip shield that  
2 has the most significant effect on the long-term safety case.

3 Could you tell us how you dealt with cladding? Is there  
4 cladding credit taken for all the analysis that includes the  
5 neutralization of each of the barriers or--

6 VOEGELE: Yes. Yes.

7 BULLEN: Okay. So, there's cladding credit throughout  
8 the whole thing?

9 VOEGELE: There would be cladding credit throughout the  
10 whole thing, right.

11 BULLEN: Okay. So, did you do the analysis that said we  
12 neutralized cladding in addition to everything else or is  
13 cladding always going to be there to--

14 VOEGELE: What you're looking at here are individual  
15 neutralizations of the barriers. We haven't done a lot of  
16 the coupled ones or we would take the waste package and the  
17 cladding on, for example.

18 BULLEN: Right. But, I guess the question that I have  
19 for you is that in the previous slide you said that--which is  
20 #9--that waste package neutralization--well, let's see, only  
21 waste package and drip shield neutralizations give any  
22 contributions for 100,000 years.

23 VOEGELE: Yes.

24 BULLEN: That means that if you essentially neutralize

1 everything except the drip shield and that you also  
2 neutralize cladding? Does that give you a release?

3           VOEGELE: These are--

4           BULLEN: I mean, these are just everything but, right?

5           VOEGELE: Yeah, these are individual ones. You're going  
6 to ask me to speculate in which case I'd probably ask Bob  
7 Andrews to--

8           BULLEN: Well, I was just going to ask Bob this. In  
9 this case is there cladding credit or not?

10          ANDREWS: In these cases, there are cladding credit,  
11 yes.

12          BULLEN: Okay.

13          ANDREWS: These are individual neutralizations.

14          BULLEN: Okay. Thank you.

15          KNOPMAN: Dick Parizek?

16          PARIZEK: On the list of Page 13 of other factors,  
17 colloid migration was included as another factor. What's the  
18 basis for that dropping out as not being that important? Is  
19 it something new in the program or, say, Calico Hills  
20 experiments that show that?

21          VOEGELE: I'm going to be able to answer that from my  
22 perspective in the meetings and that was not--that was  
23 discussed in the meetings, but it was never demonstrated in  
24 these analyses that it had a significant contribution to

1 performance.

2           PARIZEK: I didn't know whether the experiments had  
3 gotten far enough along to be able to say that you can't get  
4 colloids from here to there.

5           VOEGELE: I guess, I could ask Bob or Bo if they'd care  
6 to comment on that?

7           ANDREWS: The colloids were incorporated in this model  
8 with the same assumptions used in the VA. Those colloid  
9 models are being revised based on new information both  
10 laboratory and NTS specific information that the folks at  
11 LANL are collecting and interpreting and revising the models,  
12 essentially. So, those revised models will be incorporated  
13 in the SR. They're not reflected in this particular set of  
14 analyses, though.

15           PARIZEK: Thank you.

16           KNOPMAN: Alberto?

17           SAGÜÉS: Yes. Do I understand from the examples that  
18 you gave that drip shields should only be "needed" in case of  
19 waste package juvenile failures? Like, if there were no  
20 waste package juvenile failures nothing would be happening  
21 for like, say, 70,000 years or so?

22           VOEGELE: That's a correct conclusion from these  
23 analyses. I don't think I'm prepared to say that that is  
24 defensible in either of the two arenas that we have facing

1 us.

2 SAGÜÉS: I see. I see. Is there any way of quantifying  
3 in all these analyses the fact that, you know, we're talking  
4 about titanium drip shield nowadays. I'm talking about  
5 buried titanium basically and--buried titanium. As far as I  
6 know, there is virtually no experience anywhere for half  
7 buried titanium for probably no time, let alone one or two  
8 years.

9 VOEGELE: Right.

10 SAGÜÉS: The fact that we are taking a material in a set  
11 of conditions for which there is virtually no experience, is  
12 there any way of including that fact in this analysis to  
13 account for the uncertainty that results from this situation?

14 VOEGELE: I think the best way to answer that question  
15 is to tell you that we identified it as a factor which is  
16 important to performance which makes it a high probability  
17 candidate for doing the types of experiments that you're  
18 talking about. What we're trying to do here is identify that  
19 there is more benefit to our long-term performance  
20 demonstration from the components up here than apparently to  
21 the components down here. So, this is identifying the need  
22 to strengthen our ability to defend the titanium drip  
23 shields, if you will.

24 SAGÜÉS: Yeah, I guess, I mention this because more than

1 the strengthening ability to see what is going to happen, I  
2 would say to create the ability to do that. Of course, at  
3 this time, there is virtually no engineering really base to  
4 rely on that. Engineering really based on actual experience.

5 KNOPMAN: Priscilla?

6 NELSON: Can you give me some examples of the kinds of  
7 simplifications you might be thinking about achieving?

8 VOEGELE: Right. Well, the ultimate goal would be to  
9 find a way to simplify the presentation and that would mean  
10 if we can find an absolute bounding number, pick one, you  
11 know, net infiltration above the mountain, that said we could  
12 demonstrate convincingly that the infiltration would never go  
13 above this number, then we would try to build an argument  
14 that said we don't need to look at the probabilistic  
15 distribution of those results because we will bound it by  
16 number which we all will agree is one that can't be exceeded.

17 So, if it meets the performance with margins without  
18 considering the true performance of that system, but rather  
19 by bounding it, a number that it can't be bigger than, that  
20 would be something that we could simplify the analyses.

21 NELSON: Okay. So, that's really like the option of  
22 removing a variable almost?

23 VOEGELE: It's in the other direct--it's removing, but  
24 in a slightly different sense. It's saying that we're

1 willing to accept performance that is poorer. Then, we might  
2 be able to demonstrate through a continued test program, and  
3 by doing that, we will save the effort needed to demonstrate  
4 that and put that effort into another component where we  
5 might have more potential for return on the investment.

6 NELSON: Do you imagine combining any of the models for  
7 factors because you see them moving or impacting similarly or  
8 would you do it focusing on one model for one factor at a  
9 time? Is that the kind of simplification?

10 VOEGELE: Well, there are at least three parts to this.  
11 First of all, there's a difference between what will be going  
12 in the site recommendation documents and what we would  
13 envision could eventually go into a license application  
14 document. I think that the prospect of a lot of  
15 simplification is more attractive for the license application  
16 document as opposed to the site recommendation document. So,  
17 expect probably more realistic representations of materials--  
18 or of the components in the site recommendation document.

19 NELSON: And, it seems pretty important that such  
20 simplifications be kept track of for performance confirmation  
21 consideration?

22 VOEGELE: Yes. Yes. Yeah, I think that that question  
23 was actually at the table this morning from Dr. Bullen. You  
24 know, it has to do with developing a performance confirmation

1 program to provide insights maybe to more information that it  
2 might seem on the surface. I mean, performance confirmation  
3 ultimately is something that's negotiated with your regulator  
4 in terms of what do you need to do to provide confidence that  
5 the conditions that have been set forth in your license are,  
6 in fact, going to be met and the performance confirmation  
7 provides a way to do that. And, depending on how those  
8 conditions are articulated, it may be appropriate to do  
9 measurements more like what Dr. Bullen was suggesting this  
10 morning. Something that goes beyond the conditions of the  
11 license which could result in not only confidence that the  
12 conditions were correct, but it could also result in changing  
13 of the conditions eventually as you got this information that  
14 said perhaps under an even more aggressive environment it  
15 performs better than we would have thought before we did that  
16 testing; therefore, you might be able to relax that condition  
17 on the license.

18 KNOPMAN: Paul?

19 CRAIG: Mike, this is a question that really follows on  
20 behind Dr. Sagüés, but I want to focus on the canister. Your  
21 analysis says you now appear to rely almost entirely on the  
22 waste package and drip shield to provide an adequate margin.

23 In fact, when I look at your #7, I see that the natural  
24 barriers according to your analysis would give 10r/yr in the

1 pre-10,000 years rising to about 100r/yr in the 20,000 or so  
2 period. So, clearly, you've got to have the engineered  
3 barriers and they have to do a lot. Now, with respect to the  
4 C-22 and the canister, there's been a lot of work on  
5 corrosion of the plain material, the unstressed material.  
6 But, at some stage in the game, you're going to have to weld  
7 these things together.

8           VOEGELE: Yes.

9           CRAIG: And, my question is where do you stand in  
10 analyzing the behavior of stressed C-22 in the Yucca Mountain  
11 environment? Can you defend the idea that those will not be  
12 subject to corrosion?

13           VOEGELE: No, the last thing I would try to do is to  
14 defend the idea that with the information we have today that  
15 those won't be subject to corrosion.

16           CRAIG: Well, what's the time table for getting that and  
17 will you have it before you--

18           VOEGELE: --probably can ask that question is Jim Blink,  
19 and if he's gone, I'm in trouble. Oh, Joe Farmer, okay.  
20 Joe, would you mind? While Joe is walking to the microphone  
21 --he's not in here? Okay.

22           CRAIG: Well, he may talk about it tomorrow.

23           VOEGELE: Please, let me--at least, let me respond to  
24 the observation that you made on that chart. I beg your



1 indulgence, but that was not meant to be a compliance  
2 evaluation. The last thing in the world I wanted you to  
3 conclude from that chart was that we are trying to show that  
4 we can meet a particular standard. I was trying to use these  
5 as indicators of how we gained insight. There are many  
6 additional benefits, I believe, that are going to be into the  
7 PA models coming from data that's coming in right now.  
8 You're going to hear Bo talk about some of that tomorrow.  
9 There are changes. I mean, Bob probably will talk about  
10 potentials for enhancing the models that we use. These were,  
11 quite simply, the VA models with all of their faults and  
12 conservatisms. Then tended to be nominal. There may be much  
13 better performance in that natural system than we used in  
14 these charts. I just want to make sure that I don't--

15 SPEAKER: Well, there might be worse--

16 VOEGELE: That's true, there might be worse performance,  
17 also.

18 KNOPMAN: Jeff Wong?

19 WONG: My question sort of jumps around between three  
20 slides. On Page 12, Bullet #3, you say that your workshops  
21 conducted that the confidence would not be adequate for SR  
22 unless you could find out more about the natural systems.  
23 And then, on Page 13, you list some of the principal factors  
24 that you're interested in. Then, on the second bullet on

1 Page 14, you talk about opportunities for demonstrating  
2 enhanced performance. And, it looks like you're going to  
3 rely on again the engineered system. What more do you think  
4 you need to demonstrate that the natural system is  
5 contributing significantly?

6         VOEGELE: Well, I think that Bo Bodvarsson would tell  
7 you that matrix diffusion is a potential big contributor  
8 here. That's something we're just getting information and  
9 I'm not going to pretend to steal any thunder he might have  
10 for tomorrow if he's going to talk about that. The seepage  
11 threshold is a natural barrier component. Within the  
12 principal factors that we put down, the saturated zone  
13 performance, the retardation in the unsaturated zone, in the  
14 saturated zone, as well, the solubility limits, the seepage  
15 in the drift, quite a bit of that is focused on the natural  
16 barrier if you want to put Slide 13 up.

17         WONG: Right. I'm saying what more information do you  
18 need physically?

19         VOEGELE: Physical test information?

20         WONG: Right.i

21         VOEGELE: Okay. I think, Jean is going to talk about  
22 that yet this afternoon. But, she's going to go through this  
23 same set of information with respect to which test programs  
24 are addressing this and what kind of information we're trying

1 to gain.

2 KNOPMAN: Jared?

3 COHON: I have a question about this chart actually and  
4 the implications of it. You may have covered this and I  
5 missed it. If I'm going over old ground, I apologize. But,  
6 as an example, the first five other factors in climate  
7 through coupled processes, clearly are linked to the first  
8 principal factor, seepage into drifts.

9 VOEGELE: Right.

10 COHON: Is the implication of this characterization that  
11 from this point on, you're going to focus on the parameter of  
12 seepage in the drifts without worrying too much about why  
13 seepage would be some number other than another number? That  
14 is you're not going to put too much in climate or any of  
15 these other factors?

16 VOEGELE: I wouldn't say we would not look at them, at  
17 all. What I would say this indicates to you is that of the  
18 triad or quadruple, whatever you call that, of these things  
19 that start with climate, net infiltration, UZ flow of the  
20 repository, and seepage into drifts, the one to which  
21 performance is most sensitive is the seepage into the drift.

22 I think that's what all this is telling you. That given a  
23 wide range of climate scenarios, how much of that actually  
24 drips onto a waste package is more important than the

1 variability in the climate itself.

2 COHON: It seems to me to have confidence in any  
3 particular seepage values though, you'd have to have some  
4 appreciation for what's driving that seepage number like  
5 climate, net infiltration, UZ flow, etcetera.

6 VOEGELE: Right.

7 COHON: So, I'm just wondering in terms of what you do  
8 day to day, that is the analysis you're going to go through  
9 now, I'm wondering if this is setting you up then to focus  
10 just on the seepage number without worrying about these five  
11 other factors which underlie or integrate into the seepage?

12 VOEGELE: I would say that the answer to that is no. I  
13 think, Bob--are you going to cover that in your next talk?  
14 Okay. The talks are set up. I think, Bob will address that,  
15 as well, because he's got some charts that show basically  
16 what this means in terms of PA space.

17 COHON: All right. Could we go to Slide 10, please?  
18 Could you explain the drift invert and how it contributes to  
19 performance?

20 VOEGELE: Oh, it would just simply provide a diffusive  
21 variable of the waste package.

22 COHON: And, what's the assumption for its composition?  
23 What's it made of?

24 VOEGELE: Did we get the ballast, the gravel ballast

1 into this? Probably a tuff gravel ballast.

2 COHON: Okay. I've been sitting here looking at these  
3 trying to develop some insight and understanding into the  
4 system and how it operates. I'd like to try something out on  
5 you and see whether I'm way off base or not. This is a gross  
6 generalization, but let me try it anyhow. It's tempting to  
7 say that the effect of the natural barriers generally is to  
8 shift in time what the dose would be. Whereas, the timely  
9 effect of the engineered barrier is not only to affect time  
10 is to affect the amount, the magnitude of the dose. Now, I  
11 know there are exceptions to that. But, would you sort of go  
12 along--delays the waste pack, the engineered barriers control  
13 magnitude. Could you put, I think, it's #7 or 8? I have  
14 them all over the--

15 VOEGELE: Probably 7. 7, yeah, I believe so.

16 COHON: Right.

17 VOEGELE: And then, could you put--I think I probably  
18 can answer it from this. It is attempting to say that the  
19 engineered components shift these in space just as you had  
20 concluded that the natural barriers shifted in space. Okay?  
21 Now, this is complicated by the fact that a lot of these  
22 curies here are decaying away. They're much shorter lived  
23 curies that are decaying away at that point in time and  
24 what's coming in are some of the daughter products at the

1 later point in time. So, you'd have to separate the decay  
2 process and the ingrowth process from your conclusion about  
3 whether that's actually shifting it out to a later time. I  
4 don't know if that points out an answer to your question,  
5 but--

6 COHON: No, it is. It is.

7 VOEGELE: Okay.

8 COHON: Thank you.

9 KNOPMAN: Dan Bullen?

10 BULLEN: At the risk of beating a dead horse, let's go  
11 back to 13 again.

12 VOEGELE: Okay.

13 BULLEN: Let me ask a couple of quick questions. I'm  
14 assuming and it's going to sound even worse when I say  
15 cladding again, but is the cladding credit in the civilian  
16 spent nuclear fuel waste form performance? Is that where you  
17 want it?

18 VOEGELE: Yes.

19 BULLEN: And, I guess, the question is if you're taking  
20 cladding credit always and yet you're looking at it as an  
21 enhancement in other--addressing particular opportunities for  
22 enhanced performance as cladding performance, how can it not  
23 be a principal factor? I guess, I want to know how the  
24 process went that cladding didn't end up being a principal

1 factor in your evaluation? I mean, maybe you don't know the  
2 answer to that, but--

3         VOEGELE: Oh, I think a lot of it has to do with--  
4 remember that this is more than just a neutralization  
5 analysis. These are the principal investigators and  
6 scientists' perspectives on the model uncertainties and the  
7 data uncertainties, as well, and I think there is a real  
8 concern about ever being able to demonstrate a lot of  
9 performance from the cladding. The cladding could easily  
10 turn out to be one where we could reach through some  
11 negotiation process and some testing process a limit that  
12 says you can have--you know, the best way to treat cladding  
13 is to assume one pinhole failure in each rod and then treat  
14 it that way. That is a simplification type analysis as  
15 opposed to something up here. But, we're talking about  
16 trying to focus the program's efforts on understanding the  
17 intricacies of the performance. I think that also is a  
18 reason why it would split. Cladding is actually, I think, on  
19 the list of things that--there are particulates on Page 14.  
20 It is one the list--it is one which is a candidate to flip up  
21 there on top.

22         BULLEN: Well, that is the one that I called upon  
23 because it seems to me that all the analyses we had seen  
24 previously you had already taken cladding credit. So, it

1 should have been a principal factor. And, I guess, to see it  
2 either--I mean, waste form performance is something that you  
3 can take credit for if you can quantify it. My only concern  
4 about civilian spent nuclear fuel cladding credit is that  
5 it's going to be a real bear to go and try and license any  
6 performance for it. If you want to indeed, however, in all  
7 your analyses taking cladding credit, then you've already  
8 made it a principal factor, haven't you, or is it--

9           VOEGELE: No, I think again I have to call your  
10 attention that these were not compliance evaluations; these  
11 were scoring calculations to give us insight. And, what this  
12 led us--this together with the information on data,  
13 availability, and model uncertainty did not--nobody in our  
14 working group was willing to follow the sword to argue that  
15 cladding should have been a principal factor.

16           COHON: Okay. But, you know, cladding was used in all  
17 the analyses prior to that--

18           VOEGELE: Exactly. What we were really telling you is  
19 we think we understood the difficulty in eventually  
20 demonstrating that performance in a compliance evaluation.

21           COHON: Okay, thank you.

22           KNOPMAN: Bill Barnard?

23           BARNARD: Mike, on Slide 13, the principal factors, are  
24 they listed in order of importance?



1           VOEGELE: No. These?

2           BARNARD: Yes.

3           VOEGELE: No, they're listed in their order of top of  
4 the mountain down to the water table and out. We just pulled  
5 them up and lifted them up there.

6           BARNARD: Is it possible to list them in order of  
7 importance?

8           VOEGELE: Based on this evaluation, you would conclude  
9 it's probably the waste package and the drip shield.

10          BARNARD: Okay.

11          VOEGELE: Those are good for four or five orders of  
12 magnitude in this evaluation. The combined retardation is  
13 also about four as a magnitude. So, it's not that far behind  
14 int his evaluation.

15          BARNARD: Okay, thank you.

16          KNOPMAN: Any further Board questions?

17          (No response.)

18          KNOPMAN: I have one question, Mike. The coupled  
19 processes that are on the other factors list, I assume you  
20 mean they're thermal--where you're getting hydrothermal  
21 processes.

22          VOEGELE: Right. Yes.

23          KNOPMAN: Is it a fair characterization to say that as a  
24 consequence of the design evaluation process that you just

1 went through and the possible relaxation of the closure  
2 period, the day of closure, that those factors bumped down to  
3 the other factors, but for had you not made that alteration  
4 when you were assuming closure of the repository, the coupled  
5 processes very much would have warranted a designation of  
6 principal factors?

7         VOEGELE: It's tempting to say yes, but I don't think  
8 so. I think that the situation here is one that we have not  
9 looked at great details on what happens within these  
10 components and these models. So that our neutralization  
11 analyses at the level we did them were not capable of really  
12 separating the results out of this, as well. There are some  
13 unanswered questions within our group about how to do some  
14 analyses to investigate whether or not there are thermocouple  
15 effects that should be considered as principal factors. I  
16 think it's--I can no longer tell where I am. It's one of the  
17 earlier pages where we talked about the--well, I give up.  
18 One of the pages in these viewgraphs talks about--I can't  
19 find it. If you'd give me a minute, maybe I can give you the  
20 answer later. But, enhanced thermal performance is something  
21 that has not yet been completely factored into this.  
22 Remember, these are the VA models with what little  
23 simplifications we--what additional model tweaking we could  
24 do to try to capture the EDA II design.

1           KNOPMAN: But, isn't your changing view of what the  
2 design is likely to be affecting your--

3           VOEGELE: Absolutely. That's why I said I'd like to say  
4 yes.

5           KNOPMAN: Okay.

6           VOEGELE: There are some more investigations that need  
7 to be done through PA sensitivity calculations or through  
8 these types of evaluations to further investigate that.

9           KNOPMAN: Okay. Any further questions?

10          DI BELLA: Could you turn to Slide 4 for a moment? I'd  
11 like to call your attention to that left most figure where  
12 you have water dripping down to the repository drift level  
13 whereby capillary action it moves to either side. And, I  
14 think there's absolutely no question that that will happen if  
15 the drift is in perfect shape and the infiltration rate isn't  
16 too terribly high, but it can be pretty high. However, more  
17 likely, what's going to happen over time and because of  
18 thermal, mechanical, and seismic related forces, you're going  
19 to have changes in the contour of the roof, you're going to  
20 have collapse. My question now is what sort of experimental  
21 work is planned to see how that is going to affect one of  
22 your principal factors, that is seepage into the drift?

23          VOEGELE: I don't know if Jean's presentation has that  
24 much detail in it or if Bo is going to--Bo has left the room

1 conveniently. Now, there he is. Do you want to comment on  
2 that, Bo? I guess, while Bo is walking up there, I'll at  
3 least comment that the process that results in this piece of  
4 rock degrading is going to result in the piece of rock above  
5 it strengthening and closing fractures as it builds an arch  
6 to carry that load. It's not just a definite given that as  
7 this rock begins to unravel that the cracks are going to get  
8 extended to the ground surface. There's a better situation  
9 where the load above it will be carried by effectively an  
10 arch and compression above that opening which will close the  
11 fractures.

12           BODVARSSON: I've been thinking about the best way to  
13 address this and this is a very good question as with  
14 laboratory experiments where you can actually control exactly  
15 the shape of the opening even though we have to scale it up  
16 to a drift scale. The project is performing rockfall  
17 studies, both for modeling studies and also some work that  
18 indicates that there are two ways you can go; either you can  
19 go--the seepage performance and that you will more and more  
20 likely get low seepage or it can have individual rockfall  
21 depending on the fractured surfaces. The project is looking  
22 at both of these options with models and also planning some  
23 laboratory experiments.

24           KNOPMAN: Thank you.

1           Any further questions?

2           (No response.)

3           KNOPMAN:   Okay.   Thanks, Mike.   I'm sorry?

4           ORESKEs:   I have a question about Figure 10 under the  
5   engineered barriers.   You talk about the other changes  
6   besides the waste package neutralization and the cladding as  
7   being "very minor".   But, if you look at your graph, it seems  
8   that the main effect of the drift invert and the drip shield  
9   is to shift the timing of the first release by quite a  
10   significant amount and up to, say, 2500 years versus 10,000.

11          So, I'm just wondering how you understand that?   I  
12   understand that the magnitude of the changes very much last,  
13   but why is it that you consider the timing of the change to  
14   be minor?

15          VOEGELE:   I guess I'm not really certain that timing was  
16   addressed explicitly in my statement other changes are minor.

17          I think I was looking--we were not looking at the timing; we  
18   were looking at magnitude of releases in these, as well.

19          ORESKEs:   Okay.   So, are there separate studies that  
20   deal with the question of the timing of the release or that's  
21   just not addressed in this study?

22          VOEGELE:   Well, no, it--I think that by the time you see  
23   Bob Andrews' eventual performance assessment calculations,  
24   there will be sensitivity studies from which you can glean

1 information by the timing of the releases related to this. I  
2 don't know--let me put it it's certainly something worth  
3 looking at. I mean, timing can be as important as the actual  
4 magnitude of the release and it shifts the whole curve far  
5 enough to the right. So, I think I would rather take that as  
6 a comment and that's something we could look at.

7 ORESKES: Very good. Thanks.

8 KNOPMAN: Okay. Thanks, Mike.

9 Our next speaker is Bob Andrews who will talk about  
10 the implementation of the repository safety strategy in TSPA-  
11 SR. Bob is the manager of performance assessment operations  
12 for the M&O.

13 ANDREWS: What we're going to be doing for the next 20  
14 or 30 minutes or so is walking through the implementation of  
15 the repository safety strategy that Abe talked to you this  
16 morning and Mike talked about at the second go within the  
17 context of the total system performance assessment.

18 If we can go to the first slide, we're going to  
19 walk through what is the TSPA as part of the repository  
20 safety strategy, walk quickly through the objectives and  
21 scope of the TSPA for the SR and talk to some of the  
22 differences of those objectives and the scope between the VA  
23 and the SR and address some of those changes and what we're  
24 doing about those changes. Some of those changes revolve

1 around the regulatory changes that were talked about by EPA  
2 this morning and I know the Board had other presentations  
3 from NRC earlier. Some of those are a wide variety of  
4 comments and critiques of the viability assessment TSPA and,  
5 of course, there are a wide range of improvements in the  
6 analysis and the models that support the site recommendation  
7 as science has progressed, as additional data happened to  
8 come on line, etcetera. And then, we'll finally close with  
9 the actual contents as we see them right now of the TSPA for  
10 the site recommendation.

11           Just to reiterate a slide that Abe had up here on  
12 the five elements of the repository safety strategy, the  
13 first three of these either directly or indirectly relate to  
14 total system performance assessment. The first one is an  
15 explicit one. It's do the calculations to evaluate how this  
16 system behaves, how we think it performs, plus the  
17 appropriate uncertainty analyses that allow one to evaluate  
18 the "expected" performance. And, we'll get through that word  
19 "expected" which has a probabilistic connotation a little bit  
20 later. It's also used to do the sensitivity analyses, the  
21 important analyses of what drove the system. How did each of  
22 the individual components, each of the individual barriers  
23 contribute to that overall system performance? And, finally,  
24 does the evaluation, the direct incorporation of all relevant

1 features, events, and processes, not just the disruptive  
2 ones, but all of them that may materially affect the long-  
3 term performance of the system?

4           Start off with some very global objectives for the  
5 TSPA-SR. It's part of the technical basis for DOE decisions  
6 that are going to be coming in the next couple of years on  
7 site suitability and site recommendations. It's not the only  
8 part. There's a lot of other technical information, a lot of  
9 confidence building, external reviews, etcetera, that provide  
10 that technical basis, but the TSPA is at least one element of  
11 that overall family of total information. It does evaluate  
12 the system compliance with those postclosure performance  
13 requirements and we'll come to what those performance  
14 requirements are in a second. And then, finally, and very  
15 importantly, it evaluates the significance of each  
16 contributing barrier, whether that's a barrier to water  
17 ingress or whether that's a barrier to nuclide egress from  
18 the system.

19           To meet those objectives, the scope of the TSPA for  
20 a site recommendation is to first off develop and apply the  
21 methodology consistent with the regulatory requirements. I'm  
22 going to come to that here in a second. The second bullet is  
23 very important, use representative models. I put the word  
24 "reasonably" in there; there was a lot of discussion this



1 morning on what is reasonable and there will be a lot of  
2 discussion tomorrow on what is defensible, but there is  
3 always a play between--and it came up in, I think, in some of  
4 the discussions and the questions and answers with EPA staff  
5 --where does the applicant feel they want to be with respect  
6 to reasonableness versus defensibility? It is sometimes  
7 easier to bound something, i.e. push things to the limit,  
8 rather than take an expected value or even a range of  
9 expected values because that might be more defensible or  
10 easier to defend than trying to defend the actual range of  
11 the parameter of models that are incorporated. So, there's a  
12 balance between a reasonable representation and defensibility  
13 that's always played out. We'll come to some examples of  
14 that and there's some more examples in the backup to the  
15 presentation.

16           Finally is to calculate that expected dose and  
17 there's some other performance measures along the way that  
18 we'll come to. Evaluate the sensitivity to the uncertainties  
19 and finally and very importantly something that we try to  
20 continually improve with and, of course, take a lot of  
21 comments from a lot of groups to try to document these  
22 assessments because they are somewhat complex. There's a lot  
23 of individual parts going into a total system performance  
24 assessment, but to document those in some way so to show how

1 transparent the results are, how the results are the way they  
2 are, and that they're traceable back to scientific  
3 underpinnings, back to raw data if you will and process level  
4 models. So, that's a continual goal that we strive for and,  
5 you know, sometimes we are close to meeting that goal, and  
6 clearly with some of the comments, other times not.

7           What are the factors driving our changes from the  
8 VA total system performance assessment to the SR total system  
9 performance assessment? First, there's a change in  
10 repository safety strategy that both Abe and Mike talked to.

11 These are in no particular order of importance just so  
12 you're aware that these are the drivers to our change.  
13 Secondly, are the changes in the regulatory requirements. We  
14 talked about three site-specific requirements; EPA  
15 requirements that are site-specific, NRC requirements that  
16 are site-specific, and you heard both Lake and Steve talk  
17 this morning about DOE changing to some site-specific  
18 criteria for performance assessment. There's also acceptance  
19 criteria within the total system performance assessment,  
20 issue resolutions, status report from NRC, and also the  
21 individual key--issue resolution status reports or acceptance  
22 criteria for what the NRC, the regulator, thinks is a minimum  
23 necessary sufficient set of information for them to make  
24 reasoned decisions.

1           It's also driven by a number of external/internal  
2 reviews of the VA. I won't talk to those explicitly, but  
3 some of the flavor of the review comments that we received  
4 and our path forward to address those comments hopefully will  
5 come out as I go forward. There's a lot of new and revised  
6 site and design information. Of course, the design changed  
7 from the VA to the SR design and there's a lot of increased  
8 data and models to support the SR analyses. Some of those  
9 changes Mark Peters is going to talk about and Jean will also  
10 talk about additional data being collected and revisions of  
11 models.

12           Design change, I have there. And, also, finally  
13 last but not least, improved QA processes and procedures  
14 drive us to change. I will not talk to the last two bullets,  
15 but mostly, you know, by myself for the first four.

16           Starting with the change in regulatory  
17 requirements, just to put up not for you to memorize or  
18 anything, but that the need of requirement to conduct a  
19 performance assessment is driven by 63.113, NRC. There's  
20 similar words that I put in the back of your handout that are  
21 EPA's requirements for performance assessment. The next  
22 slide goes into the definition of performance assessment from  
23 NRC. In the back of your handout, I put the definition of  
24 performance assessment that EPA has in 197. There are slight

1 nuance differences between NRC and EPA requirements which  
2 I'll come to in a little bit and there's very slight  
3 differences in the definition of performance assessment, but  
4 they're essentially, at least as an implementer's point of  
5 view, the same. Just NRC--just so we're on the same page--  
6 you know, the first step is to identify the features, events,  
7 and processes that could affect performance, examine the  
8 effects of those on performance, and finally to estimate the  
9 expected annual dose to the average member of a critical  
10 group as a result of potential releases from the repository.

11           The next two slides, I want to spend a little time  
12 on because these might look like nuances, and if they are,  
13 maybe I should go through them quickly, but they are  
14 important nuances of doing performance assessment. And, in  
15 the middle column, I have the VA requirements, if you will,  
16 what we were trying to do in the VA. On the right hand side,  
17 I talk to the site recommendation consideration report, the  
18 types of analyses that will be performed.

19           Starting first with the performance measure, the VA  
20 did use dose as a performance measure. The SR will do dose  
21 and, as you heard this morning, there's a separate  
22 requirement for groundwater protection that really relates to  
23 concentration.

24           The criteria, in the VA, as specified by Congress,

1 was probable behavior. In the SR, it's driven by regulatory  
2 requirements in Part 63 as expected dose. The difference  
3 between probable behavior and expected dose, you might say to  
4 most people in the English language, is minimal, but clearly  
5 our peer review of the VA thought determining probable  
6 behavior was--I'm going to paraphrase here a little bit--an  
7 impossible task. But, determining the expected behavior per  
8 regulatory requirement with some reasonable assurance was a  
9 very doable task.

10           The group that we looked at for the VA was a rural  
11 residential farmer. The groups or individuals for the SR is  
12 --these might be the same. That's to be determined, I think,  
13 but either an average member of a critical group which is  
14 Part 63 or the reasonably maximally exposed individual which  
15 is the current language in Part 197. It may very well be  
16 that this individual is a subset of this group. That's how  
17 we currently look at it, anyway.

18           The location of the VA was at 20 km. The location  
19 in the SR, we will look at probably a number of different  
20 distances because the regulations are not set right now. If  
21 they become set in the next six months, that will redefine  
22 our work probably a little more specifically.

23           In the VA, we looked at peak doses out to a million  
24 years. We generally looked at different time slices just for

1 presentation purposes, 10,000, 100,000, and a million, but we  
2 always ran things out to a million years. For the SR, we  
3 will concentrate because 197 and 63 both concentrate on  
4 10,000 years. However, for two reasons, we will look at  
5 longer times frames. One is it gives you some additional  
6 confidence of how the longer term performance resides and,  
7 two, is 197, Part 30, whichever, for the FEIS. The final  
8 Environmental Impact Statement requires an assessment of the  
9 million year kind of time frame.

10           Continuing on the next page with additional changes  
11 between the VA and the SR for total system performance, the  
12 features, events, and processes, in the VA, those were  
13 analyzed separately. They were just one-off calculations,  
14 treatment of human intrusion, treatment of seismic effects,  
15 treatment of volcanic effects, treatment of criticality  
16 effects. The SR will first do a formal screening of all  
17 relevant features, events, and processes which was that first  
18 step of Part 63 and then explicitly include them in the  
19 calculation of expected dose so long as their probability is  
20 greater than that nominal cutoff in Part 63 and 197,  $10^{-4}$  in  
21  $10^4$  years. So, they are explicitly in the calculation. They  
22 can be pulled apart for examination of conditional effects  
23 which is, I think, a very useful way to look at results.  
24 It's a way that I think NRC has proposed to us that we do

1 things and I think we will continue to do that. So, we will  
2 pull the results apart to show the conditional effect of  
3 combining them back again to evaluate the expected dose.

4 Human intrusion, in the VA with a stylized  
5 calculation and the SR is going to be a stylized calculation.

6 The uncertainty analyses, both the VA and SR are  
7 going to be probabilistic analyses. There is a very slight  
8 nuance. The VA essentially looked at the mean of peaks,  
9 looked at a wide range of distributions and took the mean of  
10 the peaks. The SR per Part 63 and per our implementation of  
11 Part 63 will really look at a peak of means. It's looking at  
12 the expected or the mean performance and looking at the peak  
13 of that expected or mean performance which clearly has a  
14 distribution around it and that distribution would be shown  
15 around it, but it's a slightly different performance measure.

16 Last summer, we did show one plot in the VA of the peak of  
17 means. So, we showed it once, but all the other plots that  
18 are in Volume 3 of the VA are the mean of peaks. So, it's  
19 just a slight difference.

20 In terms of multi-barrier analyses, what we did in  
21 the VA was we did sensitivity analyses, we did a lot of one-  
22 off sensitivity analyses, looking at 5th percentile, 95th  
23 percentile effects. For the SR, some of that work will  
24 continue, but it will be expanded dramatically to look at

1 explicitly the barrier importance. So, that gives you, I  
2 think, a flavor for the types of differences between the  
3 implementation point of view between the VA and the SR.

4           Now, I have one slide that's more a pictorial of  
5 the performance assessment method not to be tutorial. And  
6 then, I have a slide that will come up next that will walk  
7 through the process. So, for those of you who like pictures,  
8 you can stay on the method slightly revised from the VA  
9 because how we document things in the SR is slightly  
10 different from the VA. In the VA, you'll remember we had the  
11 TSPA and then we had this technical basis document that  
12 provided the scientific basis for the abstractions generally  
13 used in the performance assessment. That technical basis  
14 document generally didn't go back all the way to the process  
15 model or back to the data. In the SR, we're using--and Mike  
16 Lugo will go into this in more detail--the concept of these  
17 Process Model Reports which are, more or less, broken out the  
18 same way as the technical basis document, but include the  
19 abstraction, the process model, and the supporting data and  
20 testing information that's to support that process model and  
21 its abstraction.

22           Walking through the method, we first start with the  
23 regulatory framework. The first step is then the FEPs  
24 screening. Let's go on to the next one. And, that FEPs



1 screening is slightly different than what was implemented in  
2 the VA. It's going to be an explicit identification and  
3 classification. We have a database that incorporates all of  
4 the features, events, and processes. An explicit screening  
5 based on either probability criterion and both 197 and 63  
6 give that probability criteria and that's the  $10^{-4}$  in  $10^4$  year  
7 or a consequence criteria. Finally, construct the scenarios  
8 and screen the scenarios using those same criteria and then  
9 within the performance assessment implement all of the  
10 retained scenarios.

11           Let's go on to the next. Once we've done that  
12 screening, we will have a series of scenarios which will be  
13 appropriately probability weighted such that the sum of  
14 probabilities equals one. We have the component models and  
15 the model abstractions that are described in the analyses  
16 model reports that Mike Lugo will talk to. We will then do  
17 these and once those are all combined into their  
18 abstractions--and I'll come to how we're doing that in a  
19 second--we're doing the 10,000 year total system model  
20 simulations and we'll do these--we're going to focus on the  
21 probabilistic analyses, i.e. the uncertainly analyses and  
22 purported range of parameters and the range of models, but  
23 oftentimes it's illuminating and it's illuminating for  
24 discussion purposes and very illuminating for transparency

1 purposes to look at single value realizations and make sure  
2 that the system or the individual components are hooked up  
3 appropriately and that you're getting reasonable transfer of  
4 information both in terms of mass, water, nuclides between  
5 the various barriers. So, that's very illuminating.  
6 Essentially, what Mike Voegele was showing you was a series  
7 of deterministic calculations, not the probabilistic type of  
8 calculations.

9           We will then combine the results of these  
10 probabilistic analyses to get that expected dose history over  
11 the 10,000 and longer time periods and we'll do a wide range  
12 of sensitivity analyses, both probabilistic and  
13 deterministic, but probably focus more on the probabilistic  
14 ones to evaluate the significance of the barriers.

15           And, finally, we'll document these results with a  
16 compliance evaluation which will be in Volume 2 of the SR  
17 considerations report, revise the safety case next summer, as  
18 Mike and Abe both alluded to, and identify the key  
19 information for performance confirmation.

20           This is the approach for not including human  
21 intrusion into the analyses. This second slide essentially  
22 is the approach and the requirements for the stylized human  
23 intrusion calculation that will use the nominal scenario.  
24 We're not going to combine, at least right now, a human

1 intrusion event with a volcanic event, but we will use a  
2 nominal scenario and run that through. It's also  
3 probabilistic. It will have an expected dose attributed to  
4 that human intrusion event.

5           And then, finally, similar things shown for the  
6 longer than 10,000 year requirement. 63 and 197, the base  
7 requirement, is 10,000 years, but the FEIS, the final  
8 Environmental Impact Statement, as proposed in 197.30 is to  
9 go out to peak. Our current thinking is those peaks, we may  
10 look at both deterministic type results and probabilistic  
11 type results. There was no requirement in 197 to look at it  
12 probabilistically. So, we may, in fact, use deterministic  
13 type results to show.

14           Okay. The next slide is a slight shift of gears to  
15 the major categories of concerns raised based on Volume 3 of  
16 the VA which is the TSPA. The first two, traceability and  
17 transparency, then the how did we treat alternative models,  
18 how did we screen them in, screen them out, did we weight  
19 them, etcetera. A lot of people commented on the major  
20 assumptions and did you evaluate the significance of all of  
21 your assumptions as you went through the analyses. And,  
22 finally, the last bullet which is, I think, of some  
23 discussion for tomorrow is the validity or confidence that we  
24 have in the individual component parts that make up the TSPA.

1           Traceability starts really with--this is, of  
2 course, the PA pyramid rather than the SR pyramid that Steve  
3 showed you. It starts with basic fundamental site and design  
4 specific information. The test data, the laboratory test  
5 data, the institute test data. It builds through the process  
6 models which are going to be captured in these Process Model  
7 Reports that Mike Lugo will talk to you about and continues  
8 on with the incorporation of those abstractions and the  
9 process models and analyses results into the total system  
10 performance assessment. You know, the TSPA that we do for  
11 the SR is going to build on what we did for the viability  
12 assessment, what was done for the draft Environmental Impact  
13 Statement which was analogous--the same models were used in  
14 the draft EIS as are used in the viability assessment. It  
15 builds on ours and NRC's plus other people's including EPRI's  
16 experiences in running TSPAs.

17           Now, one of the things I want to talk to is how  
18 information flows into TSPA and through TSPA. What you have  
19 here--and I'm going to go through them in a second; just hold  
20 on--is the analyses model reports that are providing direct  
21 data feed into TSPA. So, there is a report or there will be  
22 a report that describes, for example, down here the EBS  
23 radionuclide transport model and its abstraction. That's  
24 directly incorporated as a file. Whether that's a table look

1 up or a simple algebraic expression or whatever, one can tear  
2 that part of the model out. One could be bounded in that.  
3 One could be reasonable in that. One can incorporate  
4 uncertainty in each one of these boxes that are going into  
5 the TSPA.

6           Within the TSPA, there's a flow of information  
7 starting first with the degradation of the package,  
8 degradation of the waste form, transport through the EBS,  
9 transport through the unsaturated zone, transport through the  
10 saturated zone, transport through the biosphere, and  
11 ultimately a dose is predicted; so a time dependent arrival  
12 of nuclides at that point, wherever that point is, 20 km, 5  
13 km, or whatever.

14           We're going to walk through over the next steps how  
15 that information is connected and moves from essentially left  
16 to right within the performance assessment. So, let's go to  
17 the next slide which just talks to the waste package  
18 degradation and the major feeds into waste package  
19 degradation. You know, climate and seepage and the EBS  
20 environments all impact waste package degradation. The waste  
21 package degradation abstraction here includes both drip  
22 shield and the package itself. So, it includes the titanium  
23 and its degradation processes and rate and uncertainty and  
24 the Alloy 22 waste package degradation rates and processes.

1 Those might, in fact, be impacted by seismic activity, by  
2 degradation of the drip shield, by seismic events, water  
3 dropfalls, etcetera. It may be shown that those seismic  
4 activity affects our minimal and have no consequence and,  
5 therefore, may be screened out of the analyses. But, for  
6 now, they're screened in.

7           Moving to the left, we have all of the aspects in  
8 the waste form which also include environmental factors, such  
9 as the waste form temperature, the in-package chemistry. The  
10 waste form degradation will be somewhat dependent on the  
11 colloid source. The actual release from the waste form will  
12 be dependent on the solubility concentrations or the  
13 inventory. Here comes igneous activity. Igneous activity  
14 wasn't in there for impacting the package because the  
15 assessments, so far, show if there is igneous activity, the  
16 package lifetime is not an issue. The package is gone.

17           Then, we're going to continue on to the right.  
18 Once I've done the waste form, I've got EBS transport again  
19 with environmental components coming in here and then  
20 distribution and changes in hydrology and chemistry inside  
21 the drift. Continuing on to the right, we have nuclide  
22 released to the UZ and there's a lot of unsaturated zone  
23 analyses and models to move nuclides through the unsaturated  
24 zone. Moving still to the right, we have the saturated zone.

1 You'll note that climate and infiltration--and there will be  
2 a driver on all of this thing because the climate states  
3 drive the hydrology and the hydrology drives a lot of the  
4 water movement through the unsaturated zone and the saturated  
5 zone. Finally, coming to the biosphere and here we have the  
6 biosphere dose conversion factors, igneous activity affecting  
7 the biosphere climate, and if there is any dilution at the  
8 well head due to the critical group using large volumes of  
9 water, that would be factored in in there. And, finally, as  
10 to the dose.

11           So, there's going to be a lot of changes in the  
12 models from the VA to the SR revised design, critiques,  
13 improvements. And, I tried to capture some of these in the  
14 backup slides. I didn't include it in the actual  
15 presentation, but there are a number of areas where we are  
16 going to use somewhat conservative bounded analyses and  
17 models where the complexity is just too high or the  
18 uncertainty is too great and it's just easier within the  
19 context of the site recommendation report confidence building  
20 to use what is a demonstrably and defensively conservative  
21 assumption rather than drawing on the full range of possible  
22 models or parameters within that component or system. Within  
23 the back of the document, I give some examples of that.

24           I talk about it on this slide, too. So, I simply

1 said this. That we're going to use reasonable  
2 representations where they are of sufficient defensibilities,  
3 but in areas--and, by the way, this is a good philosophy, but  
4 the peer review clearly commented that to us and I think the  
5 Board in kind of echoing the peer review comments on the VA  
6 made very similar comments that if we do have a high degree  
7 of complexity or very high uncertainty, it's just much easier  
8 to do some more reasonably bounded representations, document  
9 them as such, show their effects, if you want to show how  
10 much conservatism you've included in the analyses, and we  
11 will use, as Mike talked to the safety case, i.e. the factors  
12 versus principal factors criteria as a basis, not the only  
13 basis, but a basis for distinguishing which things might be  
14 reasonably conservative and which things might be actual  
15 reasonable representations.

16           Uncertainty is included in all models and  
17 parameters, if appropriate. We went with a bounded value.  
18 We're going to fix that bounded value. If something is well  
19 enough known like inventory, we're going to fix that  
20 inventory. We're not going to look at uncertainty in every  
21 single parameter within the model.

22           Okay. The next series of slides and I don't want  
23 to go through each of them in any detail, but we haven't--the  
24 Board and others, not just the Board, raised the issue of



1 transparency and traceability. I think we always struggle  
2 with the best way of communicating that both graphically and  
3 in the text as we write it. One of the things I'm going to  
4 try to do or what the next five slides essentially do is  
5 starting with the key attributes and the factors that Mike  
6 and Abe had on their viewgraph is walk first to the  
7 traceability side. The traceability is to these two columns.

8 The traceability for the climate is back to that Analysis  
9 Model Report written by some individuals at the USGS that  
10 define the climate states, current knowledge on climates, the  
11 bases for those current knowledge and future climates, and  
12 how to project those climates change over the next 10,000  
13 years.

14 So, this document, the USGS report, AMR, Analysis  
15 Model Report has the technical basis and has the datasets  
16 that we're using exactly in the TSPA. Same thing here with,  
17 for example, the UZ flow above the repository. This Analysis  
18 Model Report is based on the model that Dr. Bodvarsson is  
19 going to talk to you about tomorrow. He's going to talk  
20 about the technical basis for it, the validity in it. It's  
21 what we're using are its flow fields from that, and the  
22 percolation fluxes from that. So, it's a direct feed of data  
23 from that model directly into the TSPA. So, if there's any  
24 question about traceability, we go back to the source of that

1 information and that's where the information is contained,  
2 the technical basis for it, the data to support that analysis  
3 or that model. So, that's a traceability point of view.

4           There's a transparency issue showing up, more or  
5 less on the right hand column. What are the individual  
6 components that drive total system performance? We in the  
7 VA, if you'll remember some of those pullout things in  
8 Chapter 4, I guess, try to walk through starting with waste  
9 package degradation--starting with seepage actually.  
10 Starting with seepage, the waste package degradation, the  
11 waste form degradation, to EBS release, to UZ release, to SC  
12 release, we tried to show how water moved through the system  
13 and how nuclides were projected to move through the system.  
14 That's essentially what we're trying to do here, too, is to  
15 look at various slices of the total system as they impact the  
16 total system performance. They're not really barriers  
17 because the barriers are more over here in the factors, but  
18 they are some system measures of performance to show  
19 transparency of how water nuclides move the system.

20           You have the other ones in your handout for  
21 completeness sake, but I'm going to--if John will quickly go  
22 through them and come to Slide 26 where we talk about this--  
23 okay, 25, mine is different. Okay. I was talking about the  
24 Rev.00 TSPA which is the TSPA available at the time of the

1 considerations report. Steve told you the schedule for that.

2 It's next September, September of 00. First it's developing  
3 and screening the FEPs. Second is to implement all of these  
4 controlled models and analyses and all those numbers in there  
5 are controlled models and analyses. The software is also  
6 controlled and the data flow between the models is also  
7 controlled. Evaluate the reasonable representation of the  
8 expected performance, incorporating that uncertainty that's  
9 within each of those component models directly including the  
10 effects of applicable disruptive events; i.e. those that  
11 can't be screened out based on probability or consequence.  
12 Conduct that and stylize to an intrusion analyses. And,  
13 conduct a sufficient amount of subsystem and system  
14 sensitivity analyses to evaluate the significance of the  
15 individual barriers and the contribution of those barriers to  
16 the total system performance.

17 The difference between Rev.00 and Rev.01, Rev.01  
18 is--I think, it's April of '01, something like that. It's  
19 first off to acknowledge that we may get comments on Rev.00  
20 and it would be nice to address those comments from wherever  
21 they came from as we go from Rev.00 to the Rev.01. It is  
22 subject to the public comments on Rev.00, TRB and NRC comment  
23 on Rev.00. If there are any significant changes in models or  
24 data that come from the time of Rev.00, we would, of course,

1 address those in the time of Rev.01. If they're not  
2 significant, we'll document that they were not significant  
3 and move on, but any significant change would have to be  
4 addressed. Then, as additional data become qualified and if  
5 there is additional software qualification that occurs, the  
6 impact analyses of that increased qualification would be  
7 addressed as we go from Rev.00 to Rev.01.

8           So then, finally, we're trying to develop TSPA-SR  
9 that we feel is suitable for DOE decision making and suitable  
10 for interested parties to review with respect to its  
11 comprehensiveness, completeness, traceability, transparency  
12 that's consistent with all of the applicable regulations.  
13 And, yet, of course, we realize some of those regulations are  
14 yet evolving. You know, the actual distances are not quite  
15 fixed yet. So, we have a range of distances. There's slight  
16 nuance difference between maximum exposed individual and  
17 average member of critical group. Those differences, they  
18 know we have to be cognizant of and somehow address. We're  
19 revising and improving all of the component models. There is  
20 not a model, I don't believe, in the SR that's not going to  
21 be in some way, shape, or form different than the models used  
22 in the VA. We're documenting the technical defensibility of  
23 these models in the AMR, the Analysis Model Reports, and the  
24 Process Model Reports. Then, we're assuring ourselves that

1 we conform to all the QA requirements to help and that's one  
2 aspect to help insure transparency and traceability.  
3 Clearly, there's a lot of other ways of in addition to this  
4 specified QA requirements that we're striving for to improve  
5 the presentation of this material for a wide range of  
6 audiences.

7           With that, I'll stop, Debra, and take whatever  
8 questions you may have.

9           KNOPMAN: I'm sure we don't have any questions.

10          ANDREWS: All right.

11          KNOPMAN: Dan Bullen?

12          BULLEN: This morning, Bob, we heard one of the reasons  
13 that the current design was selected was due to flexibility  
14 and the ability to modify either the operation or the  
15 emplacement scenario so that you could remain flexible for  
16 hot versus cold, high AML, area mass loading, versus low area  
17 mass loading. How do you maintain the flexibility in your  
18 TSPA modeling to address those kinds of issues?

19          ANDREWS: We can't address every design optimization  
20 study, clearly, in the time frame we have. But, we've  
21 selected a few major ones like 50 versus 125 years on  
22 ventilation. There's no high AML/low AML in that. It's  
23 moderately low AML with different ventilation schemes. So,  
24 we're treating that as, more or less, a sensitivity study.

1 We won't do every single realization--we'll probably bound  
2 the TSPA-SR on the 50 year ventilation, but we think that's a  
3 little more bounding from a postclosure performance impact  
4 perspective and we'll do the sensitivity analyses on 125  
5 year. There are some design optimization tradeoff studies  
6 that will be conducted in the context of the SR, but most of  
7 those will be somewhat minimal. I mean, we're saying this is  
8 the design. This is the design for the purposes of the SR  
9 and here is our analyses of how that design performs.  
10 There's not a lot of optimization studies planned.

11 BULLEN: Okay. As a followon to that, if you could go  
12 back to Figure 18. It's 18 in mine; we'll see what it is  
13 here. It's the one with the multi-colored time line.

14 ANDREWS: Yeah.

15 BULLEN: 17, then. How does that sound? That's right,  
16 that 17. As you follow through on the center note, if you  
17 will--that one--as you follow through on the center note, are  
18 there specific AMRs and PMRs that fall into each one or are  
19 there multiple AMRs and PMRs and would it be best to sort of  
20 follow the logical step of PA as we've done before with waste  
21 package, waste form, EBS, UZ, SZ, and biosphere or is it  
22 better to follow and take a look at the PMRs you're trying to  
23 put together and the AMRs that feed into them? I guess, I'm  
24 trying to get sort of a sense of what's the best was to try

1 and follow your attempts to make it traceable and  
2 transparent.

3         ANDREWS: Okay. You're talking to a PA guy.

4         BULLEN: I know, to a PA guy and I'm a PA panel--I'm  
5 actually talking with a PA panel chair hat on here because  
6 I'm sure we'll have a panel meeting about this in the future,  
7 but can you kind of give us a heads-up on what do you think  
8 the best way to follow it might be?

9         ANDREWS: Given that I'm a PA guy, I think the best way  
10 to follow it is the factors or analyses and models that  
11 impact each of the steps in a performance assessment, you  
12 know, they might be summarized in different PMRs. I mean,  
13 your question--you have two ways of slicing this--well,  
14 probably more than two. But, at least, two major ways of  
15 slicing this. You can slice it by, more or less, technical  
16 discipline which is more or less the PMRs are sliced. You  
17 have hydrology, you have coupled process, near-filed  
18 environment, you have waste package corrosion people,  
19 etcetera. You have discipline basis descriptions. Or you  
20 can slice this by those factors that intertwine to affect  
21 something that affects performance which are going in the  
22 bigger boxes here. Being a performance assessment person, I  
23 would probably look at all the factors that affect waste  
24 package degradation and look at that in one fell swoop. All

1 the factors that affect waste form and UZ trend, no. So, I  
2 would go in here personally rather than by PMR. If somebody  
3 is a hydrologist and they want hydrology, they probably would  
4 go into the PMR. I think it just depends on whether you have  
5 a little more integrated hat or you're knowledge hat on.  
6 Quite frankly, it's an excellent question because NRC--you  
7 know, I don't know if they want to speak to this; they might  
8 --have the same issue. I mean the KTIs, the Key Technical  
9 Issues, are--biology. What they call key elements of  
10 subsystem abstraction, which I think they're going to rename  
11 now to the integrated subsystem issues, something like that,  
12 ISIs, those are things that integrate and impact performance.  
13 So, it just depends on which side of the bed you wake up on.

14 BULLEN: Thanks.

15 KNOPMAN: Jared?

16 COHON: On your Slide 9, if you could put that up, and  
17 10 which comes after is a continuation of it, it seemed to  
18 me--well, right column calls this TSPA-SR, and if you hadn't  
19 given us the title, I would have thought that this was TSPA-  
20 LA. Is there any difference to you between SR and LA?

21 ANDREWS: In terms of the expectations of the types of  
22 analyses we do?

23 COHON: Yeah?

24 ANDREWS: No. In terms of individual component parts



1 and how they're treated in the LA versus the SR, the answer  
2 might be yes.

3 COHON: Because we may learn more between--

4 ANDREWS: You may learn more, you may want to bound some  
5 things even more for the LA than you did in the SR.

6 COHON: Your answer disturbs me because the decision  
7 makers at the SR point are different from the decision makers  
8 at LA. You have to convince the President and the Congress,  
9 but you should know this then. That's different from  
10 convincing NRC.

11 ANDREWS: Correct.

12 COHON: Unless the President and the Congress are going  
13 to announce we're going to accept NRC criteria and that will  
14 be the basis for our decision. I think you have to give some  
15 more thought to what the President and the Congress will want  
16 to know. You said--this is a different question now. You  
17 said estimating probable behavior was an impossible task.  
18 That was your quote.

19 ANDREWS: I didn't say it. The peers did.

20 COHON: Yes, you did.

21 ANDREWS: The peer review said it.

22 COHON: The peer review said it was an impossible--do  
23 you agree with them?

24 ANDREWS: No.

1 COHON: And, they thought that expected dose was easier;  
2 that somehow that's not impossible, but probable behavior is?

3 ANDREWS: That's what they said.

4 COHON: Do you accept that? Do you agree with that?

5 ANDREWS: Their definition that--you don't have any peer  
6 review members here to defend themselves, but their  
7 definition of the word "probable" was essentially in the form  
8 of an exact prediction of behavior. We never said the VA was  
9 an exact prediction of behavior. We had a wide range of  
10 projected predictions. I think the expected dose requirement  
11 in Part 63 and the mean dose requirement in 197 factor all of  
12 that uncertainty in, allow you to still show the effect of  
13 that uncertainty, but factor that into the assessment of what  
14 is expected where expected now has a probabilistic  
15 connotation. It means mean dose.

16 COHON: So, in the peer review panel's interpretation,  
17 probable behavior did not have a probabilistic  
18 interpretation?

19 ANDREWS: That's correct. Well, I think, they would say  
20 that's correct.

21 COHON: Well, let's put the peer review panel aside for  
22 the moment. I'm pretty sure that you would agree that TSPA's  
23 greatest value is in helping the program and others to  
24 understand the full range of possible behavior/probable

1 behaviors of the repository.

2           ANDREWS: Uh-huh.

3           COHON: And, probably less valuable in coming up with a  
4 number like expected dose. Now, the two are currently  
5 linked, I understand that. But, given all the uncertainties,  
6 given all the data uncertainties and the modeling  
7 uncertainties that are unavoidable, I would suggest the TSPA  
8 is most valuable in understanding probable behavior defined  
9 probabilistically in producing a number called expected dose.

10           One last question, in the back of slides, you talk  
11 about the process to estimate NRC's--that's all right. You  
12 don't have to go to it. Well, you can, if you want to. But,  
13 one of the components of it is the scenario probability.  
14 What is that and how do you compute that?

15           ANDREWS: We combine the individual features, events,  
16 and processes which all might have a discrete probability and  
17 as those are combined into scenarios, those discrete  
18 probabilities are combined into a weighted probability that  
19 combines both those.

20           COHON: So, you're going to make some assumptions about  
21 independence of these various submodels, the processes--

22           ANDREWS: In that case, yes, because it will be  
23 independent. The features, events, and processes are enough  
24 independent that that assumption would hold.

1 COHON: Okay. Thank you.

2 KNOPMAN: Leon Reiter?

3 REITER: Bob, a few questions. On this last item, as  
4 Jared was talking about, how are you going to treat model  
5 uncertainties. We saw like in the PVHA and PSHA, they  
6 included and weighted different models and the general  
7 approach in TSPA-VA was to do sensitivity tests. Are you  
8 going to include model uncertainties if the models in your  
9 probabilistic characterization as part of your--of expected  
10 dose and more of that?

11 ANDREWS: For some, yes.

12 REITER: For some?

13 ANDREWS: For some, we might go with the more bounded  
14 model and just stick with that model and show with a  
15 subsystem analysis why it was bounded. I'm not going to  
16 stand here right now, you know--

17 REITER: But, you're going to try and--what I'm saying  
18 is you're going to try and explicitly incorporate more model  
19 uncertainty in the SR-TSPA than you did in the VA?

20 ANDREWS: Yes.

21 REITER: Is that correct?

22 ANDREWS: Yes.

23 REITER: Okay. Let me ask just two questions. Dose  
24 security was brought up. For a while, we're sort of heard of

1 rumors that you might continue the peer review. You might  
2 subject the TSPA to some sort of external review like the  
3 Nuclear Energy Agency. Is anything being planned in that?

4 ANDREWS: I don't know if DOE wants to--it's not in my  
5 scope, but maybe Steve or Abe want to talk to whether and how  
6 they might do that.

7 BROCOUM: For the next year or so, I don't really see  
8 that happening because basically, you know, we have enough to  
9 do. For the LA, we may consider something like that. But,  
10 we don't have any definite plans yet, but we have talked  
11 about it and some of us would like to do some of those  
12 things.

13 REITER: Okay. And, there's just one final question.  
14 In the tables, you showed possible subsystems performance  
15 measures. Now, it's interesting because what do you envision  
16 doing with that? Are you going to try and set up perhaps  
17 some sort of performance allocation or how are you going to  
18 use this kind of information?

19 ANDREWS: Well, one of the ways you can use it, I mean,  
20 the barrier of neutralization studies that Mike showed you  
21 really could have looked at the subsystem contribution rather  
22 than neutralize it and look at the effects on total system.  
23 But, if it's very illuminating, we have found and we think we  
24 found in the VA, especially where we communicated with

1 people, to show how at each part of the system there is a  
2 contribution to system performance. I think, you know, Dr.  
3 Craig asked the question earlier to one of the speakers. You  
4 know, something to the effect of how can you show the impact  
5 of the different barriers and one way, of course, is to  
6 neutralize them and the other way is just to how at various  
7 points in space and the various points in time, you know, how  
8 the total inventory is moving through the system. Where is  
9 the total inventory? Where are the release rates at  
10 different points in space? And, you can look at those  
11 probabilistically because all of the results are sitting  
12 there. It's just a matter of parsing out the--from the  
13 system analysis at each one of those break points and then  
14 doing, more or less, an importance analysis and you could do  
15 a lot of different things with those results to look at the  
16 significance of each barrier, if you will, in space on the  
17 overall system performance. So, it's more of a barrier  
18 importance analysis kind of approach.

19       NELSON: I have two questions. One is the integrated  
20 site model, it's been a long time since I've seen it. So, I  
21 don't know what it looks like right now. I look forward to  
22 seeing it. But, I'm wondering to what extent that is really  
23 considered a model in the same sense that the other models  
24 that you talk about updating and changing are considered

1 models. From the standpoint of different ways of  
2 characterizing various properties, whether it's fracture,  
3 non-fracture, equivalent continuum, for example, and other  
4 choices that are made about how it's conceived to create this  
5 model from which the PA is operated. Can you tell me  
6 something about that?

7         ANDREWS: Yeah, well, you're right. I mean, there's no  
8 processes imbedded in that particular model. It's just a  
9 geologic description and framework in which other processes  
10 work like hydrology and thermohydrology and transport. And,  
11 I have it on that slide as a feed into, I think, the UZ and  
12 SZ--sometimes there's only saturated zone--process models  
13 which are really looking at processes rather than a hunk of  
14 rock and how that rock, we think, looks.

15         NELSON: Well, as it relates to something like spatial  
16 variability, other ways of conceiving what's in the mountain,  
17 is that something that you might consider as a flexibility or  
18 a variability of that model or is it, more or less, just this  
19 is the model on which we operate and we don't expect to  
20 really update it or treat it as a source of uncertainty?

21         ANDREWS: I would answer probably in the latter  
22 category. The processes that act within it--and Bo can talk  
23 to this tomorrow--the processes that act within it, you know,  
24 might address variability of components and uncertainty of

1 individual factors in that model, but that model itself is  
2 pretty static. It's not changing really.

3 NELSON: Okay. The second question I have deals with  
4 the fact that on the agenda it says that you were going to  
5 say something about natural analogues. I'm wondering how  
6 natural analogues are going to be considered in this?

7 ANDREWS: Well, the natural analogue part, I think who  
8 talked about it this morning a little bit, Steve or Abe?  
9 Each of the process models is to the best of their ability  
10 addressing some relevant analogues of those processes. In  
11 UZ, I know Bo is looking at things at Hanford plus NTS kind  
12 of information as additional confidence builders for the  
13 process level models. The only thing we're doing within a  
14 TSPA context is looking at the Pena Blanca and could we  
15 explain Pena Blanca with a system, you know, type model.

16 NELSON: So, your trying out your TSPA model on Pena  
17 Blanca?

18 ANDREWS: Uh-huh.

19 NELSON: And, that's the only linkage between PA and the  
20 natural analogue study?

21 ANDREWS: Well, the PA is built on all the process  
22 models. The process models are tied back to analogues. You  
23 know, it's hard to have an analogue for TSPA itself. There's  
24 analogues for biosphere. Clearly, there's--you know, like



1 Chernobyl and things like that. There's analogues for other  
2 parts of the system, but those are individual parts that have  
3 analogues, but TSPA itself doesn't have an analogue that I  
4 can think of unless maybe somewhere some time ago somebody  
5 really did both waste and--

6 KNOPMAN: Alberto?

7 SAGÜÉS: As far as in #10 in the uncertainty analysis,  
8 you refer to a mean of peaks versus a peak of means. Do I  
9 understand correctly that the peak of means approach is a  
10 more forgiving type of--

11 ANDREWS: No.

12 SAGÜÉS: No?

13 ANDREWS: No, just a different way of looking at the  
14 mean of a dose response. The peak of means would look at the  
15 mean at every time step or, you know, in Part 63, it says  
16 every year; it says annual. So, let's just use that. Annual  
17 mean value of the dose might be expected dose at each year of  
18 the analysis. That's not what we did in the VA. We ran a  
19 series of realizations, you know, and got 100--

20 SAGÜÉS: Right.

21 ANDREWS: And, we just looked and said where is the  
22 peak, you know, no matter in it occurs in the 10,000 or  
23 100,000 year window.

24 SAGÜÉS: Right. I'm just saying that forgiving--that

1 would be the mean of peaks in TSPA-VA would seem to be less  
2 forgiving because, say, suppose we have two realizations and  
3 one of them gives you a peak of 100 at, say, 3,000 years and  
4 another one gives you a peak of 100 at 6,000 years. Now,  
5 both of them have peaks of 100, right, and therefore the mean  
6 of the peaks would be 100? However, in the other case, if  
7 you ever reached them, then your means may not reach more  
8 than 50 or 30. That's what I'm saying, the one on the right  
9 appears to be more forgiving.

10           ANDREWS: It's possible. When we did the analysis in  
11 the VA and, you know, of course, Part 63--I'm not sure when  
12 we actually documented the VA whether Part 63 was out or not.

13           So, we did a side-by-side comparison. We didn't draw a  
14 spotlight to it, but in Chapter 4 where we did it both  
15 different ways. And, over 10,000 years, they were in the  
16 decimal point difference. I mean, it was, you know, whatever  
17 the mean of the peaks versus peak of the means, it was like  
18 .04 and .042, or something like that. I mean, they were darn  
19 close to the same number.

20           SAGÜÉS: I see. And, is there the same--why the change?

21           ANDREWS: Because that person--well, maybe NRC can talk  
22 to this better than I. The peak of means sound like a more  
23 reasonable way to go because you're looking at the mean at `  
24 each time step. That individual who lives at year 3,000 is

1 not the same individual who is living at the year 6500. So,  
2 it was a much more reasonable way to show means.

3 Tim McCarten?

4 SAGÜÉS: I see.

5 MCCARTEN: Tim McCarten, NRC. Yeah, that's correct. I  
6 mean, from the individual risk standpoint, the expected dose  
7 is because you want to look at the annual risk at a given  
8 time. The person at, say, 5,000 years is not getting the  
9 dose at, say, 8,000 years and adding those--taking the mean  
10 of that, it's not the same person. So, from an individual  
11 risk standpoint, we felt that was a more appropriate way to  
12 do it.

13 SAGÜÉS: Now, since you are there, how about from things  
14 such as, I don't know, genetic alterations and the like,  
15 wouldn't that be sort of a cumulative kind of thing?

16 MCCARTEN: Genetic-wise?

17 SAGÜÉS: Yeah, for example, if there are problems. Say,  
18 you have a given type of organism and then isn't that a  
19 generational kind of thing that would be cumulative?

20 MCCARTEN: Well, we're looking at the risk to latent  
21 cancer fatality.

22 KNOPMAN: Okay. Any further questions from the Board?

23 (No response.)

24 KNOPMAN: We are running a few minutes ahead of schedule

1 and I would like to exercise the prerogative here of the  
2 Chair to insert a break where there is not one on the  
3 schedule. I'd like everyone back at five after 3:00 so that  
4 we can pretty much stick to the schedule, but we'll take a  
5 break now.

6 (Whereupon, a brief recess was taken.)

7 KNOPMAN: Mike Lugo who will talk to us about the  
8 Process Model Reports and the Analysis Model Reports and how  
9 that fits into the overall repository safety strategy.

10 LUGO: Well, every talk you've heard today has mentioned  
11 the term Process Model Report and Analysis Model Report and I  
12 guess I'll now tell you what that all means and how it fits  
13 into the documentation trail that we're putting in place for  
14 the SR.

15 First of all, the purpose of the Process Model  
16 Reports is to basically document the technical basis for the  
17 TSPA. It's the building blocks of the TSPA analysis to  
18 basically support the preclosure and the postclosure safety  
19 case as it evolves to SR and further developed into the LA.  
20 The PMRs together with the repository safety strategy that  
21 was discussed today will help focus the program on what's  
22 really important and what we need to do to develop a  
23 defensible TSPA. You know, that is what we're really  
24 depending on to make our postclosure compliance

1 demonstration. The third bullet here is really the focus of  
2 my discussion here today which is to leave you with the  
3 process that we have put in place to ensure that we have a  
4 traceable and transparent total system performance assessment  
5 and why we do that for the SR.

6           This is not an outline or a table of contents for  
7 the PMR, but just a discussion of the topics that the PMRs  
8 will address. Number one, they will describe the actual  
9 models and the submodels and the abstractions, and by that,  
10 for example, I mean for like the UZ flow and transport that  
11 you'll hear about tomorrow from Bo. The UZ flow and  
12 transport Process Model Report will also discuss infiltration  
13 model, the climate model, the seepage model, etcetera, and  
14 the abstractions of those models into the TSPA.

15           The PMRs will also discuss the relevant data and  
16 the uncertainties in those datasets. And, also, I didn't put  
17 it on here, but it will also discuss the data qualification  
18 status and where we are along that process.

19           Any assumptions that have been used in developing  
20 the model and the data that support it, as well as the bases  
21 for those assumptions.

22           Also, the model results or outputs. Like I  
23 mentioned before, the same example, take the infiltration  
24 model and there's an input to that from the climate model,

1 but there's also an output that goes to the seepage model.  
2 So, it will basically discuss the customer/supplier  
3 relationship in each of the PMRs.

4           It will also discuss software qualification and  
5 model validation and tomorrow you'll hear a lot about model  
6 validation, but it will discuss where we are along the  
7 process to qualify the software and to validate the models.

8           Very importantly, and this is something that Abe  
9 discussed this morning, it will discuss opposing views, as  
10 well as alternative interpretations of the data, both  
11 internally to the project, as well as external, and it will  
12 identify why the view that we chose or the position that is  
13 documented in the PMRs, we believe, is the correct way to  
14 proceed.

15           We'll also have information to support regulatory  
16 evaluations, but PMRs themselves are technical documents,  
17 not regulatory documents or regulatory compliance documents,  
18 but they will have the technical bases that you could use to  
19 actually make the regulatory case either for the SR and  
20 eventually for the LA. In particular, here, in Chapter 4 of  
21 the PMRs, we'll have a discussion of how the technical  
22 content of the PMR addresses the NRC's issue resolution  
23 status reports and acceptance criteria.

24           Also included, it's not on this list here, but also

1 how the views of the TSPA peer review and other interested  
2 parties have been addressed in that model.

3           Dan Bullen earlier asked a question about how you  
4 trace and which is the best way to trace. I'll give you the  
5 two options here that Bob talked about. The way that the  
6 PMRs and AMRs in TSPA all fit together is as follows. You  
7 have the science and engineering, lab activities, literature  
8 search, the things that basically produce the information and  
9 the data that you're going to use to make your analysis.  
10 They also use the updated reference design that was discussed  
11 earlier by Steve Brocoum.

12           Right now, the Analysis Model Reports, we have  
13 about 148 of these reports. They're generally divided into  
14 two camps. The first one is a set of reports that actually  
15 address the process model itself or any analysis. For  
16 example, like I said, the climate model or if you have an  
17 analysis of some hydrologic data. So, these are in this camp  
18 over here. Then, there's another set which basically are the  
19 abstractions which Bob Andrews and his people do which take  
20 that information from the process side and abstract this to  
21 be used in the TSPA.

22           Now, this set of 148 AMRs has two customers.  
23 First, it's the TSPA analysis which are basically the rip  
24 code runs that Bob does and they also get synthesized,

1 summarized, and put in context with respect to these nine  
2 Process Model Reports. The analyses themselves get  
3 documented into the TSPA document that Bob talked about that  
4 is due in December of '00 for the SR consideration report.  
5 This TSPA documentation will rely upon the Process Model  
6 Reports as its primary reference for the actual process  
7 model. If you'll remember, as Bob pointed out earlier, the  
8 technical basis document for the VA had many chapters to it  
9 to describe the process models. Well, this set of nine  
10 reports, in essence, replaces those set of chapters in the  
11 technical basis document. So, that this TSPA documentation  
12 primarily focused on the methodology, as well as the results  
13 of the TSPA. Then, of course, both of these gets referenced  
14 and used in the SR to provide the recommendation. The same  
15 process goes for Rev.00, as well as Rev.01.

16           Now, this chart was used earlier by Steve Brocoum,  
17 just the top half, and I'll discuss a little bit more about  
18 the bottom, as well. Like I said, the red boxes here is just  
19 a symbolic representation of the 148 Analysis Model Reports  
20 that support the nine PMRs and these are AMRs set to range  
21 anywhere from 3 for the integrated site model as much as to  
22 like 29 or so for the UZ flow and transport model. So,  
23 there's quite a variation of how many AMRs support each of  
24 these PMRs. These are the dates that would be the expected



1 DOE approval dates for each of these PMRs at which point that  
2 will be when it will be probably available.

3           These PMRs and the AMRs, like I said earlier,  
4 support the TSPA Rev.00 that is due in 9 of '00 which both  
5 then support the consideration report that will be issued to  
6 the public on 11 of '00. We would then expect here to revise  
7 the PMRs from not only to incorporate any comments received  
8 from Rev.00, any new information that comes in, discuss any  
9 developments in the pedigree of the data and the software  
10 qualification, any potential changes that may have occurred,  
11 and that's to rebut January of '01 to support the next  
12 revision of the TSPA that supports the SR.

13           Then, we have in our schedule a planned revision  
14 right now for Rev.02 which will be to support the LA. And,  
15 here, again we will be addressing any comments received from  
16 Rev.01. Between Rev.01 and Rev.02 is when we will be  
17 expecting to get the NRC's comments for the sufficiency  
18 comments to support the SR. Depending on when we get those  
19 and what this schedule ends up being, we'll see if we can  
20 address some of those concerns in Rev.02 to support the TSPA  
21 for LA, as well as the LA itself.

22           Now, let me go a little bit to the bottom here now.  
23 We talked about data qualification and software  
24 qualification and model validation earlier. We have some

1 goals within the project that we've established recently. By  
2 the time we submit a Rev.00 of the PMRs, our goal would be to  
3 have 40 percent of the data qualified, the software  
4 qualified, as well as the models validated. By the time we  
5 get to Rev.01 of the PMRs, that would be up to 80 percent and  
6 then basically essentially completed by Rev.02.

7           Now, as Bob Andrews pointed out earlier, the  
8 primary technical basis for the consideration report is the  
9 Rev.00 of the AMRs, PMRs, and TSPA. So, basically, at this  
10 point in time, we would expect to have a pretty robust  
11 technical basis for the SR. Now, there has been a concern  
12 raised in the past as far as how far we're along this path on  
13 data qualification, etcetera, by the time we get to these  
14 different milestones. Well, it's true that the Rev.00 PMRs  
15 which are supported in the consideration report, by that time  
16 they would have been 40 percent. If you looked at the Rev.01  
17 PMR for just January of '01 which is just a couple of months  
18 after the consideration report, we're basically close to the  
19 80 percent goal at that point in time; so, by the time this  
20 goes out to the public and pretty much essentially completed  
21 by the time the SR goes out.

22           My last viewgraph here is to show you the project  
23 management system we have in place and the team; as I  
24 mentioned early-on, the managing of the whole effort to put

1 together the nine PMRs. We have a team of nine PMR leads of  
2 which you'll hear from two of them tomorrow from Bo and from  
3 Joe. These PMR leads are matrix supported into me and they  
4 report to me on a matrix basis. However, they actually  
5 report administratively through the operations areas within  
6 the M&O. Listed here are also the DOE counterparts for each  
7 of these process models. I think one or two of them are here  
8 today.

9           We also have a PA representative whose primary role  
10 on the team is to make sure that they're working with the  
11 process model lead to make sure that the abstractions and the  
12 process models are coming together so that they can  
13 eventually be fed into TSPA. The PMR lead, himself or  
14 herself, are the ones who are wholly responsible for the  
15 ultimate technical integration and technical adequacy of the  
16 document.

17           We also have a regulatory representative on each  
18 team and their role is primarily to make sure that the  
19 evolving arguments in the PMRs are arguments that can be used  
20 to make the regulatory compliance demonstrations in the  
21 future primarily focused on the issue resolution status  
22 reports and on comments from external organizations.

23           We also have a QA rep on every team and their  
24 primary role is to make sure that the process we're following

1 that I discussed earlier is being properly implemented. We  
2 want to make sure we don't get into some of the problems that  
3 we've had in the last few years with respect to traceability  
4 and transparency. So, they're there to help us out in making  
5 sure that the process is being implemented correctly.

6 So, with that, that was a quick overview of how the  
7 process works and I'll answer any questions you have.

8 KNOPMAN: All right. Thank you, Mike.

9 Any questions from the Board? Don Runnells?

10 RUNNELLS: A question about the QA procedure on your  
11 Slide #5. You have 40 percent, 80 percent, and completed.  
12 There must be data from the early days of the project that  
13 just cannot be qualified. I mean, things that were not  
14 anticipated. An example, I don't know, pick something,  
15 petrographic data. Someone studied rocks in the early days  
16 of the project and it's impossible to go back and qualify  
17 those kinds of data. Is that word completed up there truly  
18 100 percent of the data that will be used in the PMRs will be  
19 qualified? Does it mean that you will toss away certain  
20 things that cannot be qualified?

21 LUGO: No, let me explain that. The percentages of  
22 qualification relates to those data that we believe need to  
23 be qualified to directly support the safety case basically  
24 and the PMRs. Now, there may be some need to use some data

1 or some desire to use some data as corroborative data that  
2 you're indirectly relying upon to basically fill in or  
3 bolster your case, but not directly relying upon them. So,  
4 you may have--just to pick a number--100 datasets supporting  
5 a particular PMR, but which maybe only 70 or 90 of those need  
6 to actually be qualified. It doesn't mean you can't use the  
7 rest of the data. You're not going to throw it away, but you  
8 may use that to be able to show that the ones that you did  
9 use to directly support your safety case are corroborated.

10 RUNNELLS: Good, thank you. That helps.

11 KNOPMAN: Dan Bullen?

12 BULLEN: Mike, as a followon to that, I actually have a  
13 question on Slide 4 if you want to go back just one. But,  
14 first off, let me say that the more I learn about the PMR/AMR  
15 process, the more I'm impressed with how ambitious this is.  
16 I mean, you're trying to get your arms around the entire  
17 world with respect to data and trying to find out what's  
18 applicable and what's not.

19 LUGO: I've got big arms.

20 BULLEN: But, as I look at the red box there with the  
21 Analysis Modeling Reports going from analysis and process  
22 models to abstractions, I recall that when you had the  
23 abstraction process for TSPA-VA and you had the abstraction  
24 workshops and you had the expert elicitations, it was an

1 extremely excruciating process to try and get the experts to  
2 tell you what the right number was and what number you're  
3 going to use. So, as I go back to the abstraction process  
4 again, I kind of want to know who decides what gets left  
5 behind and then what gets carried forward? How do you  
6 document this? How do you pick the right sets of data that  
7 are applicable to what you're doing and then, you know--well,  
8 separate the wheat from the chaff, for example, and decide  
9 what's chaff and what gets left behind. So, I guess I need  
10 to understand a little bit more in detail how you're going to  
11 do this 148 times and only keep the good stuff?

12 LUGO: Well, first of all, let me tell you there's about  
13 100 AMR leads for these 148 reports, okay? We've asked each  
14 of them to tell us what information are they going to use to  
15 support their AMRs. Bob Andrews has also initiated a series  
16 of what I may call workshops or meetings between the  
17 abstractor, the PA representative, for example, and the  
18 people that support him, and the modeler or the PMR lead and  
19 the AMR lead. They've had those conversations and they're  
20 being documented, as far as the agreements that are being  
21 reached as far as what information flow I need, you know,  
22 what data I don't need. This is also being supplemented by  
23 the knowledge of the repository safety strategy. So, that's  
24 also relayed on that which Bob discussed a little bit

1 earlier.

2           Yes, it's a tough chore, but we're doing it. You  
3 know, we're having those interactions and everything I hear  
4 from Bob, for example, and the other operations managers is  
5 that at the lower levels at the AMR level, everybody is  
6 talking to each other, things are going--you know, the  
7 exchange of information is occurring.

8           BULLEN: Okay. I guess, the followon question there  
9 would be how do you determine data sufficiency? How do you  
10 know when enough is enough? I mean, obviously, as  
11 scientists, we'd all love to go back and master every part of  
12 the mountain and understand every radionuclide as it goes,  
13 but in the case of something like this, you have to decide,  
14 okay, we know enough about this process that we can  
15 adequately put it into a Process Model Report and describe  
16 it. I guess, the understanding of how you decide that, yeah,  
17 this is what's necessary and this is what's sufficient is  
18 something that's sort of intriguing to, you know, the  
19 performance assessment panel chair who is trying to look at  
20 what you've done and decide, yeah, did that make sense or did  
21 they leave something out. How do you define sufficiency?

22           LUGO: Well, let me tell you just like Steve Brocoum  
23 answered one of his questions, there is no black and white  
24 answer to this, but it's a combination of things you have to

1 balance. One is what is that technical person that's  
2 responsible for that report, what does he or she believe is  
3 technically defensible when they have to get up and defend  
4 it? Number two, they also have to consider what other people  
5 have said about that like the discussion we had over there on  
6 cladding. Some people may think internally we can support  
7 cladding; other people say, no, we're not going to be able to  
8 support defending it. So, maybe let's not up-play that too  
9 much. So, you've got to balance those two; not only what you  
10 think is defensible and what you think other people that are  
11 going to be critiquing you and overseeing you think is  
12 defensible.

13 BULLEN: And, all of this will be either in the AMRs or  
14 the PMRs so we'll be able to see the decision process or the  
15 thought process?

16 LUGO: Yeah, this section of the AMRs themselves are the  
17 building blocks of the core technical data under core  
18 technical arguments. The PMRs themselves, there may be  
19 exceptions here or there, but they're not really intended to  
20 come up with new information. They're pretty much  
21 summarizing what's in the AMRs and putting them, you know, in  
22 perspective with respect to the one overall process model.  
23 But, it's really the AMRs where you see the guts of all the  
24 technical arguments and discussion.



1           BULLEN:  And, Leon just handed me--I think it was Leon--  
2 handed me a little note here.  Will you use expert  
3 elicitation in TSPA-SR?  Will there be an expert elicitation  
4 process in that or--

5           LUGO:  I'll let Steve handle that one.

6           BROCOUM:  Another one of those tough questions.  I'm not  
7 sure what our plans are.  Is that a question for me to answer  
8 or a question for you to answer?

9           LUGO:  I don't know.  Bob, do you use experts in TSPA-SR  
10 or not?

11          ANDREWS:  The only two expert elicitation results that  
12 will be used in the SR are the probabilistic volcanic hazard  
13 assessment which was an expert elicitation and the  
14 probabilistic seismic hazard assessment which was also an  
15 expert elicitation.  Those two will be used as direct inputs,  
16 you know, into the seismic risk and volcanic risk for the  
17 disruptive events.  The other inputs, you know, will not be  
18 directly used; they might be indirectly used as either  
19 confirmatory information or conflicting information that has  
20 to be evaluated and addressed.  But, not directly used  
21 quantitatively in the assessment.

22          LUGO:  Okay, thank you.

23          KNOPMAN:  I have a question.  I'm all for  
24 decentralization as much as possible, but I'm a little bit

1 puzzled about the autonomy you appear to be giving to those  
2 kind of responsible for each of the individual AMRs in terms  
3 of setting a standard for themselves on data sufficiency.  
4 While I realize you can't be rigid about this, it seems to me  
5 that, for example, having some vague idea of the way you want  
6 to represent variability for a given parameter or model  
7 uncertainty and the way in which you'd want to be able to  
8 bound model uncertainty will require consistency from AMR to  
9 AMR, if at some point someone is going to talk about the  
10 accumulation or the cumulative uncertainty that has built up  
11 and then will ripple through the abstraction process into  
12 TSPA analysis. And, if it's a cacophony of voices there on  
13 how important uncertainty is and what that notion of  
14 uncertainty is for key parameters, I don't see how you make  
15 sense of that at the end. So, what kind of guidance do you  
16 give in terms of the way you want parameters to be  
17 represented statistically and models and model uncertainty?

18 LUGO: Okay. If I left you with that impression, I  
19 didn't mean to. There's not so much autonomy at the AMR  
20 level. Like I mentioned before, the PMR lead in each case is  
21 the one that we're holding ultimately responsible and  
22 accountable for the technical integration and technical  
23 adequacy of the PMR and its supporting AMRs. Okay? What we  
24 have done is I've gone to the AMR leads to get that

1 information, but it has been vented through primarily these  
2 two individuals here which is the PMR lead as it fits  
3 together with that whole PMR, as well as the PA  
4 representative, and how it fits together into the TSPA. And,  
5 all of that, the primary guidance that we have been supplying  
6 has to do with the repository safety strategy and the  
7 relative importance of the different factors. Like was  
8 mentioned before with Mike Voegele, we are using that  
9 repository safety strategy to prioritize the information that  
10 we're going to use.

11 KNOPMAN: Well, let me put it this way. I'd be  
12 interested in seeing in writing the part of the repository  
13 safety strategy that speaks to kind of the standard by which  
14 uncertainty is going to--parameter uncertainty will be  
15 represented, as well as model uncertainty. I'd like to see  
16 what kind of guidance is being given to each of these PMR  
17 leads so that--it's an important issue for the Board to  
18 understand what that is.

19 LUGO: Let me ask Bob. Is this also in the TSPA  
20 methodology and assumptions document?

21 ANDREWS: What we've done in the methodology and  
22 assumption document is, first off, put which AMRs are  
23 providing that last, if you will, parameter feed and how the  
24 uncertainty in that parameter is expected. You know, the

1 actual range of uncertainty that that parameter or  
2 alternative model has is right now really up to the AMR--the  
3 key technical people who understand that issue because we're  
4 asking them to defend that range of uncertainty and they are  
5 closest to that technical issue, they are closest to the  
6 comments received on that technical component whether those  
7 comments have been from this Board or NRC or our own peer  
8 review. So, they understand the technical scientific  
9 questions associated with their component of the system  
10 better than anybody else. They're the ones that have to  
11 defend it. And, like what Mike said is 100 percent right; if  
12 in the case, especially of the factors, it is easier for them  
13 to defensibly bound it and take the uncertainty with respect  
14 to that factor, more or less, off the table, then that's okay  
15 based on the factor versus principle factor division. But,  
16 that's on a really scientific technical area by technical  
17 area basis.

18 KNOPMAN: Let me just make sure I understand. If you  
19 end up with a parameter that's bounded, you say it's taken  
20 off the table, but it's still part of the modeling process.

21 ANDREWS: It's still part of the model, yes.

22 KNOPMAN: Are you then using those bounds or are you  
23 taking a mean?

24 ANDREWS: Reasonable bound.

1           KNOPMAN:  What?

2           ANDREWS:  For that component of the system.

3           KNOPMAN:  That's for the probabilistic analysis, but  
4  you're also doing a deterministic analysis.

5           ANDREWS:  Which would still use that bound.

6           KNOPMAN:  Well, you have to run it twice.  You have an  
7  upper and a lower so it's--

8           ANDREWS:  No, we're going to look at the conservative  
9  bound and one that worsens the performance.

10          KNOPMAN:  You'll take the worst bound?

11          ANDREWS:  Yeah, yeah, yeah.

12          KNOPMAN:  Okay.  I hope it will be in your effort to  
13  convey transparency that all of the--I mean, you've got  
14  thousands of parameters, only a few are probably really  
15  drivers, but that it will be relatively easy for us and for  
16  other members of the public to be able to identify what those  
17  bounds look like on those parameters, as well as what the  
18  uncertainty in model--we'll be getting to a discussion of  
19  model invalidation and validation issues later, but that will  
20  be obvious, too, and we're not going to have to go to a 10th  
21  level document to dig that out.

22          ANDREWS:  We agree.

23          KNOPMAN:  Okay.  Any other questions from the Board or  
24  staff?

1           COHON: Could you go to Slide 5, please; the little bar  
2 on the bottom that you talked about before, the data  
3 qualification, etcetera. The way you talked about it and the  
4 way you presented it suggest that those three things move in  
5 lockstep. That is data qualification, software, model  
6 validation are all at 40 percent, all 80 percent, all  
7 complete. Did I under--is that--

8           ANDREWS: Yes, that's not because there's a linkage  
9 between the three. It's just that's the goal that we chose  
10 for each one of them.

11          COHON: Okay.

12          ANDREWS: I just chose one number so I didn't have to  
13 show three numbers because they're all the same.

14          COHON: Okay. But, in fact, there may be a different--

15          ANDREWS: Yes. They're all the same number.

16          COHON: Okay, fine. Thank you.

17          KNOPMAN: Any further questions?

18          (No response.)

19          KNOPMAN: Okay. Thanks, Mike.

20                 We'll move right along to Mark Peters who is going  
21 to give us an update on the scientific and technical  
22 investigations. Mark is the manager of Field Testing and EBS  
23 and Repository Design Support Office at Los Alamos.

24          PETERS: It's good to be back. Today, I'm going to give

1 you all an update on the scientific and technical  
2 investigations. As a lead in, I'm going to be talking about  
3 data that we've collected to date. So, following Dr.  
4 Bullen's question this morning, this is information that will  
5 be incorporated into the Rev.00 AMR/PMR process. Following  
6 me after a long break that includes dinner and a good night's  
7 sleep, Jean will talk tomorrow morning on the plans from here  
8 out where we're feeding into the Rev.01 AMR/PMR process.

9 I'm covering several areas of testing that include  
10 natural systems, as well as the engineered system. Just as  
11 an overview, I've tied the testing program into the factors  
12 of the repository safety strategy and tying back to the  
13 presentations this morning by Abe and Mike Voegele. Factors  
14 related to the unsaturated zone, climate and the unsaturated  
15 zone. I'll give you an update on the bulkhead studies in the  
16 cross-drift, some updates on Alcove 1 and Alcove 7 in the  
17 ESF, a brief update on where we're at with the Chlorine-36  
18 validation studies, as well as fluid inclusion work. A lot  
19 of this is just updating from what I told you at the end of  
20 June in Beatty.

21 The factors associated with impact of heat, coupled  
22 processes, a brief update on the drift scale test. This is  
23 brief. You did hear from Debbie Barr in Beatty with a more  
24 detailed presentation on the drift scale test. Then, to flow

1 and transport below the repository horizon, colloid sorption,  
2 matrix diffusion, and there I'll take about Busted Butte.  
3 I'll focus here on an issue that the Board is very interested  
4 in on the applicability of the results at Busted Butte to  
5 underneath the repository horizon. That will be the main  
6 focus of that discussion.

7           To the saturated zone, give you an update on how  
8 we're integrating Nye County results into our saturated zone  
9 flow and transport model and also some preliminary  
10 conclusions from the SD-6 aquifer pump testing that we've  
11 just completed.

12           Then, getting into the engineered barrier focusing  
13 on again the performance of the drop shield waste package, an  
14 update on what's going on at the Atlas facility, the EBS  
15 pilot-scale testing, and then a couple of slides on where  
16 we're at with waste package materials testing. Joe Farmer  
17 will talk tomorrow about the waste package degradation PMR  
18 and he'll be on model validation so he can provide a lot of  
19 details, as well, on this particular testing program.

20           First, I'll start on the natural systems. This is  
21 a slide we've all seen before, I believe. It's just to get  
22 everybody oriented; the exploratory studies facility and the  
23 cross drift here in red with the potential repository block  
24 to the west of ESF. Today, I'll focus on results from Alcove



1 1 and Alcove 7, as well as some discussion of what's going on  
2 in the cross drift.

3 This is a blowup of the cross drift, in particular.

4 Again, I'll talk some about Alcove 7 and the Ghost Dance  
5 Fault testing, Alcove 1 which is off the map up here. But,  
6 the important point here is this is the layout of the cross  
7 drift. It shows the proposed locations of the niches and  
8 alcoves in the cross drift. Jean will talk in the morning  
9 about the testing, the niche alcove testing, that we're  
10 starting construction on and we're planning for next fiscal  
11 year. I'm going to focus on the bulkhead studies. If you  
12 remember from June, we've installed two bulkheads in the  
13 cross drift; one about halfway down the cross drift at about  
14 1750 meters and one at about 2500 meters just before the  
15 Solitario Canyon Fault. We've since closed those doors and  
16 this. So, we've isolated the back half of the cross drift  
17 from the ventilation system and we're sort of watching it  
18 return to ambient state.

19 Probably important to remember the cross drift  
20 exposes pretty much the major part of the Topopah Spring  
21 tuff. As we go down the cross drift from the start of the  
22 cross drift to right about here is all upper lithophysal.  
23 This will mean something to you all when I show some of the  
24 data. The middle nonlithophysal which would make up about

1 upper 10 percent of the repository horizon is exposed from  
2 about here to about here. Then, we have lower lithophysal  
3 from here pretty much all the way down close to the Solitario  
4 Canyon Fault.

5           First the bulkhead studies, we're looking at flow  
6 and seepage processes in the repository host rocks. The  
7 first bulkhead is in about the middle of the lower  
8 lithophysal unit and again it goes all the way through  
9 including the isolated Solitario Canyon Fault zone. There's  
10 two bulkheads. We closed those doors in mid-June. So, we  
11 haven't been ventilating in there. We've got hydrologic  
12 instrumentation. Basically, every 25 meters, we have  
13 hydrologic instrumentation that's measuring water potential  
14 at two meters depth through the rock. And, again, we've  
15 isolated it from ventilation, but we do plan on entering in  
16 there approximately every two months. We just went in last  
17 week actually for a couple days. So, there, we break the  
18 ventilation, enter, do some maintenance on the instruments.  
19 We also do active geophysical measurements, neutron logging  
20 where we're looking at changes in water content and that  
21 requires somebody going in and actually putting something  
22 down borehole. The systematic instrumentation is hooked up  
23 by phone lines. So, that, we're collecting real time as we  
24 go. And, we're also going in and turning the head on the TBM

1 as part of the TBM maintenance program.

2           This is some water potential data from the cross  
3 drift. This is water potential in -bars. So, dry is in this  
4 direction. So, as we get wetter, water potential would tend  
5 to go towards zero. So, for example, this is over 2400  
6 meters from the start of the cross drift. Three dates  
7 plotted; December, April, and then recently here in August.  
8 A couple of things to note. You've seen the data through  
9 April at the last update. It's important to notice that  
10 early-on before we saw the effects of ventilation--I should  
11 back up and say this data is all from instruments that are  
12 two meters in the rock. So, it had yet to see the influence  
13 of ventilation at that time. So, in December, we saw  
14 relatively uniform, relatively high water potentials. Then,  
15 as we started to see the effects of ventilation even deep in  
16 the rock, this is primarily--you can just about pull out the  
17 geologic contents by looking at this data. I mentioned that  
18 the upper lith is in this area here. The middle non-lith  
19 which has a lot more longer through-going fractures, we're  
20 seeing drying along the fractures. So, that's why you're  
21 probably seeing drying due to ventilation. And, you get into  
22 the lower lith and you see much less effect of that. The  
23 lower lith has a much lower frequency of long through-going  
24 fractures.

1           This is data from a weather station, a temp to  
2 relative humidity station, that we have at the surface of the  
3 rock beyond the first bulkhead. I mention this rise right  
4 here in relative humidity is right after we closed those  
5 bulkheads. So, you can see that the environment behind the  
6 bulkheads has gone up to close to 100 percent relative  
7 humidity very quickly and the temperature tended to stabilize  
8 very quickly. Here, it looks like the first door--we had a  
9 problem with the second bulkhead door, but you can see the  
10 temperature is pretty uniform and the humidity has risen very  
11 quickly as compared to before when we were aware that we were  
12 getting influences of ventilation.

13           This is data from a heat dissipation probe just  
14 before the second bulkhead, three different depths. There's  
15 four holes here. We have instruments at 30 centimeters on up  
16 to 150 centimeters. Important point here is at great depth,  
17 we're already seeing the influence of ventilation before we  
18 closed the bulkheads. The purple right here is at 70  
19 centimeters and we were starting to see some drying as we  
20 were at 30 centimeters depth, but you can see that there's a  
21 turn and we're starting to see rewetting here. So, that's  
22 the trend associated with the rock starting to rewet right  
23 when we closed the bulkheads right around the 23rd of June.  
24 So, this is the kind of information that we're collecting

1 from those instruments that's allowing us to monitor how the  
2 drift's rewetting. And then, eventually, when we see likely  
3 spots where we might expect some drifts, we'll go in and  
4 install some drip cloth type collection systems like we have  
5 in Alcove 7 to try to collect drips if we see any. Right  
6 now, we don't expect to see anything in there. This is the  
7 kind of data that will give you a feel for the kind of data  
8 we'll collect.

9 Alcove 1, again the purpose of Alcove 1 is to look  
10 at infiltration and percolation through the Tiva Canyon  
11 through unsaturated welded tuffs. It's part of our "El Nino"  
12 testing where we're introducing a significant flux of water  
13 at the surface and then looking for how it travels through  
14 the fractured tuff, but also how seepage into the alcove  
15 below takes place. Phase 1 took place last fiscal year and  
16 we're in the process of doing Phase 2 right now. These are  
17 some of the basic statistics as of the end of August. We're  
18 again varying the application rates and I'll show you some  
19 data in a minute, but we've put about over 40,000 gallons of  
20 water on the top of the alcove and we saw seepage in Phase 2  
21 much faster, in about three weeks; whereas in Phase 1 it took  
22 about, oh, close to two months to see the first drips into  
23 Alcove 1. In Phase 2, we saw it went faster. That was  
24 because the fractures had remained relatively saturated from

1 the first phase of the experiment. And, again, this magic 10  
2 percent number, as we've gone through Phase 1 and 2, 10  
3 percent of the water that we've introduced we tend to see  
4 collecting in the alcove in the drip collection system.

5           This is just to remind everybody of the scale. For  
6 those who have been to the ESF, this is the hill going up  
7 above the--and you're about 30 meters from surface to the  
8 crown of Alcove 1. So, that's the scale of the experiment.  
9 And, the infiltration plot, this is a plan view showing the  
10 infiltration plot which is larger than the plan view of the  
11 alcove and the back end of the alcove.

12           Summation as of the end of August, plotted in blue  
13 is the cumulative amount of water in gallons through late  
14 August. Then, plotted in red is the cumulative amount of  
15 water collected in the alcove itself. So, that's the seepage  
16 volume.

17           Just to give you a feel, I mentioned that we're  
18 varying the volume. This is the flux per day that we're  
19 introducing at the top at the surface to collect in the  
20 alcove and you can see we're varying it over several factors  
21 here. The next slide is a real nice way of showing some of  
22 the interesting systematics. Again, the blue is just the  
23 applied water as a function of time. The red is the seepage  
24 water that we've collected in the alcove. A couple of

1 interesting things to note, there's a little bit of a time  
2 delay here. When we increase the volume here, it took a  
3 couple of days for us to actually see the increase in the  
4 seepage volume in the alcove below. So, you see that delay  
5 and you see that throughout as we varied the infiltration  
6 rate with time. When the process is varied, remember that  
7 there's about 10 parts per million lithium bromide in the  
8 water that we're introducing. We're in the process of  
9 starting to change that concentration to see how that affects  
10 and then we'll start getting this better idea for fracture  
11 matrix interaction, the matrix diffusion processes in the  
12 Tiva Canyon.

13 Alcove 7, again that is the southern Ghost Dance  
14 Fault alcove. Here, it was another part of our so-called El  
15 Nino experiments there. We've installed some bulkheads where  
16 we've isolated the back half of the alcove that includes the  
17 Ghost Dance Fault and we were basically looking for seepage  
18 into the alcove near the Ghost Dance Fault. A couple of  
19 bullets on what we saw. As in the cross drift, the rock  
20 returned ambient conditions meaning greater than 99 percent  
21 humidity very quickly and we had not seen any drifts. We go  
22 in there periodically. We have a drip cloth collection  
23 system and we've yet to see any dripping water in that  
24 alcove.

1           Some preliminary data from the USGS. This is the  
2 interim heat dissipation probes. This is water potential  
3 again in bars versus station location. There's two bulkheads  
4 in this alcove. One is actually up here around Station 60.  
5 So, Station 0 starts at the ESF. So, the first bulkhead  
6 isn't even shown. These particular heat dissipation probes  
7 are at about 70 centimeters depth. So, they saw a tremendous  
8 amount of drying because, remember, in the ESF we'd been  
9 ventilating for quite while before we even installed these  
10 probes. In the case of Alcove 7, the first bulkhead is not  
11 doing a very good job of sealing. So, that's probably why  
12 we're still seeing some significant drying in the rock before  
13 the first bulkhead. The second bulkhead tends to seal things  
14 off a lot better. One thing we can say, we haven't seen any  
15 dripping water. Behind that second bulkhead, the water  
16 potentials are going up to very similar to what we saw in the  
17 cross drift in the sort of -1 bar range. We don't see any  
18 influence of the fault. I say that and then there's this one  
19 outlying data point, but we think we have an explanation for-  
20 -the fact because it's showing dry water potentials, it  
21 probably is an artifact of not being in good contact with the  
22 rock. So, we're not seeing any drips. It's returning to  
23 pretty much ambient water potentials in Alcove 7, as well,  
24 despite the fact that the Ghost Dance Fault comes right



1 through here.

2 Chlorine-36 validation. In January, I told you we  
3 were about to start doing this. In June, we were in the  
4 process of drilling. I don't have a lot more to update you  
5 on. We've had some delays in the field, as well as working  
6 on some quality assurance and getting procedures together,  
7 etcetera, for the analyses. So, I don't have a whole lot  
8 more to tell you on this. But, just to refresh your memory,  
9 we are in the process of collecting samples at the Sundance  
10 Fault and the Drillhole Wash Fault structure and the ESF by  
11 drilling two to six meter long boreholes, mostly two meter  
12 long boreholes. This is again--these were two of the  
13 locations in the ESF where we saw apparent bomb pulse where  
14 June Fabryka-Martin and coworkers have found bomb pulse  
15 Chlorine-36. So, we're going in and we're conducting  
16 foundation experiments where we're taking core, analyzing for  
17 Chlorine-36 and also looking for tritium, technetium-99, and  
18 also doing some U series analyses. this is a cooperative  
19 study between the USGS, Livermore, and June is also analyzing  
20 some slits of the samples so that we have a good comparison.

21 We've completed 23 of the boreholes. More  
22 importantly, all of our procedures at the USGS, Livermore,  
23 and the Canadian group, AECL, are in place. Livermore is in  
24 the process of starting their analyses for Chlorine-36 and

1 technetium-99 and USGS has done some water extractions and  
2 they're prepared to start doing tritium analyses and also  
3 AECL has begun. I'd like to say that at the next Board  
4 meeting we'll have some real data to show you all. I'll make  
5 that a goal.

6           Fluid inclusions. Again, to refresh your memory,  
7 there's a cooperative study with UNLV, DOE, primarily the  
8 USGS, and the State of Nevada, and here we're addressing the  
9 paleohydrology, the upflowing water issues, associated with  
10 whether some of the fracture minerals have been associated  
11 with upflowing or downward percolating water. We've done a  
12 lot of sampling. We had done a lot of sampling when I talked  
13 to you in June from the ESF and cross drift. We're having  
14 integrated workshops where all the participants are getting  
15 together and looking at samples together under a microscope.

16 Right now, we're in the process of taking that sample suite  
17 and trying to focus on some of the key samples.

18           Some of the preliminary observations. There are  
19 fluid inclusions in some of these--it's primarily in the  
20 calcites that we're looking for the fluid inclusions in the  
21 fracture minerals. There are fluid inclusions that indicate  
22 relative high temperatures, 30 to 50 degrees C, a couple that  
23 maybe even have homogenization temperatures as high as 80C.  
24 The key is how old are they? What's their age? And, that's

1 really what we're focusing on right now. Right now,  
2 preliminary observations of the USGS suggest that they're  
3 restricted to the older calcites and that's based on just a  
4 field observation. The USGS is in the process, as well as  
5 UNLV independently, of identifying cross-cutting opals and  
6 primarily they'll be able to use geochronology to try to  
7 really nail the age of those fluid inclusions. So, that's  
8 really going to be the big focus into '00 and this currently  
9 is planned for '00 to really go in and look at the  
10 geochronology in detail.

11           Drift scale test, I probably don't need to remind  
12 everybody what the purpose of that is. We're evaluating  
13 coupled processes at the field scale in repository horizon  
14 rocks, in the middle level lithophysal which is the upper 10  
15 percent of the potential repository. A couple of bullets to  
16 refresh your memory, the heating phase data to date suggests  
17 that the heat transfer is conduction dominated. There is a  
18 key role being played by boiling and moisture moving around  
19 through convective processes. The pore water that's being  
20 mobilized by the heat is tending to move above the heated  
21 drift and then drains on each side. So, we're not ponding  
22 above the heated drift. We're actually draining and seeing  
23 wetting on each side below the heated drift. I think one  
24 important point here--I've got a plot that will address this

1 --is the coupled process phenomena. There's been a lot of  
2 discussion about boiling versus sub-boiling, but I think it's  
3 important to remember that some of the phenomena that we're  
4 looking at in terms of coupled processes will still occur  
5 even at sub-boiling temperatures and I think I've got some  
6 data and we'll get to that.

7           Just a refresher, there's probably no need to dwell  
8 on this, this is the way out of the drift scale test.

9           Status update, this is a plot you've seen before.  
10 Again, we're running at right around power shown in green.  
11 We're running it right around 185 kilowatts and this is the  
12 temperature profile for the representative drift wall  
13 temperature sensor. You can see some blips in here. We have  
14 had some power outages. We had a pretty long power outage  
15 actually, about four or five days, back in late June or early  
16 July. We were down for four or five days. But, some of  
17 these are actually scheduled power outages, but that's  
18 producing the blips in the temperature history, as well as  
19 the power. We're still moving forward towards a target of  
20 200C at the drift wall, but we're in the processes of  
21 scoring--remember, we have the ability to turn--right now,  
22 we're at about 100 percent power on the wing heaters and 80  
23 percent on the canisters. We have the ability to turn that  
24 power back to maintain that 200C. We're in the process of

1 evaluating how we're going to go do that here probably within  
2 the next month or so.

3           Another temperature diagram. This particular  
4 diagram is two boreholes, horizontal boreholes, that run  
5 right above the plane of wing heaters. So, that's why you  
6 get this humped profile. This is just the same set of  
7 temperature sensors. So, this is the heated drift here, the  
8 power of each borehole, and you're just moving down borehole  
9 and this is just marching through time. I believe, Debbie  
10 showed some animations of these kind of temperatures last  
11 time. The humped profile is simply because the inner wing  
12 heaters are at lower power than the outer wing heaters. You  
13 can see the flattening as we went through local boiling at  
14 96C and you've picked up the hump profile again and you can  
15 see the wing heaters where this is data through mid-August, I  
16 believe. You can see we're up above 200C close to the wing  
17 heaters. We're reaching a quasi-steady state here in the  
18 rock.

19           This gets into the point about coupled processes  
20 below boiling. Give me a minute to explain what's going on  
21 here. There's data from two boreholes shown here. They're  
22 both vertical boreholes from the heated drift. One is a  
23 temperature borehole that has RTD temperature sensors in it  
24 and then the other borehole is one of Livermore's electrical

1 resistivity tomography boreholes where they're doing  
2 geophysics to monitor saturation changes. So, what I've  
3 plotted is I've plotted temperature in the temperature  
4 borehole versus saturation. Now, what's plotted in  
5 saturation space is we did baseline measurements. We did  
6 ambient measurements before we started the test. We  
7 continued to do active measurements as we're going along.  
8 So, I'm comparing the saturation at some point in time versus  
9 what it was at ambient. So, anything less than 1 would  
10 suggest drying, if that's clear. So, what we're showing--  
11 maybe concentrate on one curve. This is data from three  
12 different days, but if you concentrate on the data for Day  
13 511, you can see that at a given--along that borehole is a  
14 function of temperature. You're seeing actual decreases in  
15 saturation below boiling. So, it's going from roughly close  
16 to a ratio of 1 to ratios below .8. Then, you can see above  
17 where we might even get a change in slope and maybe  
18 additional significant drying. This was expected. You know,  
19 if you look at the steam tables as you go up in temperature,  
20 you expect more to go into the vapor and vapor pressure would  
21 increase. I guess, the important point is we're seeing pH  
22 phenomena at sub-boiling temperatures. Chemistry, we'll  
23 still see even at 60 or 70 degrees C, if you have water, it's  
24 hot water; so, you're still going to see chemical effects and

1 there will still likely be mechanical effects. So, I guess  
2 the big message is there's still coupled process phenomena  
3 that we have to address as we go forward and incorporate  
4 information into performance assessment.

5           Busted Butte, just to refresh your memory on the  
6 purpose of Busted Butte, looking at flow and transport  
7 processes in the Calico Hills, you heard a lot about Phase 1  
8 work at the last meeting. Paul Dixon gave you an update on  
9 that. Phase 1, we basically completed the field work and  
10 we're now primarily just continuing to inject in Phase 2. We  
11 continue to collect collection pads and we're in the process  
12 of doing the quantitative analysis in the lab.

13           Just to remind everybody where Phase 2 is, I'll  
14 emphasize Phase 1 which is the smaller scale experiments.  
15 Phase 2 is the large test block here. If you've been in the  
16 tunnel when you walk in, on the right hand side. So, this is  
17 where we're concentrating our fuel work right now and right  
18 now the plan would be to continue this injection collection  
19 analysis for the program into '00.

20           Probably, I want to spend more time on the issue  
21 that I know the Board is interested in which is the  
22 applicability to the potential repository block. It was  
23 discussed some at the last meeting and I've put together some  
24 slides that you can have a look at and maybe generate some

1 discussion. Remember, Busted Butte test bed is primarily in  
2 a vitric, a glassy part of the subunit of the Calico Hills.  
3 Busted Butte is southeast of the repository block right  
4 about, let's say, eight--five or eight miles to the southeast  
5 of the repository block. Here, we're looking at a vitric  
6 subunit of the Calico Hills. We're evaluating fracture  
7 matrix interaction, matrix diffusion, and matrix dominated  
8 sorption. But, Calico Hills, it's not an analogue. It's  
9 actually a distal extension of the Calico Hills as exposed  
10 underneath the repository block. I also have a slide in here  
11 that will bring out the point. The Mineralogic-Petrologic  
12 model that we're using in ISM, the integrated site model,  
13 does provide a framework for us to look at the  
14 vitric/zeolitic distribution in the Calico under the  
15 repository block.

16           So, let me show a couple slides. This is a  
17 stratigraphic comparison. This is Borehole H-5 which is over  
18 on the west side of the repository block and the  
19 stratigraphic section as exposed to Busted Butte. This gets  
20 at my first point that this is really just a distal  
21 extension; it's not an analogue. You see a lot of  
22 similarities. You see a thick section of Calico Hills  
23 vitric; at H-5, you see a much thinner section, but still  
24 primarily vitric unit. The one thing that's missing at



1 Busted Butte is this fully zeolitized horizon or the  
2 partially zeolitized horizon, but you can see that this  
3 vitric and then in the vitric/zeolitic is exposed to Busted  
4 Butte as the distal extension of that formation.

5           Getting at the Min-Pet model and the  
6 representiveness, this is a slice out of the Mineralogic-  
7 Petrologic model from ISM. This is the ESF here just to get  
8 you oriented. Here is the ESF, there's the cross drift. So,  
9 the repository block is right in there. The color ski is  
10 percent to zeolites. Again, this is the top of the Calico  
11 Hills. So, it's the very top of the Calico Hills. So, you  
12 can see on the side here, the cutaway, it also shows the  
13 other parts of the Calico Hills. So, theoretically, I could  
14 just show a series of slides and it shows slices of the  
15 Calico. For purposes of this discussion, if you look at the  
16 overall average zeolite distribution in the whole Calico, it  
17 tends to be zeolitic in the upper half and vitric in the  
18 lower half. You can see also on here are these--excuse for  
19 the projection--but there is these lines, these sort of  
20 slanted lines. Those are actually for borehole control. So,  
21 these are the boreholes where we have input for the Min-Pet  
22 model. So, this is the kind of framework that we have to  
23 understand the vitric and zeolitic distribution in the  
24 Calico. Then, use the information from Busted Butte to

1 incorporate that into the process model. So, this gives you  
2 a feel for the borehole coverage and how confident we might  
3 be in the distribution under repository block.

4           On to the saturated zone, we are in the process of  
5 incorporating data from the Nye County program. This gives  
6 you a list of some of the data that's being incorporated into  
7 the saturated zone flow and transport model. Looking at  
8 cuttings from their wells, incorporating lithologic data into  
9 the hydrogeologic framework model. We're also looking at the  
10 water-level data for far-field calibration. Looking at the  
11 pump test data. We've also taken some samples of alluvium  
12 and we're doing some laboratory sorption experiments at Los  
13 Alamos for these three key radionuclides to incorporate into  
14 the process model, as well as performance assessment. Then,  
15 we've collected some water samples and we're doing  
16 hydrochemistry, major cations and anions primarily again for  
17 calibrating the flow fields, and finally we've also done some  
18 Eh/pH measurements in some of the boreholes, as well, to  
19 address some solubility speciation issues for some of the key  
20 radionuclides; namely, technetium and neptunium are two of  
21 the important.

22           We're also working diligently to establish some  
23 processes and interfaces so that we can take the Nye County  
24 data, transfer it, control it, and allow for incorporation

1 into our saturated zone Process Model Report. And, we're in  
2 the process of integrating and coordinating and working with  
3 Nye County for the next phases and Jean will talk a little  
4 bit about that tomorrow.

5 SD-6, I had mentioned in June that we had finally  
6 hit total depth on SD-6 and we were in the process of doing a  
7 pump test. These are some preliminary results from the USGS  
8 and studies there. We pumped the borehole for about two  
9 weeks. We were about 300 feet below the water table. That  
10 was our total depth. We were only able to pump at about 15.5  
11 gallons per minute which was much less than we thought we  
12 would be pumping at. We drew the well down by about 163 feet  
13 and we were monitoring nearby boreholes to see if we could  
14 stress the aquifer in a more regional sense and we were  
15 unable to see any drawdown in any of the nearby holes. And,  
16 at first cut, a very preliminary conclusion would be the  
17 permeability of the water-bearing fractures that we  
18 encountered at the bottom of SD-6 was very low and any  
19 transmissivity estimates that we're getting out of the test  
20 probably aren't representative of the primary fracture  
21 system. But, again, we met the testing requirement. We hit  
22 the water table and then went the additional 300 feet and  
23 were able to at least generate a reasonable pump test over  
24 two weeks.

1           Switching gears completely from the natural system  
2 over to the engineered system. We've talked about the Atlas  
3 testing, the pilot-scale testing that's going on in north Las  
4 Vegas. First, I'll talk about the test canister #1. That's  
5 where we were looking at Richard's Barrier that was  
6 originally conceived to support the LADS effort early-on, but  
7 we're continuing this test because we're also gaining  
8 valuable information on potential backfill materials. That  
9 test is continuing. Again, it's a Richard's Barrier. It's a  
10 core and with a medium sand over top of it and I'll show some  
11 pictures in a second. But, it's been going on since mid-  
12 December and we are dripping at superpluvial rates, a lot of  
13 water going on top of this Richard's Barrier. And, it  
14 continues to effectively re-divert the water and I'll show a  
15 plot that gets at that point in a second.

16           Just a reminder, this is about a meter and a half,  
17 a little under a meter and a half in diameter in the canister  
18 itself. It's about four meters long. There is a clear  
19 acrylic plastic tube that is sort of a mock waste canister  
20 and you have the coarse with the fine aggregate over top and  
21 there's instrumentation throughout the backfill. We're also  
22 weighing the tank and we're also weighing the breakthrough  
23 water and that's what gives us our mass balance on where the  
24 water is flowing through the system.

1           Just some pictures. This again is that acrylic--  
2 that mock waste container and this is when we were in the  
3 process of putting the backfill into the system and here's  
4 the top of the fine after we were finished emplacing the  
5 backfills.

6           This shows some data as of pretty much the end of  
7 August. This is the water bounds for canister 1. So, we've  
8 got weight, the water in pounds versus time. The blue curve  
9 here is the weight of the water injected. The purple curve  
10 here called stored is the weight of the tank that basically  
11 that's the water that's being stored in the backfill. So,  
12 that's the change in the weight of the tank with time. And  
13 then, we've also plotted the breakthrough water. So, you can  
14 see what makes up this difference is primarily the water  
15 that's been diverted by the capillary barrier itself, the  
16 coarse/fine interface. So, that's being collected off the  
17 sides of the canister. So, the basic point here is that  
18 nearly 98 percent of the water is either diverted by the  
19 barrier or it's stored in the backfill. So, we've seen very  
20 little breakthrough.

21           Test canister 2 was a normal backfill. I talked  
22 about that last meeting. That only ran for about three to  
23 four weeks. So, I'm going to focus a little bit on canister  
24 3 and that's in the process right now. Some things happening

1 there. That's to look at processes in the EBS, but we've got  
2 a drip shield with a mock waste package. So, again, it's a  
3 drip shield. It's a two centimeter thick stainless. It's  
4 got a crushed tuff invert, no backfill. And, we're just in  
5 the process of starting the dripping. So, we heated with no  
6 drip shield from early June up until early last week. We  
7 then emplaced the drip shield and heated pretty much end of  
8 last week, over the weekend, and I haven't had a chance to  
9 check, but we were supposed to start dripping yesterday  
10 or today. So, we should be in the process of dripping onto  
11 that drip shield right now and then monitoring the  
12 interaction between the drip shield and the waste package and  
13 particularly focusing on whether we get any condensation on  
14 the underside of the drip shield and dripping out of the  
15 waste package.

16 This is again same scale. This is just a drawing  
17 of that test layout. I've got a test layout, I've got a  
18 picture of this that's more informative. This is again about  
19 a meter and a half in diameter. Here's the drip shield with  
20 the mock waste package. There's a five kilowatt, 5,000 watt,  
21 heater that runs down the axis of this mock waste package and  
22 then there's crushed tuff ballasted in the invert. And,  
23 again, there will be no backfill placed over the top of this.  
24 So, we'll be dripping in drip collection systems above the

1 drip shield. And, Livermore, primarily, has done a whole  
2 series of predictions on what they expect to see here, much  
3 different conceptual models, and so it will be interesting to  
4 compare to what we actually see. We're in the process of--  
5 there's additional testing plan and Jean will get to that  
6 tomorrow and also talk a little bit more about canister 3.

7           This is data from canister 3. What we're doing is  
8 this is data from four different temperature sensors. This  
9 shows where the tests are coming from just to show you that  
10 we're maintaining the temperature of that mock waste canister  
11 at eight degrees C and the surface of the test canister  
12 itself is maintained at 60 degrees C and you can see the  
13 temperature in the invert is close to 65C, but this is data  
14 that we've been collecting since mid-June just as a baseline  
15 before we emplace the drip shield.

16           Switching gears now over to waste package  
17 materials, everybody understands the objective here is to  
18 confirm corrosion rates and the corrosion mechanisms for  
19 waste package and drip shield materials. So, the testing  
20 program that you heard about from Joe Farmer in June, you're  
21 going to hear more about tomorrow interims of model  
22 validation. That's ongoing. So, we're still addressing the  
23 key materials degradation issues. We're still looking at a  
24 wide range of test environments, varying the total solid

1 content of J-13 all the way up to basically saturated J-13.  
2 So, anywhere from 10 times all the way up to saturated now,  
3 varying pHs, etcetera.

4           We are looking at localized corrosion testing in  
5 terms of crevice corrosion, as well as looking at the  
6 stability of the passive films and the influence of hydrogen  
7 pickup on the candidate materials, and we also are doing some  
8 interesting studies on the long-term stability of the passive  
9 films that develop on Alloy 22 and the titanium drip shield  
10 materials. Basically, by doing a lot of microstructural  
11 examination with atomic force microscopy to see--basically,  
12 you take a topographic map of the surface of the specimen so  
13 you can see how that passive film grows and what it's  
14 distribution is over the surface.

15           We're also looking at stress corrosion cracking.  
16 There, we're actually, you know, initiating cracks and  
17 looking at how they grow, looking at how the passive film  
18 interacts with the alloy. Then, finally, we're also doing  
19 some computer simulations, thermodynamic modeling of the  
20 long-term thermal stability in terms of the stability of  
21 Alloy 22 and how the impact of intermetallic phases and other  
22 phases might affect the long-term stability of Alloy 22.

23           That's a very quick overview of what they're doing  
24 at Livermore. Joe will probably touch on a lot of that in



1 more detail tomorrow. That's it for my update.

2 KNOPMAN: Thank you, Mark.

3 Questions from the Board?

4 NELSON: Thanks for a lot of information, Mark. I've  
5 got a couple of questions for you and I'll just throw them  
6 out at you. I think the first that I have is water  
7 potential, it seems to not get to zero. What water potential  
8 would you expect? Is there a linkage? Does it have to get  
9 to zero before you have drips?

10 PETERS: You know what, you're asking a non-hydrologist  
11 and I believe it does not have to get to zero to see drips,  
12 but somebody--

13 NELSON: Is there a model for the prediction of where it  
14 has to be to get drips?

15 PETERS: Well, he's gone? He's outside.

16 NELSON: Okay. I'll ask him tomorrow. Can I ask you is  
17 there any air exchange evidenced through the rock mass? I'm  
18 trying to understand how much of it is air exchange. Maybe  
19 air exchange from the bulkheaded zones with outside through  
20 the rock mass?

21 PETERS: We grouted and we sealed with sodium silicate  
22 on each side of the bulkhead to try to minimize that. So,  
23 you're thinking two to five meters back through the fracture,  
24 rock mass, and around?

1           NELSON: Yeah, I'm wondering because you seem to say  
2 there is some evidence that there is some circulation like  
3 that. You get a barometric response, some sense of an air  
4 movement possible. Could be something like an air dilution  
5 rate, you know, if you put some gas in there. Maybe  
6 something like a dilution rate might be used to--

7           PETERS: But, the air moving through the mountain with--  
8 you'd see that just any--I mean, what we're primarily seeing  
9 is the effect of the ventilation from following it. The  
10 ventilation will mask that in my mind.

11          NELSON: Right. Well, except in the bulkheaded  
12 sections.

13          PETERS: Yeah, and there we're just going back to  
14 whatever--but, that air flow through the mountain is going to  
15 produce some kind of natural saturation level in the  
16 mountain. We're not communicating. We're not seeing any  
17 evidence behind the bulkhead of any communication through the  
18 rock mass other than what you would expect normally.

19          NELSON: Well, I actually suspected through the rock  
20 mass with the presence of the bulkhead and the openings that  
21 do communicate with the outside, you're going have some air  
22 exchange.

23          PETERS: But, we've actually seen real nice ceiling at  
24 that--that first bulkhead seems to provide a very--it's

1 providing a really good seal. I'm sure there's going to be  
2 some impact, but talking to the USGS hydrologists, that first  
3 bulkhead, so far, seems to be sealing up pretty well. We're  
4 seeing very little--

5 NELSON: But, you do expect some permeability to the  
6 rock mass in which case there must be--

7 PETERS: Yeah, but I'm not sure we would be able to pick  
8 that up in the noise of what we're looking at.

9 NELSON: Okay. Just real fast, do you have a model for  
10 the Richard's Barrier such that it might be possible to use  
11 it to evaluate the effect of construction imperfections on  
12 performance?

13 PETERS: We have a performance model for the Richard's  
14 Barrier, yes. You mean constructability?

15 NELSON: Yes.

16 PETERS: It hasn't been addressed in detail because it's  
17 not being carried forward anymore as an option, if I'm  
18 answering the question. And, they've looked at some of that,  
19 I believe, during the LADS effort, but right now, the  
20 Richard's Barrier isn't being carried forward as an  
21 engineered barrier option. Right now, we're going with the  
22 drip shield so that we haven't really looked at the  
23 constructability issues in any more detail.

24 NELSON: Okay.

1           KNOPMAN: Dick?

2           PARIZEK: On the figure that shows the number of  
3 boreholes that penetrated the Calico Hills--it's Figure 32--  
4 how many white lines should I have counted? Some of them  
5 seem close together and then some of them are short and some  
6 are long. It's not only the pattern of zeolite immediately  
7 under the footprint, but also at different depths below the  
8 footprint. Are all implied there by the length or the height  
9 of the white bar?

10          PETERS: All those boreholes are boreholes that  
11 penetrate the Calico.

12          PARIZEK: Partway or all the way to the water table?

13          PETERS: Well, it varies.

14          PARIZEK: So, I guess part of this is what percentage of  
15 the rock mass would be zeolite from the footprint clear to  
16 the water table and some holes would tell us that and others  
17 would not?

18          PETERS: Exactly.

19          PARIZEK: So, how many holes are there all together? Do  
20 you feel good about saying spatially how zeolites vary under  
21 the footprint?

22          PETERS: I think we feel good about how we understand it  
23 sort of in a north-south direction because we've got  
24 boreholes here and boreholes along the ESF. Where we have a

1 lack of borehole coverage is within the block here.

2           PARIZEK: That's kind of an important place to have some  
3 boreholes.

4           PETERS: It's also an important place not to have holes.

5           PARIZEK: But, extrapolating Busted Butte, say, results  
6 on the Calico Hills is sort of then problematic as to how  
7 relevant the data would be to this particular footprint area.

8           The other question is will the program do anything about  
9 that? We heard the possibility you might do some Busted  
10 Butte type experiments. Is that in the thinking or not yet  
11 in the thinking or shouldn't we worry about it? Well, I  
12 think I'm worried about it because I don't know what's down  
13 there for rocks.

14           PETERS: Okay. Two points. It sounds like the issue--  
15 you come right to the issue in my opinion. It's not whether  
16 --Busted Butte isn't an analogue; it's distal extension. The  
17 issue is how well we understand what's under the block. I  
18 think it's subtle, but that's the issue. Right now, we don't  
19 have any plans to do any additional characterization of  
20 Calico.

21           PARIZEK: I guess, if the results over the Busted Butte  
22 experiment are siting, as they seem to be, then we want to  
23 know should we stay sited or should we get service by the  
24 extrapolation. So, I guess, the program has to really dig

1 into that.

2           PETERS: Yes, the answer is we have to look into whether  
3 we can defend the dataset that we have and can we use the  
4 Busted Butte results or we have--or, you know, we have to  
5 look at options. I think that's something the program has to  
6 be able to do.

7           PARIZEK: All right. Now, SD-6 had a very low  
8 transmissivity value, but that doesn't imply that rocks  
9 around the footprint will have low values because the  
10 pneumatic data suggests high values in places.

11           PETERS: That's right.

12           PARIZEK: So, that's just saying at least it didn't hit  
13 any big fractures or big faults.

14           PETERS: That's right.

15           PARIZEK: So, that's neither here nor there, but it's  
16 useful.

17           PETERS: But, at the bottom there, we were in--we were  
18 well below, we were deep.

19           PARIZEK: Deep, okay. Yeah, then, on the water samples  
20 that are coming out of the heated experiments, I guess, you  
21 had going on, do we know anything about the chemistry of that  
22 water and we do know what minerals are being mobilized and  
23 where the minerals are going? I'm kind of interested in a  
24 couple of the papers that were given to me here by--I can't

1 pronounce his name properly. It's the Walters papers dealing  
2 with silicate mobility.

3 PETERS: Right.

4 PARIZEK: And, it seems to be minor temperature changes  
5 moves a hell of a lot of silicate. And, here, you've got  
6 some temperatures at least in one of those places that you  
7 showed up that was 80 degrees Centigrade to 65 degrees  
8 Centigrade. That would be high enough to mobilize silicate,  
9 it would appear. Is there any data on that?

10 PETERS: Yeah, there's actually quite a bit. We're  
11 seeing variations in the pH, quite a bit of variation in the  
12 pH. When we see water that's truly not--we've got a problem.  
13 It's we're sampling water sometimes that's actually  
14 condensate that's condensing in the sampling tube. So,  
15 you've got to be careful. Other pHs get down below five, but  
16 that's, I think, easy to understand. pHs where we're  
17 collecting real water from the hole that's not condensing in  
18 the tube, the ambient pH in the middle non-lith is probably  
19 high sevens to above eight, and we're getting pHs below seven  
20 as the testing has continued as we've collected water. The  
21 dissolved solid content is a little less than J-13 in most  
22 cases, but we're seeing evidence of interaction with the  
23 fracture minerals, primarily calcite silica as it condenses  
24 and interacts with those minerals as it drains into the

1 borehole.

2           I think Debbie talked last time about the influence  
3 of CO<sub>2</sub>. We are seeing a CO<sub>2</sub> rich gas halo in front of the  
4 boiling front and that's probably driving a lot of the pH  
5 changes. I think there's probably a lot of calcite  
6 dissolution going on. There is some interaction with the  
7 opal in the fractures, but I couldn't pull the exact silica  
8 concentrations out of my head for you right now. But, we've  
9 got that information. That's available and we could get  
10 that.

11          PARIZEK: And, the drift scale heater experiment you  
12 showed last time or maybe Debbie did, the water movement--  
13 well, the water did move because it seemed like bluer on the  
14 cross-sectional diagrams that were shown by the wing heaters  
15 showing that water somehow got from the rock and got  
16 underneath it, but not whether it went by matrix or went  
17 through fractures. Is there anything new known about the  
18 mechanism of flow or whether it's going through fractures or  
19 matrix? It's redistributed moisture, but how does it get  
20 there?

21          PETERS: That's hard to tell with the geophysical  
22 methods that we have. We do know there's a lot of water  
23 flowing through the matrix based on the chemistry, but that's  
24 hard to--using the geophysical methods that we have, it's



1 hard to tell whether it's fractures or matrix controlling  
2 that flow.

3 PARIZEK: Will Bo address that tomorrow to show us that  
4 he can model it?

5 PETERS: Well, you can model it if you do a permeability  
6 type conceptual model. Yeah, we modeled it. We did our  
7 predictions with equivalent continuum conceptual model and a  
8 DKM conceptual model and we clearly can reproduce where the  
9 moisture is moving if we use our DKM predictions.

10 PARIZEK: That's what I thought. We saw one diagram  
11 that showed the predicted versus observed and--

12 PETERS: Yeah. Yeah, I thought you meant the actual  
13 measurements because when I go out and do geophysics I can't  
14 tell you, oh, that pocket of water is moving through  
15 fractures or matrix, but I can tell you the overall water  
16 distribution is consistent with the dual permeability  
17 conceptual model. Maybe that answers it.

18 KNOPMAN: Okay. If I may, while you have this slide up,  
19 just jump in here with a question. Can you show us on this  
20 slide where H-5 is?

21 PETERS: I believe, it's down here.

22 KNOPMAN: Okay. Now, your scale goes--

23 PETERS: Maybe a little further south. It's down the  
24 south of the crest.

1           KNOPMAN:  Okay.  Okay.  Your scale on that goes from  
2 zero to, what, 85--

3           PETERS:  85, yeah.

4           KNOPMAN:  --percent.  And, yet, I see about six  
5 boreholes in the repository block and I see a huge amount of  
6 variation.  So, wherever you don't have data, you've just--it  
7 looks like you've just--I can't figure out how you could  
8 construct that kind of a--

9           PETERS:  This is out of the integrated site model which  
10 --

11          KNOPMAN:  I know, but wherever it comes from, I still  
12 don't see how you can blend those pretty colors when you  
13 don't have any data.

14          PETERS:  This comes directly out of the framework model.  
15 We have points of data and then there's a--

16          KNOPMAN:  From what?

17          PETERS:  The data points are from the boreholes, and  
18 then in between those data gaps, you have a--

19          KNOPMAN:  A what?

20          PETERS:  A framework program, Earth Vision, commercially  
21 available that draws surfaces between those data points and  
22 provides a framework.  It's used by petroleum companies,  
23 etcetera, for doing basin models, everything.  It's just  
24 Earth Vision is a commercially available software package

1 that uses geologic framework.

2           KNOPMAN: Yeah. No, I have no doubt you can use any  
3 number of interpolation models. I'm just trying to  
4 understand why you'd use one over another. What basis do you  
5 interpolate points when you have that few and then most of  
6 them seem to be, you know, along kind of a transect there. I  
7 don't know how you go laterally from those, I don't know what  
8 the basis is for the--

9           PETERS: Well, for example, you--

10          KNOPMAN: How do you interpolate it, extrapolate--

11          PETERS: Well, you also use somewhat your geologic  
12 knowledge. You know in these kind of set sequences that  
13 there's very rarely significant lateral thickness variations.  
14 Okay? You're extending away from the caldera in this  
15 direction. From here to there, you don't expect it to go  
16 from that thick up to that thick because you also have  
17 understanding of the overall geology of the area. So, you're  
18 using some sort of geologic reasoning to make sure that the  
19 output makes sense. You've got a surface geologic map and  
20 you've got exposures of the sections to also confirm that.  
21 So, I mean, as much as it might look like magic, I mean  
22 you've got a lot of other controls on it that allow you to  
23 make sure that it makes sense.

24          KNOPMAN: But, is it fair to say that there was some

1 surprise involved when the cross drift was constructed as to  
2 where exactly the contacts were, and as a consequence, we now  
3 have a lot more of the repository in the lower lith than was  
4 imagined before the cross drift?

5         PETERS: Actually, if you go back--the results of those  
6 predictions versus what we actually saw were presented  
7 probably in January or maybe the meeting prior and the  
8 earlier version of the geologic framework model predicted  
9 where we thought we'd see the contacts. And, if you look at  
10 vertical, how far were we off vertical, it was within a  
11 couple meters. So, it depends on how bad you want to--I'd  
12 say that's pretty good.

13         KNOPMAN: Okay. I don't mean to be giving you a hard  
14 time. I'm just trying to figure it out as to how you infer  
15 from your existing base of knowledge to get what, I think,  
16 misleadingly shows a tremendous amount of detail and  
17 differentiation on a--that's just my view.

18         PETERS: What I wanted you all to understand here is  
19 this is our understanding and this is the data that we'll use  
20 to understand what the distribution is under the block. I  
21 think it was important for you to know that.

22         KNOPMAN: Okay. Alberto?

23         SAGÜÉS: So, really, there's only like about eight  
24 boreholes in the proposed repository footprint, roughly?

1           PETERS:  There's none in the repository footprint except  
2  for SD-6.  All the rest are outside the repository footprint,  
3  the block.

4           SAGÜÉS:  Uh-huh.  Okay.  Maybe I cannot see the scale  
5  very well there.  It would look like--are those inside the  
6  repository or--

7           PETERS:  No, the repository is actually pretty--you can  
8  delineate the repository pretty much by those boreholes.

9           SAGÜÉS:  Okay.  So, then, really, the information  
10  inferred for the repository footprint comes from points that  
11  are--all of the data is coming from points outside the  
12  repository footprint?

13          PETERS:  Just outside the block.

14          SAGÜÉS:  Uh-huh.  And, that particular color map has not  
15  taken into account information derived from the cross drift,  
16  right?

17          PETERS:  Well, the cross drift doesn't get into the  
18  Calico.

19          SAGÜÉS:  Okay.

20          PETERS:  The cross drift is just to the Topopah.  So,  
21  the Topopah data is in there, but that's stratigraphically  
22  above the sets up here in the cutaway.

23          SAGÜÉS:  All right.  Now, if you were to use a different  
24  commercial software program, would the--for example, that

1 little white spot in the middle of the--

2 PETERS: I think they're all the same. Well, it's all  
3 basically the same interpolation scheme.

4 SAGÜÉS: I see, okay. The question I had originally--

5 KNOPMAN: Excuse me, Alberto, I'm sorry, but they're not  
6 all the same. You can choose many, many different models for  
7 interpolation that will give very different results.

8 PETERS: Okay.

9 KNOPMAN: Okay.

10 PETERS: Mark Tynan, did you want to add something?

11 TYNAN: I'm not tall enough. Can you hear me? I guess,  
12 it's fair to say that you are very correct. The only way we  
13 can determine beyond a reasonable doubt what the zeolite  
14 content of any part of the Calico is is to dig it out. So,  
15 what are the--how much do we have to do? And, there's a  
16 couple of observations that aren't perfectly clear from this.  
17 We did not have a summation of the percent of zeolites top  
18 to bottom through the Calico to present you. That probably  
19 would have been a little bit more enlightening.

20 But, two things that you do see about the Calico is  
21 the distribution of the zeolitized materials is more common  
22 towards the north and towards the east. And, as you go down  
23 through the section, at the base of the section, there's more  
24 zeolite; and at the very top, it appears to be there's a

1 little bit more zeolite. The zeolite maps were constructed  
2 in a complex manner like everything else in the program, but  
3 it was done by essentially unit and they were done from  
4 available core data, the available geophysical data where you  
5 can tie the geophysics to the core, and then extrapolate it  
6 to a percent of zeolite based on the geophysical response,  
7 too. So, where we had core information added to that, you  
8 produce this.

9           If there's an infinite number of ways to present  
10 this information, I don't think that's wrong, but there's  
11 some limitations on how far we can go with the information  
12 that we have. But for a reasonable representation of the  
13 distribution of the zeolites by unit which is what they did  
14 within the Calico, it's fairly good. It's fairly  
15 representative to the extent that we can do that.

16           Now, whether or not, let's say, there's a fault  
17 that controls the zeolitization in the west from the north-  
18 south drift or something else, you really can't tell. But,  
19 are these rapid dropoffs, are they gradual? You know, the  
20 only way we can tell is to completely drill the area. But,  
21 ultimately, it probably doesn't make a big difference. I  
22 think you'd have to look at the total unit content of what it  
23 looks like and that's still to come another month or so down  
24 the road before we can discuss that in any detail.

1           KNOPMAN:  Okay.

2           PETERS:  It's really on how you handle the Calico in the  
3 PA, as well, in the process model of the PA; where you are in  
4 terms of conserved and bounding as to whether the  
5 information--it gets back to how much are we going to use  
6 Busted Butte information in the SR.

7           KNOPMAN:  Okay.  Again, I apologize for jumping on you  
8 about this, but it is a point that we've been puzzling about  
9 because there are important results that come out of Busted  
10 Butte, but they become less important or difficult to deal  
11 with if we don't understand what's going on in the repository  
12 block.

13                       Priscilla?

14           SAGÜÉS:  Excuse me, my original question was something  
15 different.  But, really quickly, on the EBS pilot-scale  
16 testing in your Slide 39, what is the main objective of this?  
17 Surely, it's not to drip water on hot stainless steel by  
18 itself because, you know, a lot of that could be inferred  
19 from just steam properties and the like.  Is it the backfill  
20 effect; what's the main objective?

21

22           PETERS:  There's no backfill.  Primarily, one of the big  
23 issues is to address whether you're going to get wetting in  
24 the invert and any condensation on the underside of the drip



1 shield dripping onto the mock waste package. So, it's  
2 without backfill looking at the response of the drop shield  
3 as it drains and any potential condensation on the underside.  
4 The next test canister will be to--there will be backfill  
5 emplaced over top of the drip shield and that will be the  
6 next test that will be conducted. Similar dripping again.  
7 That will then overlay the impact of backfill.

8 SAGÜÉS: I see. So, it's really what comes from the  
9 effect of the crushed tuff and the like. Are they doing any  
10 modeling on this just based on--

11 PETERS: Yes, they're doing predictive model--let me  
12 back up. We're measuring properties of the crushed tuff, as  
13 we have with all the backfills in the lab and then they're  
14 also doing predictive modeling of the response to this using  
15 at least three or four different conceptual models and then  
16 comparing that to what they actually see.

17 KNOPMAN: Any further questions from the Board or the  
18 staff?

19 (No response.)

20 KNOPMAN: Dan, did you have a question?

21 BULLEN: Oh, no.

22 KNOPMAN: No, okay. Mark, thank you very much. It was  
23 an excellent overview of a lot of material in a short amount  
24 of time.

1           PETERS:  You're welcome.

2           KNOPMAN:  We're going to now turn to our public comment  
3 period in one minute.  Just stand by.

4           (Pause.)

5           COHON:  Sorry about that, but it's the curse of cell  
6 phones.  You've all been there.  If we didn't have them, we  
7 wouldn't have interruptions like this.

8                   We have one person who signed up to speak.  That's  
9 Walter who will pronounce his last name for me when he comes  
10 to the microphone.  Walter?  Sorry, I couldn't read your  
11 writing.  If you could identify yourself?

12           MATYSKIELA:  My name is Walter Matyskiela and I'm a  
13 consultant.  I've been doing some work for the State of  
14 Nevada.  I happened to hand Dr. Parizek a copy of a paper  
15 that I'd written a year or two ago which looked at a natural  
16 analogue for the most important physical process that the  
17 waste is going to impose on the mountain which is the heat.  
18 Most of what natural analogues people have talked about are  
19 relatively insignificant compared to what--have little to say  
20 about what the heat is going to do to the mountain and the  
21 fundamental issue is the silica mobility.

22                   As we're aware, the mountain is 80 percent silica  
23 and it turns out most of the silica in the mountain is in a  
24 metastable state; in other words, it's not well crystallized.

1 It didn't crystallize slowly; it crystallized very rapidly.  
2 For example, the vitric glass is an extremely soluble silica  
3 mineral. The cristobalite which constitutes 10 percent of  
4 the Topopah Springs, for example, is extremely soluble. It  
5 has very high dissolution rates.

6 The paper that Dr. Parizek referred to looked at  
7 the effect of a small sill that was intruding into a tuff  
8 that was very similar to the Yucca Mountain tuff. In fact,  
9 one of the units there is the Paintbrush Tuff. It's a non-  
10 welded vitric tuff. But, there is also a devitrified tuff  
11 there and we looked at what the effect of the heat was on the  
12 silica minerals in the tuffs that were around the intrusion.

13 We inferred that there was a significant amount of water  
14 moving in the fractures and the water carried some silica  
15 around and if we distributed it and put it in places where we  
16 might not want it to go, you were worried about isolating  
17 waste in the repository, for example.

18 Most recently--I've left some abstracts out in the  
19 table in front and outside in the hallway--we figured out how  
20 this happens if the silica minerals get so rapidly dissolved  
21 in the water that's moving. Everybody understands that the  
22 heat mobilizes the water out of the pores and it condenses  
23 somewhere. Most people, I think, initially, five years ago,  
24 would have told you that the water was going to just

1 disappear. It was going to go away. Don't think about it  
2 anymore. That doesn't happen. What happens is it goes  
3 someplace where it's cooler and it condenses and then it  
4 trickles down. As it's trickling down the fractures, the  
5 connection between the pores and the tuff and the rapid  
6 movement of the water in the fracture allows the large  
7 surface area of the tuff pores to provide a huge dissolution  
8 surface for the silica minerals which have high dissolution  
9 rates, anyway.

10           So, essentially, what you do is you can saturate  
11 water with slowing in a fracture over a distance of about one  
12 meter. Start with distilled water, one meter down, that  
13 water is now completely saturated for whatever temperature it  
14 happens to be flowing at with silica which means that you're  
15 sucking silica out of the pores of the rock quite rapidly.  
16 So, you're going to deplete--you know, open up the pore sizes  
17 high up and you're going to move that silica somewhere down  
18 below the mountain, wherever it goes. But, if you really  
19 worried about adsorption, for example, of radionuclides below  
20 the repository--this would be one of your key isolation  
21 mechanisms--you really should think about what all that  
22 silica is going to do as it migrates downgradient and runs  
23 across cooler temperatures with saturated solutions of  
24 silica. I would guess that's probably going to come out a

1 solution and coat most of those porous areas of the Calico  
2 Hills that you were just looking at for so long and make them  
3 unavailable for adsorption even if they were going to be  
4 available for adsorption to begin with.

5           So, I think there's some real issues about moving  
6 the silica around in the mountain because of the heat. This  
7 coupled process that most people have not paid much attention  
8 to, I think there's probably some reason that you ought to  
9 pay more attention to it.

10           And, my name is pronounced Matyskiela. I just  
11 wanted to stand up here and correct my name.

12           PARIZEK: Yeah, I apologize for not saying it.

13           MATYSKIELA: That's okay.

14           PARIZEK: You told me how to say it and I forgot. I  
15 apologize for that.

16           MATYSKIELA: Anyway, I'm done unless anybody has a  
17 question.

18           COHON: Thank you very much.

19           Are there any other comments or questions from  
20 anybody?

21           (No response.)

22           COHON: Anybody want to talk about the difference  
23 between SR and LA?

24           (No response.)

1           COHON: No? Okay. We stand adjourned for today. We'll  
2 reconvene tomorrow at 9:00 o'clock sharp. Thank you to all  
3 of our speakers and all of our participants. Thank you.

4           (Whereupon, the meeting was recessed, to reconvene 9:00  
5 a.m. on Wednesday, September 15, 1999.)

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20