

UNITED STATES
NUCLEAR WASTE TECHNICAL REVIEW BOARD

FALL BOARD MEETING

Wednesday
September 24, 2008

Suncoast Casino
9090 Alta Drive
Las Vegas, Nevada 89145

NWTRB BOARD MEMBERS PRESENT

Dr. B. John Garrick, Chairman, NWTRB
Dr. David J. Duquette
Dr. Ali Mosleh
Dr. Andrew C. Kadak
Dr. Henry Petroski
Dr. William Howard Arnold
Dr. Thure E. Cerling
Dr. William M. Murphy
Dr. Mark D. Abkowitz
Dr. Ronald M. Latanision
Dr. George Hornberger

SENIOR PROFESSIONAL STAFF

Dr. Bruce E. Kirstein
Dr. David A. Diodato
Dr. Daniel S. Metlay
Dr. Gene W. Rowe
Dr. Carl Di Bella

NWTRB STAFF

Dr. William Barnard, Executive Director
Karyn D. Severson, Director External Affairs
Joyce M. Dory, Director of Administration
Linda Coultry, Meeting Planner

I N D E XPAGE NO.**Call to Order and Introductory Statement**

B. John Garrick, Chairman	
U.S. Nuclear Waste Technical Review Board	4

Program and Project Overview

William Boyle, Director	
Regulatory Authority Office	
U.S. Department of Energy	10

Waste Acceptance Panel

David Zabransky - DOE	28
Adam Levin - Exelon Corp	34

Transportation Panel

Board Lead Mark Abkowitz	
Gary Lanthrum - DOE	76
Steve Edwards - Progress Energy	83
Robert Halstead - State of Nevada	85

Lunch	137
------------------------	-----

Surface Facility Design

Board Lead Howard Arnold	
John Orchard - DOE	138
Jim Low - DOE	149

Repository Site Operations

Board Lead Howard Arnold	
David Rhodes - DOE	172

Integrated System Operations Panel

Board Lead Mark Abkowitz	
David Zabransky - DOE	196
Adam Levin - Exelon Corp	200
Rod McCullum - NEI	204
Steve Frishman - State of Nevada	212

Equipment & Facility Testing Program

Board Lead Henry Petroski	
David Rhodes - DOE	232

Public Comments	258
----------------------------------	-----

Adjourn Public Meeting	268
---	-----

P R O C E E D I N G S

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

8:00 a.m.

GARRICK: Good morning. Welcome to the Nuclear Waste Technical Review Board's fall meeting.

My name is John Garrick. I'm Chairman of the Nuclear Waste Technical Review Board, and, when I am not engaged in Board matters, I'm a consultant specializing in the application of the risk sciences. I also act as the Board's technical lead on Radiation Dose Assessment.

As I introduce the other Board members, I ask that they raise their hand.

Mark Abkowitz. Mark is a Professor of Civil Engineering and Management Technology at Vanderbilt University, and Director of the Vanderbilt Center for Environmental Management Services. Mark chairs the Board's Panel on System Integration, and is the Board's technical lead on Transportation, and, quite naturally, will be leading the Board's discussion today on transportation and integrated system operations.

Howard Arnold. Howard is a consultant to the nuclear industry, having previously served in a number of senior management positions, including vice-president of the Westinghouse Hanford Company and president of Louisiana Energy Services. Howard chairs the Board's Panel on Preclosure Operations and will be leading the Board's

1 discussion today on surface facility design and repository
2 site operations.

3 Thure Cerling. Thure is a Distinguished Professor
4 of Geology and Biology at the University of Utah. He is a
5 geochemist, with particular expertise in applying
6 geochemistry to a wide range of geological, climatological,
7 and anthropological studies. Working with Panel Co-chairman
8 George Hornberger, Thure is our technical lead on the Natural
9 System.

10 David Duquette. David is the John Tod Horton
11 Professor of Materials Engineering at Rensselaer Polytechnic
12 Institute. His areas of expertise include physical,
13 chemical, and mechanical properties of metals and alloys,
14 with special emphasis on environmental interactions. David
15 is the Board's technical lead on Corrosion.

16 George M. Hornberger. George has a new position.
17 George is a Distinguished Professor at Vanderbilt University,
18 where he is the Director of the Vanderbilt Institute for
19 Energy and the Environment. He has a shared appointment in
20 the Department of Civil and Environmental Engineering and the
21 Department of Earth and Environmental Sciences. His research
22 is aimed at understanding how hydrological processes affect
23 the transport of dissolved and suspended constituents through
24 catchments and aquifers. George co-chairs the Board's Panel
25 on Postclosure Repository Performance.

1 Andrew Kadak. Andy is Professor of the Practice in
2 the Nuclear Engineering Department of the Massachusetts
3 Institute of Technology. His research interests include the
4 development of advanced reactors, space nuclear power
5 systems, and improved licensing standards for advanced
6 reactors. Andy is the Board's technical lead on Thermal
7 Management.

8 Ron Latanision. Ron is an Emeritus Professor at
9 MIT and a principal and Director of Mechanics and Materials
10 with the engineering and scientific consulting firm,
11 Exponent. His areas of expertise include materials
12 processing and corrosion of metals and other materials in
13 different aqueous environments. Ron co-chairs the Board's
14 Panel on Postclosure Repository Performance.

15 Ali Mosleh. Ali is the Nicole J. Kim Professor of
16 Engineering and Director of the Center for Risk and
17 Reliability at the University of Maryland. Ali's fields of
18 study and practice are risk and safety assessments,
19 reliability analyses, and decision analyses for the nuclear,
20 chemical and aerospace industries. Ali is the Board's
21 technical lead on Performance Assessment.

22 William Murphy. Bill is a Professor in the
23 Department of Geological and Environmental Sciences at
24 California State University-Chico. His areas of expertise
25 are geology, hydrogeology, and geochemistry. Bill also

1 serves as an administrative judge on an NRC Atomic Safety and
2 Licensing Board Panel. Bill is the Board's technical lead on
3 the Source Term.

4 Henry Petroski. Henry is the Aleksandar S. Vesic
5 Professor of Civil Engineering and Professor of History at
6 Duke University. His current research interests are in the
7 areas of failure analysis and design theory. Henry is the
8 Board's technical lead on the Design of Surface Facilities,
9 and will be leading the Board's discussion today on the
10 Equipment and Facility Testing Program.

11 I am told that the Board's most recent report to
12 Congress is now on the website as of today, I believe. So,
13 to those of you who are interested in pursuing that, it is
14 available.

15 Well, we have already telegraphed some of today's
16 agenda items, but I'd like to summarize what the agenda is
17 going to be. And, the primary topic is going to be waste
18 management system operations, and it's very appropriate and
19 timely. It also is an important part of the Board's
20 technical and scientific mandate.

21 As I indicated in testimony before the House
22 Subcommittee on Energy and Air Quality in July, the Board
23 takes an integrated view of the many diverse components of
24 the DOE program. Using the expertise of the members, we
25 evaluate the technical basis of DOE's approach to the entire

1 waste management system. That is, besides the Board's
2 technical evaluations of repository postclosure performance,
3 the Board provides an integrated technical assessment of
4 whether the total waste management system in fact will
5 perform its intended function. And, we do this based partly
6 on answers to the follow question:

7 Will DOE be able to effectively implement
8 the design and fabrication of waste packages;
9 accept spent nuclear fuel at reactor sites
10 or high-level radioactive waste at federal
11 facilities; transport the waste to the repository,
12 perform necessary surface operations at the
13 repository site, including storage; adequately
14 perform the required underground construction
15 activities; and emplace the waste packages in
16 the drifts?

17 Gathering information to help address much of this
18 question is the focus of today's meeting. To facilitate that
19 process, along with DOE representatives, we have invited
20 representatives from the State of Nevada and the nuclear
21 industry to participate in the discussions. The hope is that
22 this approach will enhance the discussion and understanding
23 of issues and challenges associated with implementing an
24 integrated waste management system and related activities,
25 such as equipment and facilities testing undertaken by DOE.

1 First on our agenda will be Dr. William Boyle,
2 Director of the Regulatory Authority Office of DOE's Office
3 of Civilian Radioactive Waste Management. As everyone is
4 aware, DOE achieved a major program milestone with the
5 submission to the Nuclear Regulatory Commission of a license
6 application for construction of the proposed repository at
7 Yucca Mountain. We look forward to hearing about what comes
8 next and any developments related to the license application.

9 We will then have a panel discussion on waste
10 acceptance. The panel will include David Zabransky from DOE
11 and Adam Levin from industry, or Exelon Corporation. After a
12 short break, there will be a panel discussion on
13 transportation. This panel will include Gary Lanthrum from
14 DOE, Steve Edwards from Progress Energy, and Robert Halstead
15 from the State of Nevada.

16 After lunch, we will get an update on the Surface
17 Facility design from James Low and John Orchard from DOE,
18 followed by a presentation on Repository Site Operation by
19 David Rhodes from DOE. Following a short break, a third
20 panel, which includes David Zabransky from DOE, Steve
21 Frishman from the State of Nevada, Adam Levin from Exelon
22 Corporation, and Rod McCullum from the Nuclear Energy
23 Institute, will discuss integrated system operations. The
24 presentation of the day will be on DOE's Equipment and
25 Facility Testing Program by David Rhodes from DOE.

1 Following the meeting presentations, we have
2 scheduled time for public comment, which is always important
3 to the Board. If you would like to comment at that time,
4 please enter your name on the sign-up sheet at the table near
5 the entrance to the room. If you prefer, remarks can be
6 submitted in writing and will be made part of the meeting
7 record.

8 Now, some of you have asked about questions during
9 the course of the presentations. Our preference is for you
10 to write down your questions and submit them to Board staff
11 seated in the back of the room near the entrance. And, if
12 time permits, we may present the questions during the
13 meeting, but certainly the questions will be addressed.

14 As usual, to minimize interruptions, we ask that
15 all of you turn your cell phones to their silent mode. And,
16 I also want to remind everyone that it is very important for
17 you to identify yourself and speak into the microphone when
18 you have a question or wish to make a comment.

19 At this time, it is my pleasure to ask Bill Boyle
20 to come and give us a heads up on what's going on.

21 BOYLE: Thank you for that introduction, and thank you
22 for this opportunity to make this presentation. And, Ward
23 Sproat and Chris Kouts wanted me to send their regrets and
24 tell you why they couldn't be here today. It's because they
25 will be at a hearing in the United States Senate on

1 transportation issues related to the repository.

2 So, my presentation is on a program and project
3 status update. And, so, where I started was a presentation
4 that Ward Sproat made at the recent High-Level Waste
5 Conference, and I modified it, and I modified it to reflect
6 more an emphasis on the NRC licensing process, in part
7 because that's what I'm responsible for on the DOE side, and
8 also because it's a very high priority for us on the project.

9 Next slide. This is a slide that Ward Sproat has
10 shown many times in public over the past couple years, and
11 he's modified it as we met our dates, or even came in ahead
12 of schedule.

13 Licensing Support Network was certified ahead of
14 schedule last October. It was subsequently challenged and
15 our certification was upheld by the Atomic Safety and
16 Licensing Board of the Nuclear Regulatory Commission.

17 The Supplemental Environmental Impact Statement was
18 due in May 2008, and seemingly, we were late, but we actually
19 extended the public comment period. And, so, in my eyes,
20 taking that into account, that finished ahead of schedule.

21 The License Application, as Ward had committed in
22 testimony to the Congress, was a high quality license
23 application, was due no later than Monday, June 30, 2008. We
24 submitted it on June 3, 2008.

25 The U.S. Nuclear Regulatory Commission docketed the

1 LA officially by letter to Ward Sproat, and subsequently in a
2 Federal Register notice. And, that last tic, I'll talk more
3 about. It's the docketing of the License Application is one
4 step, but the next step that we're waiting for is a Federal
5 Register notice from the Commission, and it would be a notice
6 of hearings to tell the public that there will be legal
7 proceedings and hearings related to the Yucca Mountain
8 License Application.

9 Next slide. I know there's at least one NRC staff
10 member in the room, so this is a DOE person talking about NRC
11 processes. Any errors are mine. I would encourage anybody,
12 if you really want to fully understand NRC's roles and
13 processes, talk to the NRC. They're very open. They had a
14 public meeting out in Amargosa Valley last night to talk to
15 interested members of the public about their review, and the
16 hearing process.

17 For those of you who don't know, it's actually
18 there is two parallel processes going on. There is the Staff
19 Safety and Environmental Reviews performed by the staff of
20 the Office of Nuclear Material Safety and Safeguards, the
21 technical people at the NRC, reviewing our License
22 Application, and also our EIS, Supplemental EIS, our NEPA
23 documentation. And, they review that according to the rules
24 in 10 CFR Part 63, and 10 CFR Part 51.

25 Parallel, and independent of the NMSF's staff, is a

1 separate hearing process before Atomic Safety and Licensing
2 Boards, one or more of them. And, the rules for those
3 hearings are governed by 10 CFR Part 2. It's actually quite
4 a long part for an NRC regulation. It deals with the rules
5 for hearings for power plants and us. As you see down there
6 for the last two sub-bullets, Subpart J is specific for
7 hearings for Yucca Mountain.

8 And, most importantly, Appendix D provides a
9 schedule for the hearing process, because the Nuclear Waste
10 Policy Act mandates that this should take three years. And,
11 so, the NRC went out, created a schedule, and showed, well,
12 okay, it's on these dates--they don't give calendar dates
13 because they didn't know when we would submit, and that sort
14 of thing, so the schedule in Appendix D is expressed in terms
15 of elapsed time, but they give a schedule for the three year
16 review process for the hearings.

17 For those of you who have never been to a meeting
18 of an Atomic Safety and Licensing Board, the boards are
19 comprised of three judges, administrative law judges. One of
20 the judges, the head judge, usually will have a legal
21 background, and the other two judges, generally speaking,
22 have more technical backgrounds.

23 These boards control the hearing process, including
24 the schedules for the hearing process, where the hearings
25 will take place, which, for many of our hearings, will be in

1 the NRC hearing facility down by McCarran Airport. These
2 Atomic Safety and Licensing Boards make procedural rulings,
3 including admissibility of parties and contentions, and party
4 is a legal term. The Department of Energy will be a party at
5 the hearing. The NRC staff will be a party. The State of
6 Nevada has indicated it will be a party. Clark County has
7 indicated it will be, the other Nevada counties have
8 indicated they will all be parties to this legal proceeding.

9 The ASLBs conduct prehearing conferences, you know,
10 to set the ground rules straight, including such things as
11 how should we number and name the various legal documents
12 we'll be using. The ASLB rules on discovery motions, other
13 motions. They eventually conduct evidentiary hearings. And,
14 I personally attended two half days at the ASLB hearings for
15 the private fuel storage facility up in Utah, and it was
16 quite illuminating to me. It's, to a non-attorney, it's a
17 court of law, except that the three judges don't wear black
18 robes. In all other respects, you know, they're judges,
19 there's sworn testimony, there's a court reporter, and it
20 really is a court.

21 As you can tell just by the words on this page, it
22 really is a legal proceeding. And, at the end of the
23 hearings, it's this Atomic Safety and Licensing Board that
24 makes findings of fact and conclusions of law. And, the ASLB
25 has the authority to authorize the NRC staff to issue a

1 license, or to condition or deny issuance of the license.

2 So, they have a very important role to play.

3 So, this slide deals with some of the milestones in
4 that hearing process, just the initial ones. These dates
5 really come from either they have already happened, or they
6 are specified for the most part in Appendix D to Part 2. We
7 have tendered our License Application on June 3rd, and our
8 NEPA documentation on June 16th. The NRC notified us by
9 letter on September 5th of the docketing.

10 As I've already mentioned, we are now waiting for
11 this Federal Register Notice of Hearing. And, when you go to
12 the schedule in Appendix D, that is Day Zero. It's this
13 Federal Register notice starts the three year clock.

14 If you were to go to that next bullet, as part of
15 this process, if people believe our License Application is
16 deficient in some way, shape or form, by omission or
17 commission, they can petition to intervene. This is the
18 State, the Counties, or anybody else who thinks they have a
19 reason to want to intervene. And, if you were to go to
20 Appendix D right now at the Federal Register's website, you
21 would see that they have 30 days to file their petitions.
22 Well, the Commission ruled recently within the last couple
23 months, at the request of the State of Nevada, in part, to
24 extend that time period during which contentions could be
25 filed. The Commission has decided they would grant 60 days

1 for the filing of contentions. If you look at Appendix D
2 today, it will say 30, but the Commission has already said it
3 will be 60 days. As soon as those contentions are filed with
4 the Commission, the Commission will forward those petitions
5 to the Atomic Safety and Licensing Board.

6 Then, DOE gets to answer these contentions, you
7 know, these when people say, well, you didn't do this right,
8 or you forgot that. And the reason there's TBD there, to be
9 determined, Appendix D does have a stated duration today,
10 it's 25 days DOE would have to answer all of the contentions.
11 But, when the Commission weighed in and said grant 60 days
12 for the filing of contentions, the Commission also said, you
13 know, we might want to double the amount of time for DOE, and
14 anybody else, to answer these contentions, and, so, they
15 suggested 50 and asked for input, but the Commission has not
16 ruled finally on that yet. But, we might have as many as 50
17 days to answer contentions.

18 It's similar with petitioners' replies to DOE's
19 answers. Appendix D today says seven days, but the
20 Commission, in their ruling that granted 60 for the filing,
21 suggested perhaps doubling to 14 days, but they haven't acted
22 on that yet.

23 The next step would be an initial prehearing
24 conference shortly after the receipt of petitioners' replies.
25 And, then, the Atomic Safety and Licensing Board would grant

1 or deny these petitions. You know, people asking to
2 participate, and admit or reject contentions, and we would
3 continue on with the legal proceeding.

4 So, those are all the slides I have. That's where
5 we stand on the licensing and License Application.

6 GARRICK: Go ahead, Ron.

7 LATANISION: Latanision, Board.

8 Bill, the filing of the Licensing Application is
9 clearly an important milestone in the evolution of this
10 project. Delivering it ahead of schedule is even more
11 commendable on part of demonstration of the commitment of the
12 staff and management of the project.

13 My question is the following. As we were leading
14 up to the submission of the License Application, there were
15 still technical questions of interest to the Board on the
16 table, and, some responsive action being taken to address
17 some of those concerns. I'm thinking of, in particular, of
18 the localized corrosion issues that the Board has been
19 concerned about for some time, and which Sandia had been
20 moving towards addressing. Is it safe to conclude that that
21 work will continue at Sandia and that we will hear about it?

22 BOYLE: I'm not that familiar with what is currently
23 going on at Sandia, so, I just can't speak to it. I'd have
24 to get back to you on that. But, as a general matter, I'm
25 assuming people are aware that the, you know, it's not only

1 good business and good engineering and good science, but the
2 NRC regulation, Part 63, does provide for a performance
3 confirmation program, where, if there are technical matters
4 that need confirmation, we can and should and will address
5 them in performance confirmation. But, I don't know about
6 anything particular going on at Sandia right now. Whether
7 there is or isn't, I just don't have responsibility for that.
8 Abe VanLuik has, though.

9 VAN LUIK: Abe VanLuik, DOE. Knowing that this question
10 would come up today, I went and asked, and the things that we
11 promised in the letter that we sent you on this topic earlier
12 this year, those things are in the plan to be carried out
13 this coming year. So, they will go forward.

14 LATANISION: And, therefore, we would be likely to hear
15 about them; is that correct?

16 VAN LUIK: Correct.

17 LATANISION: I can see that we're much too predictable,
18 Abe, if you--okay, thank you.

19 GARRICK: Mark?

20 ABKOWITZ: Abkowitz, Board.

21 Bill, I was wondering if you could speak on behalf
22 of DOE, since you are their representative today, as to
23 whether or not DOE sees the Board's role as having changed in
24 any way, given that you have submitted a License Application.
25 And, if so, in what manner?

1 BOYLE: No, I don't think it has at all. You know, I
2 haven't looked at the Nuclear Waste Policy Act with respect
3 to the Board in a while, but I do believe there is a time in
4 the future, not today, where it actually says the Board
5 sunsets, right, and it wasn't with the filing of the License
6 Application. So, I think from DOE's point of view, you know,
7 your role has not changed. You've, through the years,
8 commented many times, made many good observations about
9 technical matters, and we fully expect that that will
10 continue.

11 Now, with respect to the recent letter that Ward
12 sent, we're in the situation where, I hope it was clear from
13 my slides, we are in a legal proceeding. And, you know,
14 there's two things that play there. One is staying on
15 schedule, that schedule in Appendix D, which is in a law, and
16 the Commission, they have done all that they can, as far as
17 I'm concerned, to stay within that three year schedule. They
18 commissioned a special Atomic Safety and Licensing Board to
19 deal with that issue solely. They asked the potential
20 parties what can we all do to stay within three years?
21 Please give us your input on the following things.

22 So, one challenge for us at DOE in interacting with
23 you is, over the next three years, in particular, is at
24 times, our higher priority might actually be responding to
25 requests for additional information from the NRC staff as

1 part of the licensing process, or participating in the legal
2 proceeding.

3 But, a second reason that our relationship is
4 affected is as soon as the contentions become known, and
5 those technical merits will be, you know, in a legal
6 proceeding, we just as a matter of good business, good
7 government, we are going to deal with those technical matters
8 in the legal proceeding, right, rather than in correspondence
9 with the Board or necessarily in public meetings with the
10 Board. It happens all the time. I know when I watch
11 television, people, you will commonly hear, well, I can't
12 comment on that right now. It's part of an ongoing legal
13 proceeding. And, that's where we find ourselves in a
14 somewhat similar position. But, you're still free, you know,
15 to make your observations. So, I don't think your role has
16 changed. How we interact with you is somewhat influenced by
17 the NRC proceedings.

18 GARRICK: Can you elaborate a little bit on how the
19 decisions are going to be made relative to supporting Board
20 inquiries?

21 BOYLE: I suppose they would depend upon the particulars
22 at the moment. You know, in the future, like, for example,
23 whether it's a 25 day period or a 50 day period to respond to
24 the contentions, if you wanted to have interactions with the
25 technical people who are responding to the bulk of those

1 contentions, that actually might be difficult. If the
2 interactions during, even during the three years, but if it's
3 at some timeframe where things aren't as hectic for any given
4 individual, or for all of us, let's say, that's a different
5 matter. So, I can't--I think they will just have to each
6 individual situation would have to be judged on its own.

7 GARRICK: Andy?

8 KADAK: Kadak, Board.

9 I know you're not familiar with the Nuclear Waste
10 Policy Act of 1987, Public Law 100-203, December 22, 1987,
11 Subpart E, I'm putting this in for the record so that the
12 public is aware about our functions.

13 BOYLE: Okay.

14 KADAK: And, I'm quoting, Section 503, "The Board shall
15 evaluate the technical and scientific validity of activities
16 undertaken by the Secretary after the date of enactment of
17 the Nuclear Waste Policy Act of 1987, including site
18 characterization activities, activities relating to the
19 packaging or transportation of high-level radioactive waste
20 or spent fuel." And, then, the next subpart, which says,
21 "Investigatory powers. And production of documents," which I
22 assume would be responses to our inquiries.

23 It says very clearly, "Upon request of the
24 Chairman, or a majority of the members of the Board, and
25 subject to existing law, the Secretary, or any contractor of

1 the Secretary, shall provide the Board with such records,
2 files, papers, data, or information as may be necessary, to
3 respond to any inquiry of the Board under this title.

4 Subject to existing law, the information obtainable under
5 Paragraph 1, shall not be limited to final work products of
6 the Secretary, but shall include drafts of such products, and
7 documentation of work in progress." It makes no stipulation
8 about whether the License Application is filed or not.

9 BOYLE: And, I think, again, I don't think your role
10 changes at all. And, I'm just repeating that. And, I think
11 those production of documents, you know, back to my
12 mentioning the LSN certification, as a general matter, we've
13 made all, you know, our documents related to Yucca Mountain,
14 relevant and non-relevant, available. And, you know, a
15 request for our existing documents, I don't think you would
16 be told no.

17 Now, if there's a request for a document that's
18 subject to some sort of privilege, one way or another, well,
19 I'm not the person to answer that. DOE's attorneys would.

20 GARRICK: Is there anything that the Board could do to
21 facilitate an understanding of the working arrangement
22 between DOE and the Board? Or, do you think--

23 BOYLE: No, I would say our relationship, DOE and the
24 Board, or DOE's relationship with anyone just, you know,
25 discussions, conversations, you know, meetings to see are

1 things going well, could we do them differently, could we do
2 them better, more of this, less of that, so I would just
3 encourage discussion and conversation as we move forward.

4 GARRICK: From the standpoint of topics, even though we
5 may have a number of topics that overlap with the licensing
6 process, very often, our perspectives are very different from
7 compliance. We are not compliance experts. We are not
8 students, necessarily, of the rules and regulations. We are
9 trying to focus from the standpoint of the science basis, or
10 the engineering basis, of the issue. Do you believe that
11 that difference in perspective on issues that may be common
12 to both licensing and the Board, because that's where it
13 looks like we're going to have the problems, is understood by
14 whoever makes the decisions about supporting our inquiries?

15 BOYLE: You know, from my point of view, the role the
16 Board plays, and that you will continue to play, is a healthy
17 one, right, whether your comments support us or you're
18 pointing out where maybe we have a blind spot, or would miss
19 something, that's helpful and we wish to know it. All that
20 the letter communicated is is that from our part, we may not
21 respond in writing or participate in a public meeting on that
22 topic if it's subject to the ongoing hearing process. But,
23 we welcome your input. We not only welcome your input, we'd
24 welcome input from others.

25 GARRICK: We understand that, and we agree that you

1 probably do welcome our input. But, what we're really
2 concerned about is your response. Because the Board's
3 effectiveness is very much linked to DOE's response.

4 BOYLE: And, you know, again, our responses, although
5 our present course is we've indicated our responses will come
6 through the legal proceeding, I must point out that those are
7 a matter of public record. It doesn't take much effort, and
8 you'd have to contact the NRC, to be put on automatic e-mail
9 distribution for all the filings that go on with the ASLB.
10 You could ask, you would eventually probably get more e-mails
11 than you want, but when there were, you know, you could have
12 access to the depositions, you could have access to all the--
13 you could see all the contentions, all our answers. And, so,
14 we're just--that's the forum in which we're participating,
15 and that's where you will see our responses. And, it will
16 all be publicly available.

17 GARRICK: Yes, go ahead.

18 KADAK: In terms of your finding for the RAIs and
19 contentions, in terms of staffing and resources, what are you
20 assuming you will be getting in terms of RAI, in terms of
21 numbers and contentions, in terms of numbers, to be sure that
22 you're able to respond?

23 BOYLE: Well, that's a very good question. I've already
24 mentioned the Commission impaneled Atomic Safety and
25 Licensing Board to work with the potential parties to figure

1 out, you know, how can we stay within three years. And, one
2 of the questions asked of the potential parties was, well,
3 how many contentions do you plan on filing. And, I believe
4 it totaled out at 650, which by everyone's estimation, this
5 may be the most complicated, you know, hearing process the
6 NRC ever has. And, even with an estimate of 650, that's
7 helpful and useful, and there's an agreement that contentions
8 will be single issue contentions.

9 But, just what does that mean to everyone? Like,
10 for example, if the contention has to do with corrosion and
11 temperatures involved, and the groundwater, you know, the
12 incoming chemistry of the water, is that separate
13 contentions? You know, like the temperature dependency is
14 one, the groundwater chemistry is another, or is it all
15 wrapped up into one? So, we'll have to wait and see when the
16 contentions are filed.

17 But, we do have an estimate. We don't have an
18 estimate from the NRC staff. I've never been asked on how
19 many RAIs they might request for additional information they
20 may have for us. But, we can look at other NRC licensing
21 proceedings, you know, not Yucca Mountain. We could look at
22 the reactor licensings, and that sort of thing. And, there
23 can be quite a few of those.

24 Now, as to do we have sufficient resources, we
25 haven't even gotten an appropriation yet. We will just--we

1 will, with the resources we have, bearing in mind that this
2 is a very high priority, this is where our resources will go.

3 KADAK: What is your budget now in terms of--what are
4 you asking for in terms of staff years to work on this?

5 BOYLE: You know, we just--I'm always stuck in this
6 conundrum of trying to remember is the continuing resolution
7 number. I believe that the President's budget asked for 480-
8 or so million. And, that would be for the entire program.
9 That's everything, transportation, attorneys, ongoing design,
10 RAIs, that's everything, interactions with the Board.

11 GARRICK: David?

12 DUQUETTE: Duquette, Board.

13 I don't know if I heard you correctly when you said
14 this, or if you said it, but it sounds like virtually all of
15 your resources will be going towards the licensing. Does
16 that mean that work at Yucca Mountain itself will come to a
17 screeching halt?

18 BOYLE: No. It's a high priority for us, but as of this
19 moment, not all the resources are going to the licensing.
20 There is construction management and site operations office,
21 they still have a budget. Gary Lanthrum is in the room,
22 transportation, they still have a budget. You'll hear from
23 Dave Zabransky of the Waste Management Office. He still has
24 a budget. No, it's just that the licensing proceeding is a
25 high priority.

1 GARRICK: Any other questions?

2 (No response.)

3 GARRICK: Any questions from the Staff?

4 (No response.)

5 GARRICK: Okay. Well, thank you. Thank you very much.

6 BOYLE: You're welcome.

7 GARRICK: We're ready to have our first panel, which is
8 going to be on waste acceptance. I'm sorry to catch you off
9 guard a little bit. We're a little early.

10 This panel is made up of David Zabransky of the
11 Department of Energy and Adam Levin of Exelon Corporation.
12 And, I'm going to ask each of you to introduce yourselves and
13 tell us your position and what you're doing.

14 ZABRANSKY: I'm Dave Zabransky from the Waste Management
15 Office. I've been with DOE for 14 years now. Prior to DOE,
16 I was with Wisconsin Electric for 17 years. Primarily since
17 I've been at DOE, I've been in the Waste Acceptance/Waste
18 Management area. Activities, or what I normally do there is
19 I'm the contracting officer for the standard contracts, so
20 I've been spending a lot of my time, and Bill mentioned these
21 new legal proceedings and the license application, I'm been
22 involved in the legal proceedings on the waste acceptance
23 issues since about 1996. I've been in 14 trials, and I have
24 about 40 more to go, on many of the issues that we'll be
25 talking about today, so that will temper some of my comments.

1 I've also been the technical lead on the
2 development of the TAD specification and the deployment of
3 the TAD contracts. That's the Transportation, Aging and
4 Disposal canister. And, I'm also heading up the effort to
5 develop contracts for new nuclear reactors and amendments to
6 current contracts for the use of TADs. And, I'm a civil
7 engineer.

8 LEVIN: Good morning, Mr. Chairman. And, thank you
9 again for the invitation to the Board members. My name is
10 Adam Levin. I'm the Director of Spent Fuel and
11 Decommissioning for Exelon Corporation. And, in that
12 capacity, I have oversight of all of our spent fuel storage
13 and installation, as well as our spent fuel pools, and our
14 activities in decommissioning. I have been with Exelon
15 Corporation about ten years now, and I've actually been in
16 the business of spent fuel and decommissioning for over 30.

17 GARRICK: Very Good. Okay, carry on.

18 ZABRANSKY: Okay, I've got a few slides that deal with
19 some of the issues the Board asked about with respect to the
20 waste acceptance area. After I go through the slides, I'll
21 be happy to entertain any questions you have, and attempt to
22 answer them to the best of my ability.

23 So, basically, what we're going to talk about today
24 is the waste that is included in the License Application, the
25 status of the TAD program, contractually and where we are

1 physically with that, the basis for the assumption in the LA
2 of up to 90 percent of the waste may come in as TADs, the
3 plans for packaging and shipment of DOE owned high-level
4 waste and spent nuclear fuels. We'll cover those points, and
5 I'll take your questions.

6 First slide. The License Application, as you know,
7 is for 70,000 metric tons. So, in that 70,000 metric tons,
8 it has been divvied up by policy within the Department to be
9 63,000 metric tons of commercial materials, 7,000 metric tons
10 equivalent of DOE owned and managed materials. That equates
11 to be, as we go down this list here, about 7,500 TAD size
12 canisters of spent nuclear fuel in the 63,000 tons, 221,000
13 assemblies is the supposition there. 275 canisters of
14 commercial high-level radioactive waste. And, that's the
15 waste at West Valley, New York. That's not government owned
16 waste. That's owned by the State of New York. It's included
17 in the analysis of the License Application, although at this
18 point in time, there's no contractual relationship for us to
19 accept that materials.

20 Defense high-level waste, there's about 9,300
21 canisters of defense high-level waste to be produced by
22 Savannah River, Hanford and Idaho. And, that's not all the
23 high-level waste, but that's all that's included in the LA.
24 There's about 3,500 canisters of DOE owned spent fuels, about
25 2,268 metric tons equivalent. And, there's also about 400

1 canisters of Navy spent nuclear fuel, or about 65 tons
2 equivalent.

3 The next slide deals a little bit with the
4 availability of TADs, and where we are with the program. As
5 you know, the Transportation, Aging and Disposal canister
6 concept was first brought up in late 2005. DOE worked with
7 industry and others, and developed, I think in a very
8 informed fashion, getting input from various parties, a spec
9 that allowed us to--it's a performance based spec that
10 defines the attributes we need to see in a TAD canister, but
11 leaves a lot of the design features up to individual
12 designers as to how they intend to meet them. That spec was
13 issued in June of 2007, and design proposals were submitted
14 to OCRWM at that point in time. That was done from existing
15 contractors that we had in place for other work activities.

16 Based upon those proof of concept designs, we went
17 ahead and developed a procurement and did solicitation, and
18 as a result of that solicitation, which took the better part
19 of a year, I believe, we awarded two contracts in May of 2008
20 to NAC International and AREVA Federal Services for the
21 follow-on design activities for the design, licensing and
22 demonstration of TAD canister systems. Those are contracts
23 that have a base period and action periods. They run from
24 May of 2008 to May of 2013, and at the end of the contracts,
25 should they be implement, the intent would be that by May of

1 2013, there would be the physical demonstration of the TAD
2 canister at one or more utilities by those contractors,
3 leading to, we believe, the commercial availability of TADs
4 in 2013.

5 Additionally, there is nothing that prevents in the
6 fact that the Department has encouraged other vendors, other
7 cask designers, that don't have contracts with us to go ahead
8 and design TADs on their own. And, in fact, we are aware of
9 at least one cask designer that is pursuing on his own the
10 development of a TAD canister system.

11 The programmatic assumption that was made and is
12 embodied in the LA is that up to 90 percent of the waste,
13 commercial waste, would arrive at Yucca Mountain in a TAD
14 canister, prepackaged at utility sites. And, that's an
15 assumption that's made in the LA for the first 63,000 metric
16 tons of waste. It's not all the waste that may exist. It's
17 only a goal, an assumption for that first 63,000 tons that is
18 covered in the License Application.

19 That assumption is based upon information we had
20 obtained from our discussions with the utilities in 2005. In
21 the 2004-2005 time frame, we went and asked utilities to
22 provide us updated information as to their site handling
23 capabilities. That was an update to information we obtained
24 in the Eighties, originally in the late Eighties, the
25 Department--mid to late Eighties, the Department had

1 proceeded down a path of at that time what was called the
2 FICA, which was the Facility Interfaced Capability
3 Assessment, and then NSTI, which was the Near-Site
4 Transportation Interface. What we basically did in the 2004
5 time frame, and this was done in preparation for at that time
6 our anticipated operation of 2010, we asked utilities to
7 voluntarily provide updates to that information, and many
8 utilities did. We don't have any specific authority to
9 demand they provide that information to us, so we can merely
10 request that they provide information to us.

11 Based upon that information, the assumptions that
12 went into the development of that goal of 90 percent was that
13 sites with rail cask handling capability, including shutdown
14 sites and Morris, were assumed to load TAD canisters.
15 Commercial spent fuel in non-canistered dry storage assumed
16 to be loaded into TAD canisters for shipping. That would be
17 the transport storage casks. And, that TADs would be
18 available for dry storage at reactor sites by 2013.

19 There are also some potentials that--we go to the
20 next slide--that for sites that couldn't handle TADs, that
21 those could be packaged at third party sites. Now, whether
22 that happens or not is not known, but it's a potential that a
23 utility could contract, or we could contract, with a third
24 party to do that packaging for us off-site. And, that with
25 the increasing need for dry storage at reactor sites, there

1 has been a trend to upgrade cask handling capabilities to
2 handle large canisters. These facilities had no capability
3 of doing large canisters, large packages, now do. They've
4 upgraded facilities, they've upgraded trains, so we think
5 that trend will continue, and that more and more facilities
6 will be capable of handling large packages.

7 Moving on to the next slide, these are plans for
8 packaging and shipping DOE high-level waste. We have a
9 memorandum agreement with the Environmental Management
10 program that, in essence, forms the basis for our
11 relationship. It's very similar to the contract we have in
12 place with the nuclear utilities. It defines the roles and
13 responsibilities of the parties. Pursuant to that agreement,
14 EM is responsible for packaging the waste for shipment to
15 Yucca Mountain. And, at this point in time, the only DOE
16 wastes that will be accepted are wastes that are packaged in
17 standard DOE SNF canisters or high-level waste canisters.

18 After packaging is done, OCRWM is responsible for
19 providing transportation casks for shipping the high-level
20 waste and canisters to the repository. And, one of the
21 assumptions that's been made and has been discussed within
22 the Department for years is that the repository will not
23 accept hazardous waste, as defined by the Resource
24 Conservation and Recovery Act. So, in essence, no RCRA
25 wastes will be accepted from EM for Yucca Mountain.

1 A summary of these slides is that the License
2 Application is based upon a capacity limit of 70,000 tons.
3 It doesn't cover all the commercial waste. It doesn't cover
4 all the DOE waste. It covers only the waste pursuant to that
5 capacity limit.

6 The current expectation is that TAD canisters will
7 be commercially available in 2013. The assumption
8 programmatically has been made and is embodied in the LA is
9 that TAD utilization can be as high as 90 percent. I think
10 later today, you will hear from others about the modular
11 approach to design and flexibilities that result from that
12 modular approach. This assumption is what the LA is based
13 upon. Changes can be made if need be if this assumption
14 doesn't come to pass.

15 EM is responsible for the preparation and packaging
16 for shipment of DOE high-level waste and SNF, and that OCRWM
17 is responsible for providing the transportation of the
18 materials to Yucca Mountain.

19 At this point, I will take your questions.

20 GARRICK: Thank you. Adam? I think the way we'll do it
21 is we'll hear from both of you, and then we'll ask questions.
22 Okay?

23 LEVIN: Go ahead to the first slide, please.

24 As a little bit of background to Exelon Generation,
25 we operate a fleet of 17 units. We have four retired units.

1 The four retired units being the two units at Zion station,
2 Dresden Unit One, which retired back in 1985, and Peach
3 Bottom Unit One, which retired in 1975. It was a gas cooled
4 reactor. The fuel from Peach Bottom Unit One has already
5 been--I'm sorry, can you turn this up a little bit?

6 Okay, excuse me, I have a little sore throat today,
7 so I'm a little soft. Thank you.

8 Peach Bottom Unit One, which was retired back in
9 '75, that was a gas cooled reactor, and that has been, the
10 fuel from that facility has gone up to Idaho.

11 We do represent about 20 percent of the nuclear
12 industry, and looking longer term at how much spent fuel
13 we're going to discharge, we expect about 115,000 assemblies
14 to be discharged eventually from our facilities through
15 license renewal. And, these are mostly BWR assemblies. So,
16 if you're looking to try and match the numbers that David
17 presented just a moment ago where he said he had about
18 225,000, recall that most of our fleet is boiling water
19 reactors, so we're going to discharge a larger number of
20 assemblies, and about 25,000 metric tons total.

21 From a used fuel management perspective, we have
22 currently operating five dry cask storage facilities at the
23 sites identified on the slide, with more than 100 systems on
24 the pads at this point. We are in the process of
25 constructing three additional facilities at Byron, Braidwood

1 and LaSalle, Byron in 2009, LaSalle in 2009, and Braidwood in
2 2011.

3 One of the things that David mentioned was that
4 many of the facilities have or intend to, have already or
5 intend to upgrade their cranes to accommodate these large dry
6 storage systems that are currently available, and, in fact,
7 we have done some upgrade work at Limerick, Oyster Creek and
8 Quad Cities. And, we are actually upgrading the cranes, in
9 the process of upgrading the cranes at Byron, Braidwood and
10 LaSalle as I speak.

11 Clinton Station, we don't expect to dry cask store
12 there until about the 2016 time frame. We just recently
13 rewrapped the pool and obtained a large number of cells
14 increased the storage, and TMI, we do not anticipate, given
15 its current license life of 2014, although we have renewed
16 the license, but if DOE does begin repository operations in
17 2020, we do not anticipate that we would have to go into dry
18 storage at the TMI site for Unit One.

19 Zion Station, we are in the process right now of
20 waiting for the NRC to rule on a license transfer application
21 that's been submitted to the NRC to transfer the license from
22 Exelon to Energy Solutions and their subsidiary, Zion
23 Solutions, who is going to begin on the early
24 decommissioning, the accelerated decommissioning at Zion
25 Station. We expect that we will have between 80 and 85 casks

1 of fuel in storage at Zion Station at the end of the day,
2 with four or five casks greater than Class C waste. So, as I
3 mentioned, the one thing that we're waiting for is the NRC's
4 approval of that license transfer. This will be a ten year
5 process we hope to complete in 2019, or so.

6 Looking specifically at the future use of TADs, and
7 what we're currently doing in terms of strategy with respect
8 to managing spent fuel in our dual purpose systems, DPCs, one
9 of the things that we're focused on is trying to be sure to
10 load intermediate heat spent fuel into the canisters, along
11 with lower heat spent fuel on the periphery. It actually
12 turns out that from a fuel management perspective, this works
13 well for us because one of the things we're focused on is
14 keeping radiation doses, occupational doses as well as
15 reasonable. And, the way to do that is to keep your cold
16 fuel, your older colder fuel for the periphery of the cask
17 where you have to do the sealing and welding of the cask.

18 So, in essence, in the long run, we will actually
19 be able to focus on maintaining older colder fuel, a large
20 population of it, for TADs when they do become utilized.

21 We currently have 10,000 tons of used fuel in our
22 pools, with about 1,000 tons out in dry storage at this point
23 in time. By 2013, by the time TADs are ready to be utilized
24 by Exelon, we will have about 2,400 metric tons in dry
25 storage, and that's 2,500 of the 25,000 we anticipate, and

1 that was one of the things that Dave alluded to earlier, that
2 up to 90 percent, and in our case, it could be as much as 90
3 percent of our spent fuel, can go in TADs if we, indeed, we
4 successful in beginning a TAD program in 2013.

5 We also will have 5,000 metric tons of fuel in our
6 pools, and I anticipate that as the TAD program ramps up,
7 that what we would be doing is loading the TAD systems from
8 our pools. So, we would have about 5,000 tons ready to go in
9 TAD systems by that point in time.

10 Next slide. Exelon had the opportunity to
11 participate in the technical dialogue of the TAD design.
12 And, I think we're quite comfortable that the TAD system will
13 work at all of our sites. The one site that it would not
14 work at at this point in time would be Clinton Station. We
15 have a 60 ton non-single phase crane there. I do expect we
16 would upgrade that crane in the 2016 time frame when we do
17 need to go into dry storage. Other sites, I would anticipate
18 nominally that they would just require the specific, TAD
19 specific ancillaries that interface with the crane in order
20 to be able to move TADs around the site.

21 We have entered into discussions with a couple of
22 vendors at this point for TAD demonstration systems. We
23 would like to exercise that opportunity at one PWR and one
24 BWR, probably a BWR out in the East, and a PWR at either
25 Byron or Braidwood.

1 In summary, we don't see any technical obstacle to
2 using the TAD systems. I think for us the focus has to be on
3 two points, the first point being that we have to be able to
4 implement the system without interruption of site operations.
5 And, I'm going to actually talk about that a little bit more
6 this afternoon. And, the second piece is although the TAD
7 systems are smaller, if we can stay focused on reduced
8 processing time, which is the big driver in terms of actually
9 getting a system loaded and out on the pad, if we stay
10 focused on that, we think we can be successful loading TAD
11 systems.

12 So, we do see the benefits to using TAD systems.
13 But, again, ultimately, it's going to have to be a business
14 decision, the business drivers being the two that I just
15 mentioned.

16 That's all I have.

17 GARRICK: Okay, thank you. Okay, we'll open it up for
18 discussion. Mark?

19 ABKOWITZ: Abkowitz, Board.

20 I'm going to ask a couple questions, and then ask
21 to have the opportunity later on to ask some more.

22 GARRICK: We'll decide on that later on.

23 ABKOWITZ: Okay. I'd like to start with, Dave, I have a
24 couple questions about your presentation. One is that there
25 is a recent EPRI report that came out that suggested that the

1 90 percent assumption was off base, and that 75 percent was a
2 more realistic assumption. So, I'd like your reaction to
3 that.

4 ZABRANSKY: Okay. My understanding is that we will
5 address those issues during the license proceedings, should
6 they become contentions. Right now, that's an EPRI report,
7 that we have no further comment on.

8 ABKOWITZ: Okay, thank you for that comprehensive
9 response.

10 The other question I had is my understanding is
11 that some of the DOE high-level waste and spent nuclear fuel,
12 from a waste acceptance standpoint, is dealing with some
13 problematic issues. I was wondering if you could elaborate
14 on those, and comment to the extent of how that might affect
15 the kind of loading that you had anticipated being able to
16 make out of there, and what kind of implications that has on
17 the number of canisters you might need to use.

18 ZABRANSKY: Could you be more specific?

19 ABKOWITZ: Sure, I can be more specific.

20 ZABRANSKY: Okay.

21 ABKOWITZ: My understanding is that there are some
22 issues with regard to the MCO waste packages. There's also
23 some issues with regard to some of the high-level waste that
24 may or may not satisfy RCRA requirements, and there's also
25 the lack of facility at INL right now, the packaged spent

1 nuclear fuel, all of which means that you may have to put
2 less into each canister because you're not able to make the
3 combinations of five high-level waste canisters and one spent
4 nuclear fuel canister per shipment, as you had anticipated.

5 ZABRANSKY: Okay. And, I guess I'll address that to the
6 best of my ability. You know, as we talked about, the LA
7 presumes, it's a licensing basis for what we think will
8 occur, and it's our analysis of that. Some of the materials
9 you talked about, the MCOs, for instance, it's my
10 understanding they are included in the LA from the standpoint
11 of the long-term waste isolation perspective, postclosure
12 perspective. Further work needs to be done on the preclosure
13 perspective, and those analyses are ongoing, and we believe
14 that those analyses will show that there's probably be no
15 issue with the acceptance of those materials.

16 Until those analyses are done, and any amendments
17 that may be required are made, the materials won't be
18 accepted until we can demonstrate compliance with the LA.

19 With respect to EM's future plans, as I said
20 earlier, we've got a relationship with them through the
21 memorandum agreement that's very similar to the relationship
22 we had with the utilities. Under our contracts with Mr.
23 Levin and others, the process that's set up is they tell us
24 63 months prior to operations what they really intend to send
25 to us. EM also has to send us a listing of here's what we

1 are intending to send to you 63 months prior to operations.

2 The basis for the LA is our understanding of what
3 EM's plans are. EM has to move forward and implement those
4 plans so they can provide those wastes to us. If other
5 wastes are, or those wastes don't exist because they haven't
6 been successful, or haven't had the resources, we'll have to
7 adjust later on to that situation.

8 ABKOWITZ: Can you answer if, I'm going to pose a
9 hypothetical for you, perhaps you can answer this question.
10 If it turns out that the DOE is not able to optimize the
11 loading of high-level waste and spent nuclear fuel canisters
12 collectively into the same waste package, do you agree that
13 that means--I understand waste acceptance can still take
14 place--but, do you agree that that would mean that there
15 would be more shipments that would need to be handled at the
16 surface facility, and the possibility that the drifts might
17 need to be longer to accommodate the number of waste packages
18 that would have to be put in there?

19 ZABRANSKY: And, again, I'll give you an answer that I'm
20 sure you're not going to find satisfying. But, I can't speak
21 to hypotheticals without knowing all the circumstances at the
22 time. So, I don't know. I don't know what the ramifications
23 might be without knowing exactly what the parameters might
24 be. All I can say is that whatever happens will be
25 consistent with the license that exists.

1 GARRICK: Let me raise a question with Adam, and try to
2 get out of this licensing constipation we're in with respect
3 to responses to questions.

4 Adam, can you comment, you said something to the
5 effect that you thought that Exelon could meet the 90 percent
6 assumption. Can you, I'm a risk guy, how confident are you
7 with that thought? And, how low might it be? What is the
8 practical situation in your own operation, relative to TADs,
9 because TADs, the success of TADs is very much dependent upon
10 how much it reduces the fuel handling requirement. If you
11 have an offsetting issue, like thermal management and the
12 need to do blending, and what-have-you, that completely
13 offsets that advantage, then, of course, the TAD concept
14 becomes somewhat suspect from a cost benefit--cost risk
15 benefit standpoint.

16 Speaking from your own inventory of fuel, does
17 TADs, in your judgment, offer a real advantage? And, what is
18 that advantage in whatever terms you'd like to give, a
19 radiation dose, cost, fuel handling, whatever?

20 LEVIN: Okay. I suppose I can answer this a little bit
21 more freely.

22 GARRICK: I want to get a real operational--

23 LEVIN: I'll go ahead and do that. I think the first
24 thing is that I view our opportunity to put up to 90 percent
25 of our fuel into TADs based upon a very successful immediate

1 deployment of TAD systems. Clearly, if it's delayed, or if
2 it's ramped up, or whatever, we're not going to get 90
3 percent in.

4 GARRICK: You're not going to get 90?

5 LEVIN: No. But, will we get more than 75 percent? I
6 think that opportunity exists. Nobody from EPRI came to talk
7 to me about that document, so honestly, I'm not sure how they
8 got their 75 percent. But, the fact of the matter is that we
9 do have, and I can focus on currently, because I, number one,
10 have a lot of BWR plants, which is helpful, and, number two,
11 because I relatively have not loaded a lot of fuel into dry
12 storage at this point, I can focus on keeping, maintaining
13 some older, colder fuel in my pools for that day when TAD
14 systems do come along.

15 They will cost us more to load. They will increase
16 our radiation dose. I think what I'm focused on is if I can
17 load four dual purpose systems, let's say, in four weeks
18 today, I need to be able to load six TADs in that same four
19 weeks. I'm time constraint more than anything else at the
20 site. So, my focus really is on processing these things
21 quickly. And, that's really where the business case becomes
22 an issue. And, that, I honestly don't know until we see TADs
23 deployed and see how they work out in the field.

24 However, having said all that, I will have fuel
25 that I can load into TADs that will be older, colder fuel

1 that will give me the opportunity to learn how TADs work, and
2 hopefully get rid of a lot of TADs off-site initially.

3 GARRICK: But, it doesn't sound like TADs offers your
4 particular complex of plants a particular advantage.

5 LEVIN: It does not offer a particular advantage in
6 cost, dose or time savings.

7 GARRICK: Yes.

8 LEVIN: What it does offer are all those soft issues,
9 which is we can have an opportunity, get our fuel off-site,
10 number one, and, number two, we have the opportunity to look
11 forward to being able to dispose of this fuel directly in a
12 geologic repository without having to repackage it. So,
13 that's where I think they offer the biggest benefit.

14 GARRICK: Yes. Andy?

15 KADAK: Kadak, Board.

16 Adam, perhaps you can help us understand the
17 accumulation of dual purpose containers, or single storage
18 only containers in the nuclear industry right now. And, how
19 many of those containers do you think will be in existence by
20 2013?

21 LEVIN: I'm not sure that I could.

22 KADAK: Okay.

23 LEVIN: To be honest with you. I don't have that kind
24 of information.

25 KADAK: Okay. Perhaps Rod McCullum can help us later on

1 this afternoon.

2 LEVIN: Sure.

3 KADAK: Now, the question I have is let's assume that's
4 a big number, because I'm quite sure it will be a big number.
5 You've already got, based on what you've said, is 185 by
6 2013, because you had 100 in storage, 85, if you think that's
7 going to work out. I know Mainiak (phonetic) has got 63.
8 Roe has got 17 or 18. We can add it to a fairly like number.
9 According to DOE, they expect the utilities to open all those
10 dual purpose containers that have been hermetically sealed,
11 and repackage them, likely at the site, the site meaning the
12 utility site. What is your reaction to that prospect?

13 LEVIN: I would hope that at some future date, that we
14 can come to an agreement that the dual purpose systems can be
15 taken off our site as they are. That's our goal, and that's
16 the reason why we focus on loading dual purpose systems as
17 opposed to single purpose systems, to have that opportunity
18 available.

19 KADAK: But, your planning basis, though, is if you have
20 to load a cask, it will be in a dual purpose or multi-purpose
21 canister with perhaps, you know, 50 percent more fuel in it,
22 spent fuel in it?

23 LEVIN: We will load dual purpose canisters until we are
24 comfortable that we can load TADs regularly, in which case
25 then we'll be loading TADs.

1 KADAK: Thank you.

2 GARRICK: George and then Mark.

3 HORNBERGER: I had a question. It may fall to be the
4 same question that Andy asked, but I'm not technically
5 competent in this area, but I'm reasonable facile with
6 arithmetic. If I take Exelon as having 20 percent of the
7 industry, and I multiply 20 percent times 63,000 metric tons
8 of heavy metal, I get something over 12. And, on one of your
9 slides, your 2008 inventory was something over 12,000. How
10 does that flow affect how the kind of fuel you would envision
11 packaging in TADs?

12 LEVIN: I'm not sure that it does at all. Again, my
13 goal principally is to look at loading our current DPCs with
14 intermediate to hotter fuel in the center, cooler fuel on the
15 periphery, and maintaining an inventory of cooler fuel,
16 knowing that to be able to ship fuel off-site, if my
17 intention is to load fuel directly from the pool into a
18 system that is transported, I have to keep lower heat, older,
19 colder fuel to be able to put on the periphery of any
20 transportation system that I intend to ship off-site
21 immediately. So, that's what I'm focused on.

22 GARRICK: Okay, David and then Mark.

23 DUQUETTE: Duquette, Board.

24 A couple of fairly low level questions. David, you
25 indicated, and I know why 70,000 metric tons is going to be

1 the number that's in the License Application, but you opened
2 your statements by saying there's going to be more than
3 70,000 metric tons available for storage eventually. I'm
4 probably asking a personal opinion, it doesn't have to do
5 with the license constipation that John talked about, but
6 what do you think is going to happen to the rest of the
7 nuclear fuel? Where is it going to go? Is there going to
8 have to be a second License Application to expand the
9 repository? I mean, obviously, if there's more than 70,000
10 metric tons, you're only asking to bury 70,000, somebody has
11 got to do something with the remainder.

12 ZABRANSKY: I think I can respond to that. Ward Sproat
13 has talked about a number of times the Nuclear Waste Policy
14 Act contains a provision requiring the Secretary of Energy to
15 advise Congress as to the need for a second repository
16 between, I believe, January 1, 2007 and January 1, 2010.
17 Ward has indicated his desire to have that report to Congress
18 done soon. I believe that that report should be done in the
19 next couple months, and that report will offer the
20 Secretary's opinion to Congress as to what he thinks should
21 be done with the balance of the spent fuel from the current
22 fleet of reactors. So, I would tell you that hopefully in
23 the next couple months, the Department will put forth what it
24 believes is the right thing to do with that excess inventory.

25 DUQUETTE: And, perhaps you don't want to answer the

1 next question, but it's tied to this one. And, that is, do
2 you think it will be an expansion of the current repository,
3 or actually a second repository?

4 ZABRANSKY: And, given the fact that I've been working
5 on that report and that it's still in internal review, I
6 think I need to tell you that that will wait until--I can't
7 answer that until the Secretary weighs in with his opinion as
8 to what should be in that report.

9 DUQUETTE: I think that flies in the face of what Andy
10 said earlier, but I'm not going to discuss right at the
11 moment as to what we're privy to as the Board.

12 The second part of the question is, and I'm
13 probably going to be bringing this up a couple times today
14 after Bill Boyle's presentation, given that resources are
15 being, I wouldn't say redirected, but there will be
16 considerable resources directed towards the License
17 Application, do you see that as a delay in the development of
18 the TAD program?

19 ZABRANSKY: No. I mean, Bill said that, you know, money
20 is getting put where it needs to get put to make sure we meet
21 the high priority items. The TAD program development has
22 been a high priority item. So, while other activities that
23 are not seen as being mandatory in the near term are being
24 delayed, or funded at a lower level, the TAD activities are
25 being fully funded.

1 DUQUETTE: But, you think it will be fully funded?

2 ZABRANSKY: At this point in time, I have no indication
3 that it won't be. I mean, so far, it has been fully funded,
4 and my belief is that it will be in the future.

5 DUQUETTE: Okay. A question now for Adam. And, like
6 George, I haven't looked at arithmetic in a long time, but
7 your slide indicated that you were going to provide 20
8 percent of the commercial nuclear industry's waste. And,
9 then, I looked at your numbers, and it looks like 115,000 out
10 of 221,000 doesn't compute at 20 percent. And, 25 metric
11 tons out of 70,000 metric tons also doesn't compute at 20
12 percent. Would you help me with the math?

13 LEVIN: I'd be delighted. First of all, the 25,000
14 metric tons is based upon all of the plants receiving license
15 renewal. And, I think the Department has already taken a
16 look at that with respect to repository, a potential
17 repository at Yucca Mountain, and identified that there could
18 be up to 130,000 tons generated by industry. So, that 20
19 percent sort of fits into that number.

20 With respect to the number of fuel assemblies, as I
21 mentioned earlier, we are a BWR fleet, predominantly a BWR
22 fleet. So, we generate many more assemblies, which is why
23 we'll represent roughly half of the number of assemblies, yet
24 only 20 percent of the total MTU.

25 DUQUETTE: Okay. So, basically, the 20 percent is based

1 on the total possibility for nuclear fuel, not 20 percent of
2 the 70,000?

3 LEVIN: That's correct.

4 DUQUETTE: It has to do with either expansion of the
5 repository, or the designation of a second repository in New
6 York City?

7 LEVIN: That's correct.

8 GARRICK: All right. Mark, Ron, and Howard.

9 ABKOWITZ: Abkowitz, Board.

10 Adam, I'd like to explore some of the business case
11 issues with you in a little bit more detail. The first one
12 has to do with the assumption that Dave made that the 90
13 percent included taking the existing spent nuclear fuel
14 that's in dry storage and having it repackaged into TADs
15 before it leaves. I would think that would probably be the
16 technique of last resort from the standpoint of the utility,
17 taking something that's already been taken out and putting it
18 back in and redoing it. So, is it safe to assume, at least
19 from Exelon's perspective, that the only way that that
20 assumption is going to work is if a third party gets involved
21 and moves it off of your site and does something else with
22 it?

23 LEVIN: No, I think the answer to that is no. It's
24 certainly what we're focused on is trying to be able to, once
25 DOE performs, ship directly from our pools. And, we'll ship

1 directly from our pools for a long, long time. I'm not
2 concerned about that. And, I would hope by that time, we
3 figure out some opportunity for the repository to develop a
4 facility that should be able to handle DPCs. That's the way
5 I look at it.

6 ABKOWITZ: So, in some respects, playing off of the
7 discussion you had with David, and your answer to that
8 question, in some respects, everything has to work perfectly
9 to get this first 70,000 in place, and then the remaining
10 65,000, or whatever it's going to be, a little of this, and a
11 little of that, no one really knows how we're going to solve
12 that problem, because all the sacrifices are going to be made
13 to try to make the 70,000 work.

14 LEVIN: Well, at 3,000 metric tons a year, that's 20
15 years out, so I think there's some opportunity there for us
16 to work some of those problems through.

17 KADAK: Mark, with your permission, could I just ask a
18 follow-up question?

19 ABKOWITZ: Absolutely.

20 KADAK: Kadak, Board.

21 What do you do with sites that have no plants
22 there, like decommission facilities, where spent fuel is
23 currently stored? David, perhaps you can answer that
24 question? What is your intention there, because repackaging
25 at sites where there is no spent fuel pool is a little bit of

1 a challenge.

2 ZABRANSKY: Dr. Kadak, you know that I'm going to have
3 to--my answer to that question, I'll have to deal with it
4 within the constraints of my ongoing 12 year litigation,
5 which is, and I'm following up with what Adam was saying, is
6 the Department's position, the government's position has been
7 clear that those canisters are not acceptable. So, that,
8 until remediated, they won't be accepted into the system.

9 Now, having said that, as Adam alluded to earlier,
10 we're always willing to talk with individual utilities about
11 a combination that we might be able to make contractually to
12 address those concerns.

13 KADAK: So, this is sort of DOE blackmail?

14 ZABRANSKY: It's dealing with the fact that we have a
15 contractual relationship and a legal situation.

16 KADAK: And, logic be damned?

17 ZABRANSKY: We have a contractual relationship and a
18 legal situation.

19 ABKOWITZ: If I may continue?

20 KADAK: Yes.

21 ABKOWITZ: We needed a constipation break.

22 Adam, I'm sure you've probably done some back of
23 the envelope calculations, and maybe you can kind of help me
24 work through this. What is the difference in the capacity of
25 a DPC that you would typically be using now or anticipate

1 using in the next five years versus the anticipated capacity
2 of the TAD?

3 LEVIN: The TADs will require about 50 percent more
4 systems to load. So, where we may be loading four systems
5 during an outage, or during the campaign, we'd be loading six
6 instead.

7 ABKOWITZ: So, 1.5 TADs equal 1 DPC in terms of
8 capacity?

9 LEVIN: Approximately.

10 ABKOWITZ: Okay. Now, what about cost?

11 LEVIN: I don't know the answer to that.

12 ABKOWITZ: Oh, come on.

13 LEVIN: I know the TADs are--no, I don't--I know the
14 TADs are going to be more expensive. We're probably looking
15 at something that's going to be twice as expensive overall
16 when you include that 1.5 factor.

17 ABKOWITZ: Okay. So, basically, at the end of the day,
18 if I'm doing some quick math here, it's per unit of waste
19 handled, it's going to cost you three times as much if you
20 use a TAD as opposed to a DPC?

21 LEVIN: No, twice to two and a half times as much, is my
22 best estimate.

23 ABKOWITZ: Okay, So, you have done some back of the
24 envelope?

25 LEVIN: No, just going by the one and a half.

1 ABKOWITZ: Okay. And, that, on a per package basis, or
2 something, are we talking a difference in cost of millions of
3 dollars?

4 LEVIN: Our current cost for loading systems are
5 probably in the range of one and a quarter to one and a half
6 million per system.

7 ABKOWITZ: Okay.

8 LEVIN: And, so, you're talking upwards of 3 million a
9 system.

10 ABKOWITZ: 3 million a system. And, how many of these
11 are we talking about over the waste that you have out there
12 now, or that you will be dealing with? Are we talking about
13 a \$30 million differential, a \$60 million differential, or
14 \$120 million differential?

15 LEVIN: Well, at a given site during a campaign, it
16 would be about--well, it would be about \$6 million per
17 campaign at each site. So, if we had all unit sites that
18 were all loading casks every year, at six sites or seven
19 sites, it would be somewhere between \$30 and \$40 million with
20 TAD systems.

21 ABKOWITZ: Per year?

22 LEVIN: No, no, no. It would be, let's say, roughly
23 four systems a year per site, so 24 systems, so instead of
24 being--it would be upwards of \$70 million per year for us.

25 ABKOWITZ: For how long?

1 LEVIN: Versus 35.

2 ABKOWITZ: Okay, so \$35 million differential per year?

3 LEVIN: Over the life of the plants, over the balance.

4 ABKOWITZ: Times 20? So, \$700 million for one-fifth of
5 the industry, and, so, that would then become \$3.5 billion
6 for the industry? Out of the generosity of the utility
7 industry, are you going to take one for the team?

8 LEVIN: It is something that we feel we need to include
9 as the cost of operation. If it's something we need to do,
10 we will. And, we see the benefit on the back side of it
11 being that we can go and tell the folks where we'd like to
12 site a nuclear facility that, yes, we have closure to the
13 nuclear fuel cycle.

14 ABKOWITZ: Okay, thank you.

15 GARRICK: Ron?

16 LATANISION: Latanision, Board.

17 David, I'm interested in the development contracts
18 that have been awarded to AREVA and NAC.

19 ZABRANSKY: Okay.

20 LATANISION: I have the feeling that we've seen the 2007
21 system specifications for the canister, but we haven't heard
22 a lot of conversation about the assembly and fabrication, and
23 I don't remember the details. So, I'm going to ask you
24 firstly, are they performance specifications, or are they
25 process specifications, or both?

1 ZABRANSKY: Well, the specification we have is a
2 performance spec.

3 LATANISION: A performance spec.

4 ZABRANSKY: It talks about what the TAD has to do, and
5 what the criteria are for the TAD.

6 LATANISION: Okay. So, is it then at the--are the two
7 contractors then at liberty to choose their approach to
8 joining and fabrication and assembly, for example, or is this
9 something that's specified at the stage for them?

10 ZABRANSKY: To the extent it's not important to the
11 performance of Yucca Mountain, and it's not included in the
12 spec, the answer is yes, they are at liberty to use different
13 approaches for how they may manufacture items.

14 LATANISION: Okay. Well, my concern, from a materials
15 point of view and from a corrosion engineering point of view,
16 is two-fold. It would seem to me to be important to consider
17 residual stress control, either by thermal treatment or other
18 means. Is that part of the specification, first of all?
19 Secondly, from a corrosion engineering point of view, we
20 spent a lot of time in Board conversations over the years,
21 and public meetings talking about crevices, some of which may
22 be created by, even by dust accumulation. But, crevices can
23 be created by fabrication as well, and I'm wondering what
24 sort of let's say design verification is included in the
25 development process with these two contractors?

1 ZABRANSKY: Okay. I think the way I would answer that
2 is that the TAD itself is an inner container that goes inside
3 a waste package overpack. It's my understanding that the TAD
4 canister itself isn't credited for waste isolation. So, to
5 the extent that there's an interface between the canister and
6 the waste package, those specific performance requirements
7 have been specified.

8 LATANISION: They have not been specified?

9 ZABRANSKY: They have been specified because there's an
10 interface.

11 LATANISION: Okay.

12 ZABRANSKY: But, the waste package itself is the primary
13 containment, and it will be done by DOE. So, the TAD vendors
14 are creating an inner canister that is not being credited for
15 isolation.

16 LATANISION: So, there's an interface then between DOE
17 and the canister vendors?

18 ZABRANSKY: From the standpoint if there is an interface
19 that affects the long-term isolation, that's been put in the
20 specification. But, if it's not required for that, that's
21 been left up to the vendors.

22 LATANISION: That's left to the vendors. Okay, thank
23 you.

24 GARRICK: Howard?

25 ARNOLD: Arnold, Board.

1 This will be somewhat repetitive, but back on the
2 canisters, the TAD canisters, we're assuming they will be
3 commercially available in 2013, and that you will have worked
4 out with all the utilities any commercial or other issues
5 involved in their accepting them with gratitude at that point
6 in time. It sounds to me as though you've got 20 percent of
7 the industry on board. What are you doing to make sure the
8 other 80 percent, some of whom don't plan new reactors, and
9 wouldn't be motivated by issues involved in siting them, are
10 you working hard to make sure they're accepted when they're
11 available?

12 ZABRANSKY: I think, yes, the answer is the Department,
13 following up on what Adam said in response to the questions,
14 yes, we understand that part of the business case is to make
15 the acceptance of TADs an overall positive thing for the
16 utilities. We're working to that end. Obviously, we haven't
17 worked with everybody yet. We have my resources and in the
18 near-term, it will be focused on new reactors. But, we've
19 had dialogue with Adam and other utilities about what type of
20 amendments we could enter into for the contract in place that
21 would be good for both parties, and would facilitate the
22 early implementation of TADs, addressing the uncertainties of
23 the time frame and when they may get implemented, and making
24 sure that we don't do anything that--you know, our desire is
25 as we go down that path, to address and implement TADs as

1 early as possible, is to not jeopardize their ongoing
2 operations. So, it's more than likely going to be an
3 individual discussion with each utility as to when it's
4 appropriate to move to TADs as quickly as possible, and what
5 we can do in return for them doing it.

6 GARRICK: Let me get a question--oh, go ahead, Ali.

7 MOSLEH: Mosleh, Board.

8 On this issue, to what extent are these factored
9 into 2030, what are the controlling assumptions behind that
10 date?

11 ZABRANSKY: The controlling assumptions behind that date
12 are, again, we put together a procurement that has certain
13 milestones, certain deliverable dates, certain expectations
14 that the contractors must meet in order to be successful and
15 get paid. And, the dates that were established, were
16 established by the Department after discussions with many
17 parties, industry, the cask vendors themselves as to what
18 would be reasonable dates for things to occur. So, we think
19 it's an aggressive schedule, but it's not an unreasonable
20 schedule. We factored in cask vendor, as to it's going to
21 take me this long to do this, and then we developed a
22 schedule that we thought met our needs to the best possible,
23 and was something they could deal with. And, quite frankly,
24 it was something we put into the procurement, and when they
25 bid on the process, recognizing that this is, in essence, a

1 fixed price contract, that if they didn't meet those dates,
2 they wouldn't be successful and wouldn't receive
3 compensation. So, I think it's a good schedule. It's one
4 that they bid on. It's one they recognize the
5 aggressiveness, but they can also manage it in a way that
6 they think they can be successful.

7 MOSLEH: But, that depends on you not changing the
8 requirements.

9 ZABRANSKY: Yes, it depends on the specification we have
10 in place, being the specification we have in place, yes.

11 MOSLEH: And, given the uncertainties that you just
12 alluded to, are they likely to change those requirements in
13 the specifications?

14 ZABRANSKY: Now, which uncertainties are those?

15 MOSLEH: You were talking about, you know, the
16 discussions with the other 80 percent.

17 ZABRANSKY: Well, again, those, I don't think those
18 uncertainties, no, those kind of discussions won't change the
19 spec. I mean, the inherent risk has always been that the
20 spec represents our best belief as to what it takes to make
21 these containers disposable. And, to the extent that that is
22 a problem at some point, that will have to be addressed, but
23 we believe that these containers, the spec represents the
24 Department's best thinking as to what it needs to have. I
25 don't think the discussions we're talking about with

1 commercial utilities will have any impact on the spec.

2 GARRICK: Andy, did you have a comment? And, then,
3 David, and then I have a couple.

4 KADAK: Again, for David, will you be selling the TADs
5 to the utilities, or giving the TADs to the utilities?

6 ZABRANSKY: It's a hard question. I never thought about
7 it before. I have to answer that in context of the
8 Department has received a lot of guidance in court as to what
9 it can and can't do. And, one of the things we received
10 guidance on is what we can use the Nuclear Waste Fund for.
11 And, as you're aware, I believe, we did some--we had a
12 settlement early on with PICO Energy back in the good old
13 days of 2000, and after that settlement, we were sued by a
14 number of utilities. It became known as Alabama Power. And,
15 the courts told us we can't use Waste Fund dollars for on-
16 site storage.

17 So, we are crafting a way of dealing with this
18 consistent with the Alabama Power decision that doesn't have
19 us using Waste Fund dollars for on-site storage.

20 Having said that, I think the approach we're going
21 to take is, and we're not finalized yet, is that the
22 utilities will have to purchase TADs. And, to the extent,
23 once we agree to take them, we'll reimburse them at some
24 point in the future when they're accepted.

25 KADAK: Okay. Now, what's the production rate of the

1 TADs per year, starting in 2013?

2 ZABRANSKY: I don't have any information on that either.

3 KADAK: All right, that obviously affects Adam's plans
4 for use of TADs. The last question is I just want a
5 clarification on the current situation with plants that are
6 in--that DOE is paying the utilities for because of the
7 failure to accept spent fuel in 1998. As I understand it,
8 and correct me if I'm wrong, DOE is paying to these utilities
9 a certain sum of money for costs incurred for storage at
10 their sites, and these costs will continue until DOE will
11 take the spent fuel from the utilities at their sites.

12 Getting back to my earlier, perhaps a little flip
13 comment about sort of blackmail, aren't you paying right now
14 for storage at existing sites, and wouldn't it be in the best
15 interest of DOE to take that spent fuel from these sites,
16 especially those that are decommissions, to avoid those kinds
17 of costs?

18 ZABRANSKY: I have to clarify before I can answer, let
19 me clarify. First of all, just to be precise, DOE is not
20 paying any utility for storage. It's being paid by the
21 Treasury Department pursuant to settlements entered into
22 between the utilities and the Department of Justice.

23 KADAK: All right.

24 ZABRANSKY: DOE is merely acting as a technical advisor
25 to the Department of Justice as to whether or not the costs

1 submitted by utilities are reasonable and allowable. So,
2 that's technical, a legal analysis out of the way. And, the
3 answer is yes, I mean, the Department, and Ward has said this
4 a number of times, that the best thing we can do to limit
5 that liability is get Yucca Mountain done and start accepting
6 spent fuel in meaningful quantities.

7 KADAK: But, we're back to the question of if a facility
8 doesn't have any capability to repackage, doesn't that really
9 impress that you should probably take it--

10 ZABRANSKY: To that end, I'm not aware of any utility in
11 that situation that we've paid a dollar to.

12 KADAK: How about Yankee Rowe?

13 ZABRANSKY: They have not received a dollar, to my
14 knowledge.

15 KADAK: Maine Yankee?

16 ZABRANSKY: They have not received any money from the
17 government.

18 KADAK: Boy, I thought I got a settlement award for \$143
19 million.

20 ZABRANSKY: I believe those are all under appeal.

21 KADAK: Okay. Thank you for returning my token of
22 memento.

23 GARRICK: Okay, David?

24 DUQUETTE: Duquette, Board.

25 After following the tangent that Andy just went on,

1 and since we seem to be running early and we can't let you
2 guys off the hot seat yet, let me ask a hypothetical question
3 to both of you. The concept of reprocessing comes up
4 periodically. It's often shot down in budgets, and so on and
5 so forth, but we're going to be looking at a new
6 administration, which may or may not have some different
7 philosophies on what to do with nuclear waste and nuclear
8 power in general. Have either your office or the utilities
9 factored into contingencies for things like TADs, and so on
10 and so forth, the possibility of reprocessing waste in the
11 future?

12 ZABRANSKY: I'll start that one. I think to that end,
13 yes, the Department has obviously, the Global Nuclear Energy
14 partnership as part of the Department of Energy, there have
15 been discussions within the Department as to how the pieces
16 fit together. And, I think that there's been testimony by
17 Ward and others in different forum that, you know,
18 reprocessing, longer term situation, that will get looked at
19 and implemented, or not implemented in the future. We're
20 going to have to deal with it as soon as possible, you know,
21 the materials that will go to Yucca as direct disposal
22 options. In the future, if things change, we'll have to
23 address that and look at different opportunities, different
24 ways of doing things, different waste forms. But, those are
25 not near term waste forms, near term problems. As Dr. Kadak

1 said, it behooves us to do something as soon as possible, and
2 as soon as possible is to begin development and deployment of
3 materials at Yucca Mountain.

4 LEVIN: And, from our perspective as a utility, I don't
5 believe that it has any impact with respect to our management
6 of used fuel at this juncture.

7 DUQUETTE: Thank you.

8 GARRICK: I guess this goes to David. Earlier, we
9 talked about a number of challenges facing the DOE waste
10 stream, and depending on which scenario you look at, the DOE
11 spent nuclear fuel contributes a disproportionate amount of
12 the dose as well. So, there are some real issues, it seems,
13 with respect to the DOE waste stream, and I'm wondering is
14 there an analysis of these issues and documentation that the
15 Board would benefit a great deal from understanding what it
16 says and what the basis is, and what DOE is actually doing
17 about being prepared to have its spent nuclear fuel and high-
18 level waste accepted in the repository? It would be kind of
19 embarrassing if their own waste was not accepted in their own
20 repository.

21 ZABRANSKY: Just to clarify the question I'm hearing you
22 ask, it's that when you say DOE, I've got to think of it
23 you're talking about not RW per se, but what the owners of
24 the waste, EM, Environmental Management, is doing?

25 GARRICK: Yes.

1 ZABRANSKY: And, I don't know that there's such a thing.
2 I think that's a question that we could pose and find out. I
3 know that there's always ongoing discussion between the
4 programs as to what is happening and what's going on, but I
5 think those issues as to how they're allocating resources,
6 how they're prioritizing their programs, need to be answered
7 by the senior management of the Environmental Management
8 program, which is Spalling, Enez Terrez, Jim Mullendoff
9 (phonetic), and perhaps those should be posed to them as to
10 whether or not such analyses, or how their plans exist.

11 GARRICK: Well, it would seem that it would be very
12 amenable to analysis because there are lots of issues,
13 including the actual loading of the canisters and especially
14 with respect to the co-disposal canister. And, it just
15 occurred to me that there must be somebody that has really
16 analyzed the different scenarios that we're talking about.
17 And, a lot of our questions would probably be answered if
18 there was such an analysis, and if we had access to it.

19 ZABRANSKY: I guess all I can say is that we will look
20 into that and see what is available, and get back to you.

21 GARRICK: Yes. Okay, any other comments? Okay, go
22 ahead, Henry.

23 PETROSKI: This is Petroski.

24 This question of the dual purpose canisters, and in
25 conjunction with the recommendation for a second repository,

1 is the recommendation for a second repository limited to
2 being of the same design as what is now defined by the
3 License Application?

4 ZABRANSKY: I think, and, again, not getting ahead of
5 the Secretary, because that's not a good thing to do, is that
6 the requirement, pursuant to the Act, is to advise the
7 Congress as to the need for a second repository. So, at this
8 point in time, the Act actually prohibits the Department from
9 doing any specific work as to the technical attributes of the
10 second repository, or its site. So, the first step is to
11 identify whether or not such a thing is required, and that's
12 what would be in this report, is the Secretary's
13 determination as to whether or not there is the need for a
14 second repository.

15 PETROSKI: But, at the same time, it doesn't rule out
16 accepting dual purpose canisters?

17 ZABRANSKY: Again, let me just clarify, that's not a
18 technical issue. That is a commercial issue. It doesn't
19 change the commercial issue at all.

20 PETROSKI: Could you spell out that distinction for me?

21 ZABRANSKY: Well, technically, you know, Yucca Mountain
22 is being designed to have facilities that would be capable of
23 accepting some number of dual purpose canisters and
24 repackaging materials into TADs. That's a technical
25 requirement. Whether or not the Department does that is a

1 commercial discussion.

2 PETROSKI: Okay, I see. Thank you.

3 GARRICK: Yes, Mark?

4 ABKOWITZ: Abkowitz, Board.

5 Dave, let me just follow up on Henry's question.
6 If the Secretary comes up with a recommendation that rather
7 than having a second repository site, it's more desirable to
8 expand the capacity of the existing Yucca Mountain proposed
9 site, does that mean that the design that's in place right
10 now would be the same design for the waste in excess of
11 70,000 metric tons?

12 ZABRANSKY: I can't speak to that point. I don't know.

13 ABKOWITZ: Because you're dealing with somewhat the same
14 surface facility and the like, so, does that mean then you
15 need 90 percent TADs out of the second part of that operation
16 as well?

17 ZABRANSKY: And, again, I can't speak to what might
18 happen as to what the recommendation might be and how it's
19 implemented. Congress first would have to agree with the
20 recommendation--

21 ABKOWITZ: So, it's conceivable then if the repository
22 were expanded, that after 70,000 tons, we'd have a long pause
23 and we'd take down a bunch of facilities and build new ones,
24 and open up a second, you know, an annex that would look very
25 different?

1 ZABRANSKY: Well, again, the reason that this process is
2 taking place today, and that Ward wanted to do it sooner
3 rather than later, is to ensure that whatever the decision
4 is, is that there be continuity. 70,000 tons is going to
5 take us until 2050. Based upon the recommendations made in
6 2008, 2009, the hope would be that we'd be ready to move to
7 the next phase without interruption.

8 GARRICK: Adam, I have a question for you. What do you
9 consider, what have the utilities considered to be the
10 greatest challenge in implementing the TADs concept, or
11 challenges?

12 LEVIN: Probably, to me, the single most challenging
13 aspect of it will be integrating it into plant operations. I
14 can tell you that even taking four to five weeks, or six
15 weeks, out of plant operations schedules to load dry casks is
16 a challenge. We certainly don't want to extend that time
17 frame too much, if we go to loading 50 percent more systems
18 in TADs. So, we're going to be very focused on ensuring that
19 given the use of TADs, that we can accommodate that in plant
20 operations.

21 GARRICK: So, it's a matter of getting rid of the fuel
22 in a timely manner?

23 LEVIN: Right.

24 GARRICK: Howard?

25 ARNOLD: Arnold, Board.

1 I gather from that that you have to shut down your
2 reactor to do that?

3 LEVIN: No, we do not. It's just for--the reason it
4 becomes an issue is competing resources, particularly for the
5 large cranes at the plants.

6 GARRICK: Okay. Any questions from the Staff? Yes,
7 David?

8 DIODATO: Diodato, Staff.

9 I wanted to follow David Zabransky to make sure I
10 understood the comment you made about whether to go with TADs
11 or dual purpose canisters. Did I hear you correctly in
12 saying that's a commercial decision not a technical decision?

13 ZABRANSKY: Again, I think the context was the decision
14 at a utility site?

15 DIODATO: Well, you said disposal of--did I hear you
16 correctly disposal of these canisters was a commercial not
17 technical decision?

18 ZABRANSKY: Of dual purpose canisters.

19 DIODATO: Yes.

20 ZABRANSKY: What I was responding to was the acceptance
21 of those is a commercial decision that needs to be made by
22 the Department in agreement with the utilities.

23 DIODATO: Yes. So, not the disposal?

24 ZABRANSKY: It doesn't speak to the disposal.

25 DIODATO: Okay, thank you very much.

1 GARRICK: Any other questions? Gene?

2 ROWE: Rowe, Staff.

3 I've just got a quick question. First of all,
4 Adam, when you load the dual purpose canisters or TADs, do
5 you do that during plant operations? And, it's only a
6 manpower issue?

7 LEVIN: Yes, we do.

8 ROWE: A quick one for Dave. I realize the License
9 Application has a 63/7 split between DOE and commercial. Is
10 that a decision that if DOE decided for some reason, you
11 could change that split? Forget the fact that you're going
12 to have to do a whole bunch of analysis, but if it turned out
13 that you needed to change that split, is that under DOE's
14 power to do that?

15 ZABRANSKY: Again, I think that decision goes back to an
16 intra-departmental agreement between the Office of Civilian
17 Radioactive Waste Management, Environmental Management back
18 in the mid Nineties, that that's how we'd implement the co-
19 disposal approach, commercial waste and defense waste.

20 ROWE: But, it's a DOE decision?

21 ZABRANSKY: I believe it is, yes.

22 ROWE: Okay, thank you.

23 GARRICK: Okay, any other questions from anybody?

24 (No response.)

25 GARRICK: All right. Well, thank you. Thank you very

1 much. It's a good session.

2 Okay, we're scheduled to have a break. I think
3 we'll break from now until about 10 after.

4 (Whereupon, a brief recess was taken.)

5 GARRICK: We're now ready to move to the Transportation
6 Panel. And, Board member Mark Abkowitz will be leading the
7 discussion on this particular session.

8 ABKOWITZ: Abkowitz, Board.

9 Thank you, John. The way that we're structuring
10 the program today, as you probably can see, is we're looking
11 at the entire preclosure operation as an integrated waste
12 management system. Obviously, the first step is to figure
13 out how to package and get prepared for shipment the wastes
14 that are residing at various locations around the country,
15 both at DOE facilities and commercial facilities.

16 We're now moving on to the transportation
17 component, and we view that component as essentially having
18 shipments ready to egress the shipment origin, and we are
19 exploring how they make it to the fence line at the surface
20 facility at Yucca Mountain.

21 We are fortunate today to have three
22 representatives on our Panel, who will be able to speak to us
23 from their perspectives on the transportation component, Gary
24 Lanthrum representing the Department of Energy, Steve Edwards
25 representing Progress Energy, one of the primary shippers in

1 this particular case, and Bob Halstead representing the State
2 of Nevada.

3 Similar to the Panel that we had prior to the
4 break, we're going to ask each of the panelists to give a
5 formal presentation in sequence without any questions from
6 the Board, and then we'll open it up for a more general
7 discussion and question and answer period.

8 I'd like to ask each of the panelists to give a
9 brief introduction in terms of their background, and then
10 they can correspondingly launch into their presentation.
11 We'll do this in the order that's listed on the agenda, so,
12 we'll start with Gary, and then Steve, and then finally, Bob.

13 Gary?

14 LANTHRUM: My name is Gary Lanthrum. I'm the Director
15 of the Office of Logistics Management in the Office of
16 Civilian Radioactive Waste Management. My job is to develop
17 the transportation system that will ultimately be used to
18 ship spent nuclear fuel and high-level waste to Yucca
19 Mountain both nationally and in the State of Nevada.

20 My background has been nuclear engineering, working
21 in Naval shipyards, and I actually started my career at the
22 power plant, Trojan in Oregon on the Columbia River. It's
23 kind of sad, I was there for licensing and start-up of that
24 plant. It's now shut down, the core has been unloaded, and
25 the reactor vessel is disposed of, and I'm still working. It

1 doesn't seem fair somehow. From there, I spent a number of
2 years working with weapons and special equipment material
3 transportation activities for DOE out of the Albuquerque
4 Operations Office, and then transitioned in 2003 to come to
5 work for the Office of Civilian Radioactive Waste Management
6 in the Transportation Group.

7 EDWARDS: Steve Edwards. I'm supervisor of Spent Fuel
8 Management for Progress Energy in Raleigh, North Carolina.
9 My responsibilities include all of the on-site spent fuel
10 storage and transportation of our five nuclear units. I've
11 been with Progress Energy and its predecessor Carolina Power
12 and Light for 26 years. For about the last ten, or so,
13 working exclusively on spent fuel activities. I'm
14 responsible for all the on-site dry storage, wet storage
15 projects, transportation, as well as our strategic planning
16 for shipments to the permanent repository.

17 HALSTEAD: I'm Bob Halstead. I'm transportation advisor
18 for the Nevada Agency for Nuclear Projects. My
19 responsibilities are primarily transportation impact
20 assessment for the Yucca Mountain Project, although I have
21 worked on some other issues for Nevada. I've worked on these
22 issues for Nevada, both as a consultant, as a resident
23 contract employee in Carson City, and then again as a
24 consultant since 1989. Prior to that, I worked for the State
25 of Wisconsin Energy Office, Great Lakes Coastal Management

1 Program and the radioactive waste review board for ten years.
2 I was deeply involved in utility systems planning, particular
3 20 year advanced plans, worked on power plant siting, carried
4 cases before the Public Service Commission of Wisconsin, as
5 interest may appear. My academic background is as an
6 environmental historian, and I have particularly worked in
7 the area of the history of origins of the United States'
8 dependence on imported oil.

9 ABKOWITZ: And, with that, I guess we can go into the
10 presentations.

11 LANTHRUM: Go to my first slide. One of the things we
12 were asked to talk about was the degree of understanding of
13 the interface between the transportation system and the
14 utilities, particularly the number of utilities that had
15 capabilities for dealing with TADs was one of the questions.
16 One of our challenges is that that interface is constantly
17 changing. And, we are far enough away from our first
18 shipment that we are not building the transportation system
19 explicitly around the existing capability that the utilities
20 have.

21 A prime example is back in 1998, only ten utilities
22 had dry storage capability for storing casks on site. In
23 2008, the number is 40, and as many sites change their
24 capability to include dry storage as part of their portfolio
25 of capabilities, many things get upgraded on the site to

1 support that, and many of those capabilities and many of
2 those upgrades contribute to the transportation interface.
3 And, we would expect that between now and the 2020 date, that
4 additional upgrades and changes will be made. And, so, we
5 haven't paid and haven't designed the transportation system
6 around what exists now. We designed it around what the
7 national system is capable of dealing with and making sure we
8 can work with that, and we have looked at how we can
9 accommodate any outliers at the actual transportation
10 interface sites with the utilities.

11 The last comprehensive review of what was available
12 at utilities, and of the near-site transportation
13 infrastructure was done about 12 years ago, and at that time,
14 we had a pretty good feel for what those capabilities were.
15 That survey was done back when we were still looking at 2010
16 as the starting date for repository operations, and, clearly,
17 that date isn't going to be made.

18 What we did do in 2005, one of the things we used
19 to keep track of utility capability, including things like
20 crane capacities, lay down space, rail access, there's a
21 whole range of things that we track, there is a document we
22 call the Facility Interface Data Sheet. It's basically a
23 large spread sheet. Those were updated on a voluntary basis
24 back in 2005, and Dave Zabransky alluded to that in his
25 presentation. Because it was a voluntary update, we had

1 fairly low participation, it was somewhere between 60 and 70
2 percent of the utilities asked to update, actually provided
3 information, and, so, it's incomplete.

4 Our plan is to do a formal update in the five years
5 before the repository operations start, which right now would
6 be around 2015. And, that would be coincident with the
7 delivery commitment schedule updates that Dave Zabransky
8 talked about, which are done 63 months prior to the start of
9 shipments.

10 We do have plans in place on the transportation
11 baseline to do updates of both the site capabilities and the
12 near-site transportation infrastructure capability. We did a
13 dry run of that with one of the shortline railroads that
14 serves the Salem and Oak Creek plants. We did that last year
15 in conjunction with the Federal Railroad Administration, and
16 community people from the area, from the northeast.

17 Again, it was a very good review of the
18 capabilities of the shortline railroad, the Winchester and
19 Western Railroad, and as the model that we would use to look
20 at updating the transportation capabilities to get from sites
21 to the national infrastructure, and that will be part of what
22 we'll be doing starting in about five years before shipments
23 begin.

24 Next slide. Dave talked about the fact that under
25 the current contracts and court decisions, the Department of

1 Energy has no plans, and actually I should probably say more
2 accurately, the Department is barred from providing funding
3 for upgrading infrastructure at sites. That's not going to
4 be happening. It was one of the questions that was asked.

5 Although, two weeks ago, I was at the Monticello
6 generating station doing a benchmarking visit, looking at how
7 they do a number of their operations, and they were in the
8 process of loading their first dry spent fuel storage cask.
9 And, they had done the upgrades fairly recently to both crane
10 capacities to lay down areas, additional trackage on the
11 site, and on-site heavy haul capability to move very large
12 casks from their reactor fuel storage building out to the dry
13 storage area. And, that's the kind of thing that we're
14 expecting to happen more frequently as additional sites add
15 dry storage capability.

16 Under the proposed action in our Environment Impact
17 Statement, we're looking at transporting just under 10,000
18 rail casks and roughly just under 3,000 rail shipments by
19 train. We made the policy decision back in 2005 to use
20 dedicated trains for the usual mode of transport. And,
21 probably the most important take out in this question, I
22 think you all are exploring lots of issues around TADs and
23 other systems that might be shipped, the transportation
24 system is being designed to support large rail casks.
25 Whether those are TADs or something else, the system is going

1 to be relatively impervious to, it's going to be able to
2 support any of the large rail capabilities that might be
3 needed.

4 The Navy's cask systems, for example, are going to
5 be roughly 290 tons when loaded for their transportation
6 configuration. That's far heavier than the casks for either
7 DPCs or TADs. The rail system is being designed around
8 supporting that level of car loading. And, the rail cars
9 themselves are being designed. And, so, what winds up
10 actually getting shipped is really not as big a concern
11 because the design of the transportation system will
12 accommodate a wide range of weights and rail cask
13 capabilities.

14 We did analyze for sites that do not have rail
15 access currently, but do have crane capacities to deal with
16 large rail sized casks, the ability to do intermodal
17 operations from those sites to a rail head. There are
18 portable crane capabilities for lifting casks that are the
19 size of a loaded TAD in a transport configuration, and the
20 technical specification that Dave Zabransky talked about
21 limits that weight to 180 tons. That's a very doable
22 transport weight for both portable crane capacities and for
23 heavy haul trailers for getting those casks from sites that
24 do not have rail access to a rail head, so we can still
25 support the mostly rail mode of transport that we chose

1 nationally back in 2004.

2 And, again, the updates to both the site
3 infrastructure capabilities and near-site infrastructure will
4 be done about five years in advance.

5 Next slide. We did select the preferred
6 alternative of mostly rail, both nationally and in Nevada, as
7 our primary mode of transport. There are no technical design
8 and construction challenges with the development of the
9 Nevada Rail Line along the analyzed corridors in our EIS. In
10 fact, there was a, I think the most recent copy of Trains
11 Magazine did a look at this construction project, and they
12 compared it basically to the Great Northern and Western
13 Pacific Lines that were constructed 80 years ago in terms of
14 complexity. And, certainly, we've got a lot more industrial
15 capability these days than we had 80 years ago for rail
16 construction.

17 We have expanded the discussion in the EIS between
18 the draft and the final on ability to mitigate the impacts
19 associated with both construction and operation. I know we
20 have been challenged a number of times over the what appears
21 to be a slow rollout of dealing with impact mitigation, but
22 largely, that's because we have not made a decision to act
23 yet. We are still not completed with the NEPA process.
24 There's a record of decision that is still required, and the
25 no action alternative is still a possibility on the rail

1 alignment Environmental Impact Statement that was done on the
2 Caliente corridor. Until we issue a ROD selecting one of the
3 action alternatives, that would be the trigger to start
4 detailed discussions with local land users and landowners
5 about how we would mitigate the impacts associated with both
6 construction and operation of a railroad.

7 Cost and schedule are always a challenge for us.
8 We are constantly aware of the challenge associated with this
9 Department and our ability to get the President's request for
10 funding. And, our schedule right now for construction calls
11 for about a five year construction period, but, again, that's
12 going to be highly dependent on getting the budget authority
13 that we've got in our long-ranged integrated baseline.

14 And, the last slide. We believe that the
15 utility/transportation interface will continue to evolve as
16 the transportation system is developed. We are trying to
17 come up with ways that the transportation system, as it's
18 being designed, can be flexible to deal with those changes
19 without having to reinvent the wheel, and we believe that
20 most of the changes that are happening are adding capability
21 to our shipping plans rather than removing capability.

22 The Nevada Rail Line does remain a priority for the
23 Department. Even though there's a no action alternative,
24 it's still on the plate for the current EIS. We already have
25 made the decision that rail will be the mode of transport in

1 Nevada. The no action alternative would only apply to
2 implementing rail along the Caliente or Mina corridors, which
3 are currently being studied.

4 And, the rail industry itself is well prepared to
5 both design, construct and also operate a rail line across
6 the terrain that we're talking about to get shipments from
7 the main line track to our repository at Yucca Mountain.

8 Steve, I think you're up.

9 EDWARDS: I want to take just a few minutes to discuss
10 the shipment experience that exists within Progress Energy,
11 and talk a little bit about our experience that we have had
12 with transportation of spent nuclear fuel.

13 Progress Energy is a regulated utility in the
14 Southeastern United States. We have service territory in
15 North Carolina, South Carolina and Florida, and we have five
16 nuclear units at four different locations, and we have done
17 transportation for a number of years between our North
18 Carolina and South Carolina plants. We have not done any
19 transportation with the Florida plant.

20 Next slide. Okay, we are, just for a bit of
21 background, we have done a total of 210 shipments for 375
22 casks, a little over 5,200 spent fuel assemblies, and that's
23 a combination of PWR and BWR, about 1,200 metric tons of
24 uranium, to put that in perspective with what Adam and Dave
25 were talking about this morning in terms of volume. And, in

1 those shipments, we have not had any incidents which involved
2 any radioactive spills or releases, and we have had no
3 measured radiation exposure to any train personnel or any of
4 the general public.

5 To break that down, we shipped initially from
6 Robinson to Brunswick beginning in 1977 through 1981 to make
7 space at the Robinson plant for re-racking. We then began
8 shipping from Robinson to Harris in 1990, shipped through
9 there through 2004, at which point we ran out of shipable
10 inventory and moved into on-site dry storage. And, then, we
11 shipped from Brunswick both United 1 and 2, to the Harris
12 plant beginning in 1989 after the Harris plant went into
13 operation. The pool was replaced and serviced, and we
14 shipped from both of those units through this year.

15 We do own, maintain and operate our own shipping
16 equipment. We own four shipping casks, the Hyatt 300 General
17 Electric original manufactured casks, their capacity of 7 PWR
18 or 17 BWR assemblies per casks. But, we do own eight
19 railcars. We use those--four of those are cask cars and four
20 of them are spacer cars, but we do own two cabooses, which we
21 use for escorts, both the mechanical, radiological and
22 security escorts. We have those set up so we could ship
23 simultaneously from one of the Brunswick units or the
24 Robinson unit. As well as all support equipment for loading
25 and unloading at the sites. So, doing this would appear to

1 be--we use our existing staff procedures, so we have
2 dedicated staff which we use for our loading and unloading,
3 as well as the transportation activities.

4 All of the loading and unloading, we do internally.
5 We do utilize existing mainline track to get between the
6 plants. CSX services our territory, so although we provide
7 all of the rail cars, cask cars, cabooses, et cetera, we do
8 use CSX to provide the engine and the track. So, we have
9 experience working with them in that respect. And, of
10 course, we do have to coordinate all of our shipping
11 activities with the various local, county, state or federal
12 organizations, such as Nuclear Regulatory Commission, et
13 cetera.

14 And, finally, in conclusion, I guess the main point
15 I want to get across is that there is spent fuel
16 transportation experience in the U.S. already. We've been
17 transporting since 1977. It is being done routinely, and
18 safely and effectively, and I think the experience that
19 exists, not just at Progress Energy, but elsewhere in the
20 U.S. as well as around the world, can be brought to bear to
21 provide lessons learned and support DOE in their planning and
22 transportation activities as well.

23 HALSTEAD: Thank you. Let me first acknowledge Dr.
24 Fred Dilger, our GIS expert's input into my presentation on
25 the graphics. I'd like to give you an overview on some of

1 the State of Nevada concerns about the proposed rail
2 construction project.

3 Next slide, please. An overview. The current
4 forums that those issues are being addressed in, overview
5 some of our past recommendations, look at the Caliente rail
6 project itself, and then specifically look at the concerns
7 that Nevada and other parties have raised in the Surface
8 Transportation Board proceeding, and, we'll finally talk
9 about what maybe the next steps are.

10 Next slide, please. Right now, there are three
11 forums where these rail issues have been considered. First,
12 before the U.S. Surface Transportation Board pursuant to
13 DOE's application for a Certificate of Public Convenience and
14 Necessity. Secondly, they will be considered in the Nuclear
15 Regulatory Commission's licensing docket. And, thirdly,
16 there is an ongoing review that we've started of the
17 Department of Energy's final EISs, and, of course, we're
18 waiting for a record of decision that would implement the
19 rail alignment EIS. And, that might quite likely lead to
20 some at least consideration of litigation.

21 Next slide, please. I'm not going to talk in
22 detail about any of these issues. I've discussed them with
23 the Board before, and I'll be happy to answer any questions
24 about them. The State of Nevada has, over the last 15 years,
25 put forward a group of ten recommendations for enhancement of

1 transportation, security and safety, and also to address the
2 specific issues of constructing a rail line in Nevada. And,
3 as I said, I'll be happy to discuss any of those if the Board
4 members have questions.

5 Next slide, please. This is the final alignment
6 for the Caliente Rail Line based on the final EIS. Yes, it's
7 the preferred corridor, and because there is no record of
8 decision, we should not consider it final yet, and it just
9 gives you some sense both of its relationship to Las Vegas
10 where the Union Pacific mainline from Salt Lake City to Los
11 Angeles runs through, and also gives you some sense of the
12 terrain that's covered.

13 Next slide, please. These are the potential truck
14 and rail routes, important to remember that even under the
15 preferred rail scenario, DOE is talking about 10 percent
16 truck shipments. Based on the routing studies that we have
17 done, these seem like reasonable routes to us. We believe
18 these are the most likely cross-country routes that would be
19 used to Caliente with the--these are the directional flow on
20 some of those routes--may or may not be what DOE has laid out
21 in its assumptions in the final EIS. And, remember, these
22 are representative routes that DOE has put forward, and are
23 not considered final by DOE.

24 Next slide, please. Well, I'm certainly not going
25 to read all these criteria, but I want you to see the

1 criteria that Nevada presented to the Department of Energy
2 during EIS scoping in 1995. We said consistently we will not
3 pick the rail route or assist you in picking the rail route,
4 but will give you all of our best advice on how we think you
5 should select it. And, really, what all these criteria mean,
6 taken together, is that we expected DOE to identify three
7 feasible, acceptable, potentially advantageous routes for
8 construction of a new rail spur. That would avoid any
9 shipments through downtown Las Vegas on the existing Union
10 Pacific mainline.

11 And, what DOE has put forward as their preferred
12 choices are, at least for consideration in the EISs, are a
13 Caliente route that involves shipments through Las Vegas, and
14 is technically challenging. A second corridor, the Mina
15 corridor, which is, I think, fair to say less technically
16 challenging, but has some serious institutional problems
17 because it goes across the Walker River Indian Reservation.

18 Looking specifically at the Caliente corridor, next
19 slide, a few views from the corridor to illustrate some of
20 our concerns. The terrain leads to feasibility safety costs
21 and environmental impact issues. There are also some issues
22 of concern to other parties about the limited economic
23 development impacts of the Caliente approach.

24 Next slide, please. A primary concern for the
25 State of Nevada, for Clark County and the City of Las Vegas

1 is the potential for rail shipments through downtown Las
2 Vegas on the existing Union Pacific mainline. DOE says this
3 would be 8 percent of the rail casks. Studies that we have
4 done in 1998 show a maximum of almost 80 percent of the
5 shipments conceivably being routed through Las Vegas if the
6 railroads are allowed to route traffic without any
7 restrictions. And, our own most recent assessment, looking
8 at DOE's strategy for what they call a suite of routes, or
9 multiple cross-country shipment routes, suggests that
10 possibly 40 percent of the rail casks would go through
11 downtown Las Vegas.

12 This is a particularly sensitive issue because
13 within 800 meters of the centerline of the track, we have, as
14 we have summarized here, a large resident population, about
15 95,000, 34 hotels with 49,000 hotel rooms, and possibly
16 40,000 visitors and workers at any hour of the day.
17 Additionally, the sensitive of these issues in Las Vegas
18 would be elevated because DOE's current plan for truck
19 shipment, which depending on whether or not there's a second
20 repository, would be one or two truck shipments per week
21 every week. Those shipments are also currently slated to use
22 I-15, the I-15 beltway, and U.S. 95.

23 Next slide, please. I will be happy to answer any
24 of these issues in detail in response to questions Board
25 members have, but I wanted to summarize for you some, but not

1 all, of the issues that we have raised before the U.S.
2 Surface Transportation Board in response to DOE's CPCN
3 application. In particular, while DOE has chosen the shared
4 use option as their preferred option, our understanding is
5 that they have not made a final decision, or if they have,
6 they haven't announced it, that their record of decision may
7 commit them to this. And, this raises a number of
8 jurisdictional, procedural, and impact assessment issues.

9 In particular, this raises issues about the
10 evaluation of shared use impacts and economic development
11 opportunities. The straightforward NEPA issues yet to be
12 considered would include the radiological, non-radiological
13 impacts, impacts of current users of land, special attention
14 to terrorism and sabotage issues, and the evaluation of the
15 National Rail System impacts.

16 And, there also is an issue, very much parallel to
17 the issue being considered by the Nuclear Regulatory
18 Commission in the licensing docket, as to the extent to which
19 the STB has an independent responsibility to begin its NEPA
20 process from scratch, or whether they would adopt in toto the
21 final EIS developed by the Department of Energy, or whether
22 there will be something in between, where portions of DOE's
23 EIS are used, and other portions of the NEPA analysis are
24 done under their responsibility.

25 Next slide, please. It's important for me to tell

1 you that there are other parties of record who plan to
2 actively participate in the Surface Transportation Board
3 proceeding. They include local governments, the affected
4 counties, the one affected Indian tribe, the Timbisha
5 Shoshone Nation, the individual stakeholders who are property
6 owners and property users along the line. And these issues
7 range from very general issues like the impact of building a
8 railroad through this area on access, to very specific
9 impacts, for example, the impacts on the Heizer Sculpture
10 installation in Garden Valley.

11 There are a range of impact issues related to
12 either the selection of a continuous rail line, or a
13 north/south rail line, which are related issues, but not
14 exactly the same. There are a number of procedural issues
15 about whether there will be a hearing and public
16 participation. And, then, there are a whole range of issues
17 about how impact mitigation will be handled. And, I think an
18 important aspect of the impact litigation issue is not only
19 how mitigation will be directed and ordered, but who will pay
20 for mitigation.

21 Next slide, please. Next steps, actually there
22 could be another preliminary step under the STB finance
23 docket. Typically, the STB breaks this question into first,
24 a determination of public convenience and necessity, and then
25 if they make that finding, they proceed to a NEPA review.

1 There is one party that has challenged the public convenience
2 and necessity finding, and the State of Nevada may well do
3 that. I expect most of the action at the STB to involve the
4 NEPA process, and potential litigation over some of the
5 procedural issues involving the STB's acceptance of the
6 application.

7 In the NRC licensing docket, it's early to say
8 exactly what will emerge in the way of licensing contentions.
9 There was a very fine information meeting carried out by a
10 half a dozen different NRC licensing experts last night in
11 Amargosa Valley, a briefing for the affected public in Nye
12 County and the Town of Amargosa Valley. And, we were pleased
13 that the NRC presentations on the specific issue of the rail
14 line followed the same way that we have analyzed this, which
15 is to look at the specific portions of the rail alignment EIS
16 that are adopted by reference into the supplemental EIS for
17 the repository. So, a number of these rail line issues will
18 now be germane to the licensing docket, but they may be there
19 more as NEPA issues than as issues related to the safety
20 analysis report.

21 Finally, depending on what happens with the record
22 of decision, I think there is certainly a potential for some
23 litigation over the final EIS.

24 I thank you. I'm sorry I have gone over my time
25 limit, and I will be happy to answer any questions.

1 ABKOWITZ: Thank you, Gary, Steve and Bob. We'll open
2 it up for Board questions. And, I'd also like to invite Bob
3 Fronczak from the AAR to position himself fairly close to the
4 public microphone here, because I'm sure there will be some
5 railroad questions that he may want to weigh in on.

6 I guess I will start out, and then we can have some
7 other members here join me. The first question I have is for
8 Gary, and it comes down to this issue of the record of
9 decision. Is there an anticipated date for issuance of that
10 ROD?

11 LANTHRUM: I believe the ROD is imminent. One of the
12 things that we were waiting for was we had not received the
13 biological opinion from the Fish and Wildlife Service yet,
14 and that was a piece of information we needed to close all of
15 our external agency reviews. We received that the end of
16 last week, and, so, the ROD should be coming out very
17 shortly.

18 ABKOWITZ: Okay, thank you. The second question, also
19 for you, Gary, is, and I know that I've asked this question
20 and you've answered it before, but I feel compelled to ask it
21 again.

22 LANTHRUM: You didn't like my last answer?

23 ABKOWITZ: No, I just want to make sure it's still the
24 same answer. We've talked before about the TAD design and
25 the weight of the TAD being such that you need to basically

1 ship it by rail to get to the Yucca Mountain site. So, I
2 think I've asked you in the past is basically the repository
3 system contingent on having rail service in Nevada, and if
4 there's any other contingency planning going on should that
5 rail line be severely delayed in its construction, or never
6 exist?

7 LANTHRUM: Well, as the EIS, the repository Supplemental
8 Environmental Impact Statement indicates, even under the
9 mostly rail scenario, there will be truck shipments. And,
10 the repository will be handling both rail casks and truck
11 casks. Absent rail in Nevada, TADs will not be shipped in
12 Nevada. There is no backup plan for getting rail sized casks
13 from a rail head in Nevada to the repository. We are
14 focusing on rail as a key element in the ability to get the
15 repository to operate as designed.

16 ABKOWITZ: So, if I follow that logic, if for some
17 reason the repository opened and the rail line didn't exist,
18 or it just ended up being taken off the table, then all spent
19 fuel shipments coming into the repository would be in some
20 containers other than TADs, and, so, consequently, that would
21 have ramifications on modal share, number of shipments, and
22 even processing at the surface facility; is that a reasonable
23 conclusion?

24 LANTHRUM: In the past, you have indicated a desire for
25 doing systems analysis, and transportation is part of the

1 repository system. And, if it looks like one portion of that
2 system is lagging, the funding for the system as a whole will
3 be adjusted so that the system is ready to operate as a
4 system on day one. I do not see a scenario where the
5 repository would be nearing completion and we would be way
6 behind in rail. We will build an operating repository
7 system, which includes rail.

8 ABKOWITZ: Okay. I'm going to suspend my other
9 questions for the moment, and give other Board members a
10 chance to participate. We'll have Ron, and then Andy.

11 LATANISION: Latanision, Board.

12 Steve, I'd like to hear from you in terms of some
13 of the lessons learned, given the experience that you folks
14 have had. And, in particular, have you had interactions with
15 the public? Have there been regulatory issues that were
16 troublesome that were overcome? Have there been litigations
17 that were filed that had to be dealt with? What's been the
18 history in terms of lessons learned with your firm?

19 EDWARDS: We have generally involved the elected
20 officials primarily in our communication. So, we had a lot
21 of meetings with city, county, local officials along the
22 route. We have had some which involved public, particularly
23 news outlets in some. But, we have focused primarily on the
24 elected officials in the past in those kind of
25 communications.

1 In terms of lessons learned, I would say that
2 definitely making the public aware of what's going on is
3 something that I think is important. Spent fuel shipping is
4 a safeguards activity, so the date and time of shipments
5 occurring is something that by NRC regulation you're not
6 allowed to share with the public. So, that's kind of where
7 we draw the line. We feel that people need to be aware of
8 the situation, but in terms of any specific activities, we do
9 keep that very, very closely held information.

10 In terms of litigation, we have not been involved
11 in any specific litigation on the shipping activities. We
12 have had other litigation within our nuclear fleet that has
13 at least involved peripherally some of the shipping
14 activities. But, nothing that directly involved the shipping
15 program itself.

16 LATANISION: Was the communication with the public one
17 that you would describe as being smooth? Were there hiccups
18 in the conversation? What was the nature of that?

19 EDWARDS: I would say it's kind of a combination of
20 both. We have definitely run across groups of individuals
21 that did not favor transportation. And, in particular, we
22 had, some that we had perhaps not anticipated initially
23 coming in, was some of the community versus community,
24 basically the shipping community versus the receiving
25 community. The Harris plant has at least since 1989 been the

1 receiving plant for all our shipments. So, obviously, the
2 people, when you meet with the citizens, the people near the
3 Robinson and Brunswick plants are much more in favor of it
4 than you would get at the Harris plant.

5 But, I would say by and large, we've had favorable
6 response, even from around the Harris community, but there
7 have been definitely groups that have been both opposed to
8 the operation of the Harris plant, and those same people
9 typically are opposed to the transportation as well.

10 LATANISION: Thank you.

11 ABKOWITZ: Andy?

12 KADAK: Again, Steve, just to follow up on that. How
13 many miles is it that you're shipping this stuff by train?

14 EDWARDS: Our routes are typically around 200 miles per
15 shipment.

16 KADAK: So, this is not an insignificant shipment?

17 EDWARDS: It's not an insignificant shipment, and it
18 does involve, just because of the nature of the track, it
19 does involve crew changes. We go through some U.S. Army
20 track coming out of Brunswick, as well as the way, we go
21 through Hamlet, North Carolina for Robinson and Brunswick,
22 and both of those, because of the way CSX is set up, do
23 require crew changes at both of those. Going from Robinson
24 to Harris does involve going from South Carolina to North
25 Carolina, so we do have to get involved in transfer of

1 ownership from the escort perspective from South Carolina to
2 North Carolina. So, we had, I believe, some of the issues
3 that you would face on the shipments to the permanent
4 repository on a smaller scale, and we've had to deal with
5 those.

6 KADAK: But, practically speaking, you know, you don't
7 see a major challenge in doing this as a mode of
8 transportation to, say, Yucca Mountain, with the possible
9 exception of the State of Nevada, where there is some
10 controversy?

11 EDWARDS: I mean, any time you're moving over rail over
12 several thousand miles, you're changing states, you're
13 changing railroads, it's a complicated movement, but it's not
14 one that--it can definitely be done. It's going to require a
15 lot of coordinated effort. But, it has been done and can be
16 done.

17 KADAK: Let me ask Bob a quick question. In terms of
18 the Mina route, you seem to suggest that it's in your mind
19 has less challenges, I think was the word you used, and it
20 may in fact be preferred in your eyes. What do you think can
21 be done to overcome the obstacles that might lead to approval
22 of that route from the stakeholders?

23 HALSTEAD: Well, first of all, Andy, the State doesn't
24 have a preference for any route, and, so, I can't say there's
25 a preference for Mina. But, DOE's studies I think generally

1 have come to the conclusion that we have come to, that if you
2 look at the terrain, you look at the construction impacts,
3 and particularly look at the impacts on the current users of
4 land, DOE's own analysis looking at those issues all found
5 that from those perspectives, Mina would be the preferred
6 corridor. The sticking point, of course, is--and I would say
7 there are two sticking points. One sticking point is the
8 institutional issue of Indian nation sovereignty and dealing
9 with the Walker River Piute Tribe.

10 I think there is also a related issue, which has to
11 do with the specific proposal for the Mina route that has
12 emerged in DOE's environmental documents, which is in short,
13 relocation of a large portion of the existing rail line on
14 the Walker River Reservation. And, that involves some
15 significant challenges, a large bridge across the Walker
16 River, crossing a river that has endangered fish in it,
17 building bridges in areas where the soil conditions will be
18 challenging for bridge supports. And, even on an Indian
19 reservation, with the support of the tribal governments, I
20 think there are likely to be some challenges with
21 archeological and religious sites in the route.

22 So, I think one issue is the Indian nation
23 sovereignty issue itself. And, then, related to that is the
24 issue of how you come across. And, all the previous analyses
25 of the Mina route either assumed that the existing track bed

1 would be used and upgraded, or that the reservation would be
2 avoided. And, in DOE's analysis, they have chosen neither of
3 those options. They have chosen to go across the reservation
4 in a very challenging way.

5 So, while I'm not trying to dodge the question,
6 because I don't want to take a position of telling you how I
7 think the State would proceed with this, because that's not
8 our policy, I think the past studies that DOE did in the late
9 Eighties and early Nineties culminating in their 1990
10 identification of preliminary routes, still suggests a number
11 of the options that ought to be considered. And, they go
12 back to the scoping advice we gave them in 1995. Pick a
13 route that's feasible from an engineering standpoint,
14 minimizes adverse construction and operation impacts. To the
15 extent that there are economic benefits, and some of the
16 economic benefits, by the way, are a two-edged sword. If you
17 build a line as a common carrier and a utility company comes
18 in with a proposal to run dedicated trains to haul coal to
19 2000 megawatts of new installed coal fired capacity, that's
20 part of your impact issue.

21 But, I think all of those things have not been
22 evaluated properly, and there are parties, and some of them
23 may wish to speak to you during the comment part,
24 particularly the northern counties, who believe that a
25 north/south corridor--let me correct that. There are really,

1 I think, three points of view out there. One is that there
2 should be a northern railway. There's, secondly, an opinion
3 there should be a northern railway combined with a southern
4 railway. And, then, there's also an opinion that if the
5 Caliente route is built, it should be a continuous route that
6 would have a connection through the southwest portion of the
7 state. And, I think the people who are advocating those are
8 the appropriate parties to tell you about that.

9 KADAK: Could I follow up with Gary on why that DOE
10 chose neither of the recommendations, namely, why not use the
11 existing rail bed?

12 LANTHRUM: Actually, Lanthrum, Panel. Actually, we
13 looked very closely at the range of options we had, and, in
14 fact, Mina was not on the table because in 19, I believe it
15 was 89, the tribe wrote a letter to the Department that said
16 basically, don't even think about making shipments across our
17 reservation, because we're never going to approve them.
18 There's a lengthy history. The track that's going across the
19 reservation was built by Southern Pacific, but it was built
20 without a right-of-way from the tribe. And, unique as far as
21 I know in the railroad industry, everywhere else where
22 railroad runs, the railroad owns the land under the track.
23 The tribe sued and they wound up winning their case, and, so,
24 it turned out that they, in fact, did own the land under the
25 track, and based on that, Union Pacific pulled up the track

1 from Hawthorne on down to Gold Field, and abandoned it.

2 The court required the tribe to work in
3 collaboration and grandfather the Hawthorne Army Depot and
4 let the track continue to be used for shipments to the
5 Hawthorne depot until I believe it's 2030, when that right-
6 of-way agreement will expire.

7 Prior to publishing what was going to be a draft
8 EIS back in the 2006 time frame, late '05, early '06 time
9 frame, I made one last visit to the reservation myself, and
10 talked to the tribal counsel and said you told us to stay
11 away, we've stayed away. We are about ready to publish a
12 draft EIS that only looks at the Caliente corridor. Are
13 there any conditions under which you would reconsider? And,
14 you have to understand that the right-of-way that they have
15 with the Army for shipments to the Hawthorne Depot,
16 specifically exclude shipments of spent nuclear fuel, and
17 they also specifically exclude any common carried shipments.
18 That means no shipments of anything going anywhere other than
19 the depot for depot work is allowed across the reservation.

20 And, in that conversation, they said no, we really
21 don't want shipments going across our reservation. And, I
22 said are you concerned, because right now, the rail line goes
23 right through the small town that they inhabit. It's a very
24 small town, and the rail line actually divides the school and
25 the old folks home and the community center from the fire

1 station. And, they have about 15 trains a year run through
2 there right now. They are about 110 car trains, but it's not
3 a lot of traffic. And, one of their issues was they didn't
4 want more stuff coming through the heart of their downtown,
5 and bisecting the town again. They've got a very, very slow
6 speed restriction. I believe it's 15 miles an hour through
7 the center of the reservation. And, I said if we were
8 willing to move the track, if that was one of the things that
9 we would consider, would you change your minds. And, they
10 said you'd do that? I said we'll study it. No promises, but
11 we would study the possibility of moving the track so both
12 the Army shipments and the DOE shipments would avoid going
13 right through the center of your town and dividing the
14 community, and the little town of Schurz. And, they said
15 okay, we will join you as a cooperating agency in your EIS
16 and we'll study it.

17 That went will until we had completed the technical
18 data collection. About that time, the tribe was going
19 through elections again and changing tribal council, and they
20 changed their views again and said you know, we don't really
21 care, even if you do move the track, we're still not
22 interested in any shipments across the reservation. And,
23 they withdrew as a cooperating agency from the EIS. And, at
24 that point, it became clear that we had no path forward, and,
25 so, we withdrew detailed work. We did publish the technical

1 information that we had collected to date, and it's in the
2 EIS. We saved all the information that was produced as part
3 of that effort because it's good for the public record. I
4 think overall, there's lots of good information that was
5 developed. But, the tribe is in absolute control in this
6 position, and whether we use existing track or move the track
7 didn't seem to make any difference in terms of their level of
8 support for shipments across reservation lands.

9 The environmental advantage or benefit of the rail
10 line was largely, it would 100 miles shorter than the
11 Caliente corridor if you use the existing track. If we made
12 a detour around the community of Schurz, you lose some of
13 that benefit because you're adding additional track rather
14 than just starting at the Hawthorne Depot and building from
15 that point down. If you avoid the reservation altogether and
16 go through the very challenging terrain that surrounds the
17 reservation, it's--the reservation is in a lovely river
18 valley between a bunch of mountain ranges, and the mountain
19 ranges on either side are very complex terrain. And if you
20 get into looking at avoiding the reservation altogether and
21 trying to construct a north/south route, you've essentially
22 gone back to the same length of distance that you had with
23 Caliente, and in many cases, much more challenging terrain,
24 particularly in the northern area.

25 KADAK: Thank you.

1 ABKOWITZ: Okay, we've got Thure and then John and then
2 David.

3 CERLING: Cerling, Board.

4 Bob, I was just wondering how the State of Nevada
5 was using the experience that industry has in shipping regard
6 to waste, Progress Energy, and so on, is there a lot of
7 dialogue and information flow between the groups that have
8 shipped nuclear waste, and in your group, or I'd just like to
9 know the status of that. And then, how you use that
10 information in your analysis?

11 HALSTEAD: Can we put up Slide Number 4, please? I
12 believe it's 4, the listing of recommendations.

13 I have to say the obvious, because the State of
14 Nevada opposing the repository project, and we'll take that
15 position in licensing. On the transportation side, with the
16 proviso that we will not pick the rail route, our response to
17 the Department of Energy, the other federal agencies, the
18 industry advisory groups, and so forth, has been quite
19 different. We have participated in all the forums that are
20 available for a coordinated and shared approach to issues.
21 You know, I think it's no small matter that we have been on
22 record, for example, recommending mostly rail as the best, or
23 least bad way, to plan the transportation system. And, we
24 have participated in a number of very specific tasks, like
25 developing the emergency response and accident prevention

1 programs that the Department of Energy has worked on, and
2 we're in communication with all of the correct parties.

3 I think there are some new issues I think that are
4 emerging, particularly regarding the TAD canister system.
5 The TAD canister system seems to us to close off the mostly
6 truck option, and we're not sure that either as a matter of
7 logic or compliance with the NEPA expectations for
8 development of alternative plans, and no action alternative
9 is relative to the rail road, that DOE ought not to be
10 thinking about some of those other issues. But, you know,
11 basically, we've put forward the ten issues that we think
12 address our safety and security concerns.

13 One that doesn't appear on this slide. We have
14 added greater attention to human factors management, an issue
15 that we raised 20 years ago, that the Department of Energy
16 responded to in the early Nineties. Then, when their budget
17 was cut, their human factors program was terminated. Many
18 people remember this was a big issue with Professor Price
19 from Virginia Tech when he was a member of the Board, and,
20 now in looking at the way the Federal Railroad Administration
21 has highlighted human factors as a safety issue.

22 So, I would say I think that we're in close
23 communication with the relevant federal agencies, and
24 certainly with the Association of American Railroads
25 collectively. We don't deal with either specific utilities

1 or specific rail carriers.

2 There are three probably critical issues there for
3 us. Shipping the oldest fuel first to reduce radiological
4 hazards, using dedicated trains, and full scale cask testing.
5 There are some technical complications with oldest fuel
6 first, because of the TAD proposal. There is some
7 uncertainty about what DOE means by its commitment to
8 dedicated trains. If you look at the recent filings, you
9 know, DOE's lawyers are not always comfortable with the
10 things that the Department has put forward in its planning.
11 And, on the issue of full scale cask testing, there's some
12 real division yet between Nevada's expectations and the way
13 the Nuclear Regulatory Commission is moving with the package
14 performance study. But, as I read the vote sheets that the
15 Commissioners fill out to explain how they voted, I see in
16 fact a potential for significant agreement between Nevada and
17 the NRC, where the NRC picks that issue up.

18 So, I would argue that in fact there's been
19 enormous success in defining the issues, and some limited
20 success in resolving some of those issues. Right now, the
21 rail access issue, and some of the routing issues that
22 external parties, particularly the Department of Homeland
23 Security and the pipeline and hazardous materials
24 transportation authorities at DOT have some new routing
25 guidelines that deal with shipments through highly populated

1 areas, and what are called iconet areas, for example, the Las
2 Vegas strip, or certain areas in Chicago. So, I don't at all
3 mean to say that there aren't some significant issues to be
4 resolved, but our approach has been to try to identify those
5 issues and in every area where we have a concern, we've put
6 forward what we believe is a reasonable resolution.

7 Obviously, the recommendations we've made will
8 enhance costs. And, I notice today, no one yet has raised
9 the issue of the new lifecycle cost estimates. And, in the
10 past, we've estimated the cost of the transportation program
11 somewhere in the range of about \$8 to \$10 billion for a \$60
12 billion repository, and we recently reexamined those costs
13 and we think they're probably in the \$16 billion plus or
14 minus a couple billion dollars. There was a time when a
15 billion dollars meant a lot in Washington. I'm not sure it's
16 the case anymore.

17 But, the things that we're recommending, for
18 example, the kind of cask testing program we want, I think
19 even if a Cadillac approach to cask testing is done, it adds
20 maybe \$70 million to the transportation lifecycle cost, and
21 that seems like a very reasonable expenditure to us, given
22 both the safety issues, but also given the public perception
23 of risk.

24 I'm sorry for the long answer, but this summarizes
25 really a lot of interaction, and I have to say the Department

1 of Energy through the transportation external coordination
2 group has provided a forum to address these issues, not just
3 with Nevada, but with all the other stakeholders, and the
4 utilities and the railroads participate in that.

5 ABKOWITZ: Okay, John?

6 GARRICK: Garrick, Board.

7 Gary, you indicated, I think, that the construction
8 period for the Nevada Rail Line was around five years that
9 you estimated. Is that just construction only?

10 LANTHRUM: Five to ten years. That's construction only,
11 yes. And, the five to ten year range was analyzed in our
12 EIS, and the range was dependent on what the annual funding
13 flow was.

14 GARRICK: Okay. So, if you add to that the planning and
15 the permitting and the designing, is it still in the five to
16 ten year range?

17 LANTHRUM: For actual construction, yes, because we're
18 not anticipating to start construction until 2013 at this
19 point. So, the planning and designing work can go on between
20 now and that point. We can start construction in 2013,
21 complete construction in late 2018, and we would have some
22 period of time to do dry runs and other exercises before
23 starting actual operations for repository shipments.

24 GARRICK: Okay. Robert, I think you've almost answered
25 the one question that I had. But, from your perspective, and

1 given that the State is against the project, what do you
2 consider to be the two or three most serious issues or
3 obstacles to the Nevada Rail Line?

4 HALSTEAD: Well, let me start by highlighting those
5 three general issues, oldest fuel first, dedicated trains,
6 and full scale cask testing, which are more likely to be
7 resolved either between the Department and the stakeholders,
8 or with the NRC. And, then, obviously, there is the actual
9 selection and construction of the rail lines.

10 I think if I were to try and share with you a
11 national perspective, we had an interesting discussion of
12 this at the ANS, the American Nuclear Society summit meeting
13 this year. Jim Hardeman, who many people know as the
14 radiation control officer for the State of Georgia, has a
15 background in the industry, was on a panel with Alex Throer
16 (phonetic) representing Gary, and Marvin Resnikov and myself,
17 and after our presentations, Jim Hardeman got up and said
18 well, I don't want to shock you, but, you know, I agree with
19 about 90 percent of the things that the State of Nevada has
20 said. And, those were mostly things related to things like
21 the Section 180(c) rulemaking to provide emergency response
22 training, to do route specific and location specific response
23 planning, that pay more attention to accident prevention than
24 human factors.

25 So, I think if we look nationally at the issue,

1 obviously, shipments through urban areas are going to--have
2 always really been a major issue because of the location of
3 the interchange yards, and now in the post-911 environment
4 and the greater consideration of terrorism and security
5 issues, that's certainly taken to another level.

6 So, I guess I'd have to say route is still a very
7 important issue nationally, but the accident prevention and
8 emergency response preparation, and specifically the funding
9 and the mechanisms for funding to the states, the extent to
10 which the states will be required to pass through funding to
11 local governments. We haven't talked much about the critical
12 role of local governments, and certainly in emergency
13 response, that's an issue that hasn't been worked out. And,
14 I think that's where, if I were looking at the national
15 issues, I would look at the emergency response planning and
16 the routing.

17 GARRICK: Steve, has your experience included both
18 regular and dedicated trains?

19 EDWARDS: We ship exclusively by dedicated train.

20 GARRICK: Did you consider the other--

21 EDWARDS: Not very much. From our, we would strongly
22 agree with what Bob said. I think dedicated train is the
23 right way to go for a shipment like this, just because you've
24 got, you're going from one point to another, you're going
25 directly, you don't have to worry about other cars going to

1 other locations, et cetera. And, so, from our perspective,
2 from the planning, because we do provide a number of escorts
3 both on the train as well as accompanying the train, getting
4 there from Point A to Point B as directly and quickly as
5 possible is very important. So, from our perspective, a
6 dedicated train is the right way to go.

7 GARRICK: Now, are the dedicated train requirements
8 pretty much the same that they've always been in terms of
9 speed and passing rules, and what have you?

10 EDWARDS: For us, in the past, there have been certain
11 speed restrictions, such as 35 miles per hour, 45 miles per
12 hour. In recent years, it has basically been dictated by the
13 track and the track conditions. So, there's no set speed
14 limit. For every shipment we look at every portion of the
15 track, and work with CSX in terms of what speed is allowed
16 during that, or on that piece of track for that specific
17 shipment.

18 GARRICK: How about passing?

19 EDWARDS: Generally, our view is that the dedicated
20 train, particularly one carrying spent nuclear fuel, should
21 have priority, and we would ask CSX in our case to hold other
22 trains where possible. There are conditions where we do side
23 rail, if there's a large train coming through, or they may do
24 the same, or we may wait at a particular exchange yard for
25 another train to come through. So, it really depends on

1 track and conditions, and looking ahead a number of blocks,
2 but we do try to coordinate the timing of the shipments to
3 minimize any other traffic that may be on the rail. And, if
4 we need to, stop at a particular, there are a lot of
5 restrictions in terms of where you should stop from a
6 security perspective, so we try to arrange those. So, like I
7 said, if we do have to stop for traffic to let other trains
8 through, we do that at a rail yard, or some exchange yard,
9 something like that.

10 GARRICK: And, you don't let your train operators do
11 text messaging?

12 EDWARDS: That's correct.

13 GARRICK: Okay.

14 ABKOWITZ: David?

15 DUQUETTE: I'd like to encourage, by the way, when
16 someone asks a question of the Panel, if you have some other
17 information you'd like to add, please do that as we go along.

18 LANTHRUM: Can I jump in there then very quickly?

19 DUQUETTE: Yes.

20 LANTHRUM: There are speed restrictions for spent
21 nuclear fuel trains, even on the best of track. About 50
22 miles an hour is going to be the speed restriction overall,
23 no matter if it's Class 6 track, which is the best there is.
24 There's another restriction that was put in place by the FRA
25 dealing with the tunnel fire concerns after the Baltimore

1 tunnel fire and others. There is a passing restriction so
2 that trains carrying other hazardous commodities cannot pass
3 a spent fuel train in tunnels.

4 GARRICK: But, there doesn't seem to be a national
5 specification for a dedicated train. It seems that it
6 depends on the track. It depends on the rail.

7 LANTHRUM: Well, dedicated train is not a--it's not
8 unique in the way that you operate a dedicated train. It's
9 just a train with only one commodity on it. That's what
10 distinguishes it. You're not carrying multiple commodities
11 on the train and multiple cars. The speed restrictions are
12 based on what the content is that you're carrying, and even
13 if we were not in a dedicated train, even if we were in
14 common carriage, those same speed restrictions would apply
15 because spent fuel would be on that train. And, so, the
16 operating standards are not for dedicated train versus non-
17 dedicated. The operating standards are for what is being
18 transported.

19 The dedicated train, mostly what that buys you is
20 operational flexibility because when the cars come into a
21 classification yard, you don't break all those cars up and
22 shuffle them and move them onto different trains. They stay
23 connected, and there's a huge advantage in that, and it
24 speeds the time to get through the classification yards
25 because you're not doing that car sorting. I think the

1 average turnaround time in a classification yard now for a
2 regular train is about 72 hours. It's much, much shorter,
3 all you do is come in and change crews and refuel, and you
4 can be on your way with a dedicated train. So, it's a lot of
5 operational flexibility that provides you, not so much that
6 there are different requirements for what your operating
7 conditions are going to be for dedicated versus not dedicated
8 trains.

9 HALSTEAD: If I could add to that? It's certainly, I
10 think, a general agreement between the people in Gary's shop
11 and the railroads and the utilities, State of Nevada and the
12 other stakeholders, and particularly the really experienced
13 ones, for example, in the State of Illinois, where they've
14 actually got a very rigorous inspection program, that
15 dedicated trains are the only way this material should be
16 shipped.

17 An interesting part of the proceeding before the
18 Service Transportation Board has occurred, however, because
19 the CSX Railroad filed a motion that the STB should require
20 the use of dedicated trains. And, in DOE's response, they,
21 of course, said well, no, we don't think that they should be
22 required. And, then the CSX Railroad has taken the somewhat
23 unusual action of filing a reply to a reply, which is not
24 normally accepted at the STB, and we're not sure if their
25 filing will be accepted, but they have then raised the issue

1 that in fact if DOE plans to use dedicated trains, they
2 shouldn't have a concern about the request to have them
3 required.

4 Hopefully, that's going to be resolved in favor of
5 dedicated trains, because that's probably been the highest
6 single visibility issue in spent fuel transport by rail for
7 the last 30 years. And, Mr. Fronczak may have something to
8 say about that.

9 ABKOWITZ: Please do. A point of clarification needs to
10 be made. Just introduce yourself, if you would, Bob, for the
11 record.

12 FRONCZAK: Yeah, Bob Fronczak with the Association of
13 American Railroads. And, it's not something you said, Bob,
14 it was something Gary said earlier about the tunnel. AAR,
15 you know, incorporated a no passing rule in tunnels in our
16 OP-55, which is our operating practices, recommended
17 operating practices for hazardous material transportation, it
18 was an FRA. But, otherwise, you did get it right, Gary, it
19 is AAR's 50 mile an hour speed restriction.

20 ABKOWITZ: Bob, while you're up there, David, I know you
21 have the floor here, but, so do I. I'd like to explore a
22 little bit more the contract services that you'd be providing
23 as the carrier of spent nuclear fuel shipments. Does the
24 railroad reserve the right to pick the route, even if there's
25 an agreement up front that it would be desirable to use a

1 certain route, such as going through Caliente, doesn't the
2 railroad reserve the right to reroute under unusual
3 circumstances, in which case you cannot guarantee that there
4 would never be a shipment through Las Vegas, for example?

5 FRONCZAK: Well, I said this in the past, and the
6 railroads will do anything for a price, and if, you know, the
7 shipper wants us to move it halfway around the world and
8 back, you know, we'll do it for the right price. I think
9 what we will normally do is work with the shipper and try to
10 work out the most reasonable route, and generally speaking,
11 the most reasonable route is the most direct route. Our best
12 track tends to be through major metropolitan areas. We
13 generally do not have bypasses around metropolitan areas.
14 But, again, we are flexible. We will work with the shipper
15 and do what makes the most sense.

16 LANTHRUM: There is a new deal, a T-rule, though, that
17 places a different role for the railroads in terms of
18 routing. They have to do an annual safety and security
19 review of track, and then within the track that meets the
20 requirements for safety and security, there could be
21 discussions about routing options for the stuff that falls
22 out of that process.

23 EDWARDS: And, this is Steve Edwards. I would add to
24 that as well. At least for the shipments we have, we have
25 NRC approved routes, and, so, we are not allowed to deviate

1 from an NRC approved route. So, if for some reason weather,
2 track blockage, or whatever, we could not gather the approved
3 route, we would have to get prior approval from the NRC to
4 deviate from that route.

5 ABKOWITZ: Okay, thank you. David, did you have a
6 question? If you remember the question--

7 DUQUETTE: I don't remember my name at this point. I'm
8 going to start with Steve. Steve at a previous set of Board
9 hearings, Board meetings, we heard some pretty elaborate
10 security type things on some of these shipments. There were
11 going to be dedicated cabooses with machine guns, and a whole
12 bunch of other stuff. Do you require security on your--
13 either security or armed security on your shipments?

14 EDWARDS: We do require security. We do require armed
15 security, and there are certain regulations that depending on
16 the transportation area you're traveling through, the NRC
17 regulations do require certain armed security and a certain
18 number of escorts. But, we do use armed escorts, and we
19 generally work with the states, in our case North Carolina
20 and South Carolina, for local law enforcement support.

21 DUQUETTE: So, it's local law enforcement. It's not
22 your employees who provide the security?

23 EDWARDS: That's correct. What we found in looking at
24 that, you do get into certain deadly force issues that's best
25 dealt with by local law enforcement and not by regulated

1 utilities.

2 DUQUETTE: And, a very quick question. Have you had any
3 push-back at all from CSX employees about moving this stuff?

4 EDWARDS: No, we have not. Generally, the only push-
5 back we've gotten from them were when the NRC regulations
6 related to fingerprinting, background searches with the FBI,
7 that sort of thing, we have gotten push-backs. So, that was
8 not directly to us about moving it, but to the NRC about
9 background searches. But, from our perspective, they have
10 certain rules for how they assign crews to certain routes,
11 and we've never had any issues with that.

12 DUQUETTE: Okay. Bob, a couple of questions for you,
13 one of which is trivial, but I'll ask it anyway. But, at a
14 hearing we had up near Caliente, in fact, I think it was in
15 Caliente, there was a lot of push-back from some of the
16 ranchers who are affected by the train coming through. One
17 of those is whether or not cows would cross tracks or not. I
18 still don't have an answer to that question, as to whether
19 they will or not. But, are you getting much in the way of
20 communication from the ranchers who would be on the Caliente
21 route? And, that really goes to both Gary and to you. You
22 know, we're going out of our way to avoid Indian reservations
23 because of national issues with the Indian nations. But, how
24 about our own citizens?

25 HALSTEAD: Well, let me say in general, everybody whose

1 grazing allotment is affected, is traversed by the land,
2 feels they will be somewhat adversely impacted. The degree
3 to which the individual permittees feel that their operations
4 will be affected ranges from minor inconvenience to people
5 who fear that their entire operation will have to be
6 radically changed, or that perhaps it can't operate the way
7 it has. So, there's a considerable range in these impacts.

8 If we were to talk about a couple of specific
9 operations that are owned by people who have spoken to the
10 Board, for example, the sheep and cattle operation that the
11 Uhalde family operates, primarily in Garden and somewhat in
12 Coal Valley, they both herd cattle and sheep, and they also
13 move them in trucks at different times of the year. And,
14 there simply is no way to build a railroad across the grazing
15 areas that won't significant impact their operations.

16 Maybe the most extreme example of an adverse impact
17 is in Reville Valley where the Fallini (phonetic) family
18 operates the Twin Springs Ranch. And, there you have,
19 frankly, a quite unusual operation. It's probably the
20 largest single family operated ranching operation left in the
21 country. The grazing area is about the size of the State of
22 Rhode Island, about 1000 square miles, and primarily, they
23 have a north/south running valley, Reveille Valley, where
24 it's a run of the valley operation. They move cattle all the
25 way around it, and there really is not a very practical way,

1 I think, although we have looked at alternatives, and DOE
2 looked at alternatives to avoid Reveille Valley. So, if you
3 laterally bisect that grazing allotment, and you further
4 separate the water resources on the western side of the
5 valley from grazing areas on the eastern side. And, we just
6 got the detail engineering plans and vertical profiles, so we
7 haven't really looked at the top of rail elevation relative
8 to the surrounding line, but that's an important issue in
9 looking at impacts on specific areas.

10 You know, if the rail bed is 18 inches, well, maybe
11 you'll be able to herd cattle against it, and maybe you
12 won't. But, certainly, if it's four, five or six feet, which
13 it may be in many parts of Reveille Valley, then you're
14 talking about underpasses and severe complications. So, the
15 short answer is some ranching operations are going to be very
16 severely impacted, and the impacts may in fact be so great
17 that they really can't be mitigated. You may actually have
18 compensation or a buy-out of certain operations. But, on the
19 other hand, there may be some areas where relatively easy
20 straightforward mitigation measures will suffice.

21 LANTHRUM: The same question. I'm fortunate that Ned
22 Larson is the federal project director for the Nevada Rail
23 Line. He grew up on a ranch, and they had cattle that
24 crossed railroad tracks all the time. I did not grow up on a
25 ranch, but I do have a motorcycle and I've ridden my

1 motorcycle a lot of open range country in Wyoming and
2 Arizona, and I almost had an accident in Wyoming with cattle
3 running across a railroad crossing in open range country, and
4 out onto the road. And, fortunately, I had anti-lock brakes
5 on my bike, and, so, I didn't hit the cow, because when a
6 train hits the cow, the train usually survives. If a
7 motorcycle hits a cow, it's a bad deal for the motorcyclist.

8 We believe that cattle will cross railroads, but
9 in addition to that, we're willing to do a number of
10 mitigating activities that will be part of the mitigation
11 action plan that we will enter into if in fact we make a
12 decision to move forward with one of our alignment options,
13 and it would include things like underpasses for cattle if in
14 fact the elevation of the rail line above the surrounding
15 terrain became more complicated. There are a number of other
16 things that we would be willing to do, and there are things
17 that we believe that we can do during the construction
18 process to get the cattle more comfortable with the fact that
19 there's activity out there, and to encourage them to move
20 back and forth. And, so, there's a whole range of activities
21 that we're willing to undertake, in addition to the fact that
22 cattle will cross railroad crossings.

23 DUQUETTE: Bob gave us a number for what he thought this
24 was going to cost. Why don't you give me your number?

25 LANTHRUM: Well, we have an analysis in the EIS, and our

1 integrated baseline was submitted to Congress in the spring
2 of 2007. Depending on what year dollars you use, the
3 original analysis that was done back in the early Nineties
4 had a number of around \$880 million, but that was with early
5 Nineties dollars. Obviously, things have gotten more
6 expensive over time. We have a number out there that's in
7 the \$2.4 billion range, and that has escalated up to 2008
8 dollars. And, then, there's a number that talks about \$3.2
9 billion, and that number is looking at year of execution
10 costs, where the construction doesn't start until 2013 and
11 possibly ends in 2018.

12 And, so, depending on what year dollars you're
13 talking about, with inflation, the numbers are going to
14 change. It's about \$2.4 billion in 2008 dollars, and it goes
15 up more if you look at year of execution costs.

16 DUQUETTE: But, it's not the 16 billion that Bob quoted?

17 LANTHRUM: Well, he was talking about the lifetime, the
18 whole program, transportation to buy the casks, buy the
19 railcars, to operate the system, and right now, since we have
20 not come anywhere near doing operating contracts, I couldn't
21 begin to tell you what the total lifecycle costs are going to
22 be. There is a number that's in the total lifecycle cost
23 analysis that's submitted to Congress, and off the top of my
24 head, I couldn't tell you what that is. But, that makes a
25 number of guesstimates about what operating costs and other

1 things are going to be.

2 DUQUETTE: Thank you.

3 ABKOWITZ: Okay, Andy and then Thure and then Ali, and I
4 guess we're just not going to have lunch today.

5 KADAK: It's just a question for maybe Gary and the
6 gentleman from the Railroad Association.

7 At one of our last meetings, we had a lot of
8 discussion about the interstate agreements when a rail
9 shipment crosses a state line, and how much inspection has to
10 be done, recertification of the same package from the
11 previous certification over the previous state, what counties
12 or cities. Are you guys making any progress on resolving
13 that, and maybe just have a national inspection?

14 LANTHRUM: We are constantly looking at the possibility
15 of implementing what they call point of origin inspections,
16 and inviting people from various states that would be
17 involved in the trans-shipment to come and participate in the
18 point of origin inspection. And, we believe based on the
19 certification of the casks and the work that will be done by
20 the utilities to prepare these casks for shipment, that that
21 should be sufficient. Railroads typically don't investigate
22 or inspect other hazardous cargos as they transition from
23 state to state. You get a go-ahead with the point of origin,
24 and you're good for the duration.

25 Unlike truck shipments, where, as you cross state

1 lines, there are frequently inspection and truck scales, and
2 places to pull over just after crossing the state line, there
3 typically is not a place to pull over after crossing state
4 lines for railroads. You have to wait until you get to a
5 siding or a classification yard, or other facility, and
6 typically, those are not built at state lines just
7 arbitrarily, and, so, it would be very complicated to do
8 state by state inspections. We're a long way from having the
9 actual operations and commitments on inspections finalized,
10 but there are state individuals involved with the FRA that
11 are cleared inspectors, and, Bob, you might want to talk more
12 about that.

13 FRONCZAK: Bob Fronczak with AAR again. I agree with
14 what you said, Gary, we don't have inspection stations, and
15 in a recent shipment that we have for the West Valley
16 shipments, State of Illinois requires inspections, and we
17 ended up having to send them to Peru, Indiana, which is about
18 50 miles inside the Indiana border, you know, away from
19 Illinois, to actually do those inspections. We are very much
20 in favor of having a really good first inspection at the
21 plant, which FRA is pretty well committed to do in their
22 safety compliance oversight plan, and we would hope that the
23 states would accept that, as well as the normal routine
24 inspections that happen along the track, as well as, you
25 know, the fact that DOE is committed to build their system in

1 compliance with S-2043, which has onboard monitoring of the
2 shipments as they're in progress. So, there's a lot of
3 inspection that's going to happen real time as the train
4 progresses.

5 HALSTEAD: Might I add, Andy, that a number of states
6 are impressed by the assurance, the safety assurance that the
7 Illinois program seems to have provided, both in terms of the
8 general public and elected officials, and, so, a number of
9 states have or are considering adopting inspection
10 requirements that would be based on the Illinois program.
11 So, for rail, that is obviously an issue because of the
12 difficulty of finding a safe place to do the inspection.

13 And, this is also an issue with the DOE decision to
14 ship legal weight truck casks in overweight truck service.
15 There are pros and cons about that that I don't really want
16 to go into, but I think the bottom line is that use of
17 overweight trucks will really highlight that inspection and
18 permit issue, and they're something that really need to be
19 explored.

20 LANTHRUM: I would add that DOE has not made a decision
21 to ship legal weight or overweight trucks by rail. We did an
22 analysis of our EIS and determined that that EIS bounded that
23 condition if we at some point did choose to operate that way.

24 KADAK: Just a comment on Bob's comment. My hope was
25 that instead of having individual states do individual

1 inspections, that the individual states would rally around a
2 standardized inspection at point of origin, which I think
3 would be more common sensical.

4 But, a quick question for Bob. What is your
5 recommendation on dual purpose casks?

6 HALSTEAD: This is an old recommendation that predates
7 the MPC proposal, and our recommendation was that DOE and the
8 utilities coordinate to plan a system based on dual purpose
9 casks precisely so that utilities would not be putting large
10 inventories of spent fuel into single purpose storage systems
11 at the reactors. At that time, we also were looking at some
12 of the storage issues at the surface facilities of the
13 repository, but basically, without getting into the disposal
14 container aspect of the TAD proposal, we have always thought
15 that there was a great deal of wisdom to either individually
16 licensed dual purpose systems, or something more system-wide,
17 like the MPC proposal.

18 ABKOWITZ: Okay, very quickly, Thure, and then Ali.

19 CERLING: Cerling, Board.

20 I direct my question to Steve, and I'm interested
21 in the issue of public perception, and your group has had
22 experience of on the order of 20 plus years of dealing with
23 the public and transportation. So, I was wondering if,
24 quickly, you could summarize how public perception has
25 changed by the communities affected over time, and what

1 lessons you have learned, and how you might have done it
2 differently?

3 EDWARDS: I will say from our experience over time, the
4 communities tend to forget that it's even going on, unless
5 there is an incident that might call it into question, cause
6 it to get into the news. So, I would say that the lesson
7 learned there would be not have any incidents that cause it
8 to get into the news, and things go much smoother.

9 CERLING: How would you do thing differently for a new,
10 you know, going back 20 years ago when the public issues were
11 larger, when the program initiated. So, if a program were to
12 begin, how would you deal with the public differently than
13 you did?

14 EDWARDS: I think the point Bob was bringing up earlier,
15 ensuring that you address the first responders, emergency
16 response, and you have a good plan and good training for
17 those people, and then you make sure that the general
18 citizens are aware of the participation of the emergency
19 response organizations and the training and their
20 preparedness that works there, and that they recognize that
21 it is not just the shipper that is involved, but you do have
22 the support of the infrastructure along the entire route.
23 I'd say that is very important, so they understand everybody
24 that's involved, and everybody is called into the process.

25 ABKOWITZ: Ali?

1 MOSLEH: Mosleh, Board.

2 This is for Gary. Looking at this list, to what
3 extent DOE agrees or concurs with the concerns embodied in
4 these recommendations?

5 LANTHRUM: Well, as Bob indicated, we have this
6 organization called the Transportation and External
7 Coordination Working Group where we deal with a wide range of
8 issues that our stakeholders have. They shared these issues
9 with us. A number of them are things that we don't have
10 direct control over. The oldest fuel first? Transportation
11 will transport what we are given under the contracts, and as
12 Dave indicated, the contracts control what will be shipped.

13 What we will be doing is shipping everything in
14 compliance with the NRC regulations. And, so, it doesn't
15 matter whether it's old fuel or new fuel, we'll meet the RAD
16 limits and other limits that the NRC has established for
17 transport. So, all shipments will be legal under the
18 regulations.

19 Mostly rail? We made that as our record of
20 decision. We did that back in 2004, both nationally and in
21 Nevada. The dual purpose casks? That's not an NRC issue.
22 That's a utility issue. Dedicated trains? We made the
23 policy decision back in 2005 to use dedicated trains.

24 Full scale cask testing? That's largely an NRC
25 issue. They're the ones that control the cask regulations

1 and the degree of testing that's going to go on. In fact,
2 the National Academy of Sciences looked at that issue as part
3 of their study of the safety of spent fuel shipments that was
4 completed in 2005, and they indicated that they support full
5 scale cask testing, but they believe that the program that
6 the NRC was currently implementing was both necessary and
7 sufficient, and we will buy casks certified by the NRC.

8 The NEPA process for selection of the rail spur?
9 We believe we have complied with all the requirements of NEPA
10 and we think we have done a very thorough job. We went,
11 again, out of our way to look at a potential additional
12 corridor and we delayed issuance of the ROD by a couple of
13 years by doing an analysis of the Mina. So, I think we've
14 been very aggressive in trying to make sure that we've met
15 both the intent and the spirit of the NEPA regulations in our
16 analysis that we've conducted.

17 The straw man routing process? We have a number of
18 things going on in looking at potential ways to derive
19 routes. We have asked the various regions of the country, we
20 deal with states through state regional groups, where we get
21 collective knowledge about issues of a region, and we have
22 asked them to participate with us in a way of looking at what
23 the criteria and methodology that they would like us to
24 incorporate for routing would be.

25 One of the things we're looking at now is a sample

1 problem, which basically is a straw man process. Western
2 states have, by and large, not wanted to participate. The
3 Midwest actually came up with a set of proposals on their
4 own. They have been very actively involved. The Northeast
5 has been less active, but they've been engaged. The
6 Southeast is kind of just watching what we're doing. But, I
7 believe all the regions will be involved in what we've
8 proposed in terms of a sample problem, which is a good way to
9 go, in making sure that, in practice, what you come up with
10 in theory looks like it's going to be workable.

11 We would not anticipate that this would be driven
12 down to final routing solutions for quite a long time,
13 because we're still 12 years away from the first shipment, at
14 the earliest. And, so, there's a lot of time to deal with
15 the routing issues.

16 The YVC program? We worked very closely with
17 states and tribes and other stakeholders about how to capture
18 the way we would implement our requirements under Section YVC
19 of the Nuclear Waste Policy Act. We worked diligently to
20 come up with a revision to the draft policy for allocating
21 YVC funds for training of emergency responders and for
22 technical assistance. The draft revision came out about a
23 year and a half ago. We received comments on that. Part of
24 what that last revision did was finalize or propose a changed
25 approach for funding states for emergency response, but it

1 was absent or quiet on how we would deal with tribes, because
2 tribal issues are in many cases very different than state
3 issues. Over the past year, we worked through a series of
4 recommendations with tribes. There is a revised draft policy
5 about to come out that will include the tribal revisions, and
6 we're hoping that will be out by the end of the calendar
7 year. So, we're very actively engaged on that front.

8 State regulatory enhancements? I can't speak to
9 what states are going to do, but certainly we will respond
10 when they come up with their proposals. And, then, terrorism
11 and sabotage concerns? There is a hearing going on in the
12 Senate today with the Senate Commerce and Transportation
13 Committee on transportation safety and security. And, I
14 believe in the NRC's testimony, they're going to talk about
15 the revision of their security status that was done. They
16 did a revised review that was concluded in 2007. It's a
17 classified review. I've been briefed on that. They believe,
18 based on that review, that their current regulatory regime is
19 both necessary and sufficient to deal with issues of
20 security, in addition to issues of safety.

21 We are working in collaboration with the NRC, and
22 with a number of international partners at finding ways to
23 better assess what the actual consequences of a sabotage
24 event would be. Unfortunately, funding for that effort has
25 been cut back as part of the overall funding cuts the program

1 has faced, but recently, we've got tentatively good news on
2 some money that's been directed to that testing program that
3 would, again, look at what the actual consequences of a high
4 energy, high density device, impacting a spent fuel shipment
5 would be in terms of release fractions, and particle size,
6 which has a very big impact on the consequence of a terrorist
7 attack.

8 And, having that information, if that is, in fact,
9 if we're able to do what we call the Phase 4 test, actually
10 testing actual pieces of spent fuel in a very controlled
11 situation with these HDD devices, if what comes out of that
12 would recommend changes to the security environment, the NRC,
13 since they are a partner in the test, would certainly be on
14 board in trying to change their regulation.

15 So, I think we have looked at all these things. We
16 take them all seriously, and a number of them, we've already
17 taken action on. Others, we've got processes in place to
18 make sure that we address them before we start shipping.

19 ABKOWITZ: Okay, we need to wrap this up. There's two
20 issues I need to get on the record here, so I will ask
21 questions and ask the best abbreviated answer you can give
22 us.

23 The first one has to do with water, you need water
24 to build a railroad in Nevada. Could you explain the process
25 you're going to need to go through in order to get water?

1 LANTHRUM: Certainly. Water is controlled by the State
2 Engineer. We have a challenge with the State of Nevada,
3 because they actually did a--passed a law that said that the
4 Yucca Mountain project is not in the public interest, and one
5 of the first things the State Engineer has to do when he is
6 considering an application for a water permit is determine
7 whether or not the request is in the public interest. And,
8 since the law says it's not, the process or the permit cannot
9 be processed. And, so, we had that issue generically for
10 Yucca Mountain, and then it will affect the railroad as well.

11 The railroad will take about 2 billion gallons of
12 water for dust control and for compaction of the cuts and
13 fills that we're going to be working on. 2 billion gallons
14 of water spread over a five year construction period, and
15 that's about the amount of water that Las Vegas consumes in
16 three days. So, the overall impact is not great, but we do
17 have some hurdles in terms of getting the permits to acquire
18 that water.

19 ABKOWITZ: Okay, thank you. And, the other issue, and
20 this is something directed at you, Gary, and also at Bob
21 Fronczak. My understanding from the previous tech meetings,
22 and so forth, and the work you've done so far, is the egress
23 issue from commercial nuclear sites to a mainline railroad
24 requires using shortline railroads in 20 or so places. And,
25 I understand that there is a certain minimum operating

1 standard that you expect those shortlines to have in the way
2 of track quality, and so forth, in order to be considered in
3 a condition usable by DOE for these types of shipments.

4 Could you comment on how extensive the problem is
5 going to be to upgrade these shortlines to that level, and
6 perhaps, Bob, you can help us with that question, and also
7 just give us a sense of the financial condition that
8 shortline railroads are in, and what their ability to pay
9 might be?

10 LANTHRUM: The review that we did of the Winchester and
11 Western Railroad with the Federal Railroad Administration and
12 with local officials last year was along those lines, trying
13 to get a handle on what the current condition of the
14 shortline track is. It was one shot. We ran out of money to
15 pursue it any further. It's not a strong process driver for
16 us at this point with where we are in terms of beginning
17 overall shipments. It is something we will do before
18 shipments start, and, again, I said about five years in
19 advance.

20 The number of shipments that we will be making is
21 relatively small. The number of shipments coming across
22 Nevada with the Nevada Rail Line will be two to three
23 shipments a week by rail of spent fuel. The commercial
24 activity that represents is not, in and of itself, does not
25 warrant upgrading track. And, so, the extent of the small

1 shortline railroad's ability to do track upgrades will depend
2 more on other commercial activity that requires the use of
3 the track than our shipment workload. We are just not a big
4 shipper, volume-wise.

5 And, so, for those tracks that don't have a
6 commercial basis for doing those track upgrades, we will wind
7 up not using the track if it's not at a grade that allows us
8 to get our escort cars and our cargos on there. For ones
9 that have the commercial rationale for doing their upgrades,
10 they've got a business mile, they're run as little
11 businesses.

12 ABKOWITZ: So, what you're saying then is that there may
13 be sort of a number of facilities that have rail, direct rail
14 access that you may not ending up using rail for, you'd have
15 to use heavy haul truck, or something, to get it to the
16 nearest mainline rail head in those circumstances?

17 LANTHRUM: That is a possibility. But, it's going to be
18 driven by other market conditions than by our level of work.

19 ABKOWITZ: Bob, did you want to comment?

20 FRONCZAK: Fronczak, AAR, again. I agree with what Gary
21 is saying. Basically, the shortlines, this business is not
22 going to generate enough revenue to justify major investments
23 in track. So, somebody is going to have to pay for those
24 investments, and, frankly, I think it's a commercial issue.
25 You know, you have to do a cost benefit analysis and figure

1 out what the most effective use of taxpayer funds is, or
2 ratepayer funds.

3 ABKOWITZ: Okay, thank you. I want to thank the
4 panelists, and particularly wanted to thank David Duquette
5 for his long line of questioning that made us late.

6 GARRICK: Thank you. I think we'll reconvene at 1:15.

7 (Whereupon, the lunch recess was taken.)

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1

AFTERNOON SESSION

2

GARRICK: We're now going to move to the Surface Facility Design, and Board member Howard Arnold will be leading the discussions.

5

ARNOLD: Thank you, Judge. We have two presenters, James Low of DOE and John Orchard of DOE. And, I'll ask them to introduce themselves at the beginning of their talk.

8

I just wanted to add a word at the beginning. The Surface Facility Design, of course, is driven by what has to go through it. And, from this morning's discussion, I think there's going to be a lot of emphasis on the wet handling facility in the sense that if a fair amount of the fuel doesn't come in in the form of TADs and it has to be repackaged, then there will be a lot of attention on that facility. But, I'm hoping that will come out in the discussion.

17

First, is James Low from DOE. Oh, excuse me. I had you in the other order.

19

ORCHARD: My name is John Orchard. I am a project engineer for the Department of Energy on the Yucca Mountain project, and I'm responsible for some of the surface facilities. I'll be discussing some of those at the first part of the talk. Then, Jim Low is a project engineer also for some of the other facilities, and he will be talking about some of his facilities in the second part of the talk.

1 Next slide. We talk in acronyms, and there is a
2 list of acronyms in case you need them.

3 This is a rendering of the site. The north portal
4 to the subsurface emplacement facility is located here, to
5 put it in perspective. We have the initial handling
6 facility, the wet handling facility, the canister receipt and
7 storage facility, and the receipt facility. These are the
8 main process facilities at the site.

9 And, on the next slide, we have a plan view of
10 mostly the same thing. To put you in perspective, here's the
11 north portal. We have the IHF, WHF, CRCF-1, RF-2, and then
12 we have future provisions for a CRCF-2 and 3 as the through-
13 put builds up, and as we need them, and this is also to show
14 you the relationship of the aging facilities, which is also
15 going to be discussed later.

16 Next slide. The discussions on the design of the
17 facilities and the status of the design is that to support
18 the Preclosure Safety Analysis and the License Application,
19 the design is complete, in accordance with the 10 CFR 63, but
20 the design is continuing in order to support procurements and
21 construction of the facility.

22 Next slide, please. The primary part of the
23 intention of the presentation is to discuss the throughput of
24 the waste forms, and the mechanical handling equipment that's
25 used in that throughput is listed here. We've got cask

1 handling cranes, spent fuel transfer machine, canister
2 transfer machines, site transporters, TAD closure equipment,
3 DPC cutting equipment, but all this stuff is in use in
4 commercial nuclear plants, and facilities in the country and
5 around the world, and it will be designed to consensus codes
6 and standards for the type of equipment it is. We've got an
7 example, the cask handling cranes, spent fuel transfer
8 machine, canister transfer machines will mostly be designed
9 to ASME NOG-1, which is Rules for Construction of Overhead
10 and Gantry Cranes.

11 KADAK: Are those single failure cranes?

12 ORCHARD: NOG-1 is single failure, yes. We can get into
13 a discussion of that later, if you like.

14 The cask transfer trolley and the waste package
15 transfer trolley are unique in their application at our
16 facility here, but the components are in common use
17 throughout the industry. And, the applicable portions of
18 those pieces of equipment will be designed to ASME NOG-1
19 again. And, the same with the transportation and emplacement
20 vehicle. It's got some unique components and the entire
21 vehicle will be designed--the applicable portions of the
22 entire vehicle will be designed to the applicable portions of
23 ASME NOG-1.

24 The facilities we're going to talk to you about
25 are, that you asked to be briefed on, is the aging facility,

1 canister, CRCF, WHF, RF and we're not going to specifically
2 address the IHF, but it's one of the main facilities there.
3 And, we've got a table here to show you the waste forms that
4 are handled in each of the facilities, and what the purpose
5 of the facility is.

6 The high-level waste, the DOE high-level waste is
7 in canister form, and it's primarily handled in the CRCF, but
8 it can also be handled in the IHF. The Naval SNF is
9 canisterized in its entirety, and only uniquely handled in
10 the IHF. DOE SNF is again handled in the CRCF where it's co-
11 disposed with the HLW. The commercial SNF, the uncanistered
12 commercial SNF, which at this time includes DPCs, is entirely
13 processed through the waste handling facility, where it's put
14 in TADs. Wet handling facility. And, the commercial SNF
15 that comes in in TADs can be handled in any of these
16 facilities, except the IHF, primarily in the CRCF, but it can
17 be handled for various reasons in the other facilities
18 through the RF and the aging facility.

19 Next slide, please. The mechanical handling
20 equipment that handles these waste forms is listed here, and
21 to show the commonality and application of these various
22 pieces of handling equipment, we've got this table here that
23 shows the cask handling crane, is used in all facilities, all
24 the waste forms come in in transportation casks that are off-
25 loaded with the cask handling crane.

1 We've got transfer trolleys in all facilities, CTMs
2 in all facilities. The waste package closure facility is
3 used in those facilities that actually load and close the
4 waste packages. The TEV handles the waste packages out of
5 those facilities. The site transporter is used in these
6 three facilities, CRCF, WHF, RF. The spent fuel transfer
7 machine is only used in the WHF, which is what it's there
8 for, and the TAD closure and DPC cutting machines are also
9 used in the WHF. And, we'll get into more detail later, Jim
10 will.

11 Next slide, please. In the CRCF, the requirements,
12 the throughput requirements that we designed the facility for
13 are the following, and this is per CFCF. We've got 450
14 metric tons of heavy metal per year that's going to come in
15 TADs, and we're going to place it in waste packages for
16 direct disposal. And, this works out to approximately 55
17 TADs. The TADs have varying weights, and so it averages
18 about 55 TADs.

19 We've got 200 metric tons of heavy metal in TADs
20 that we're going to put in aging overpacks and place in the
21 aging pads. We've got 50 metric tons of heavy metal DPCs
22 which we can also place in aging overpacks in the CRCF for
23 the aging pads. We have 63 canisters per year of the DOE SNF
24 and 315 canisters per year of the DOE HLW which we place in
25 the waste packages for disposal.

1 One of the design approaches that we've taken on
2 the CRCF in order to facilitate throughput to meet these
3 requirements is that we've got parallel lines for loading and
4 closure of the waste package. The waste forms are received
5 in a single line, but then we can transfer them, load them in
6 the waste package, and close them in two parallel lines.

7 Next slide, please. And, here's a plan view of the
8 CRCF and showing some of the waste flow paths through CRCF.
9 They are color coded. The primary waste path is the pad, we
10 bring the--

11 GARRICK: You're going to have to go to the microphone.

12 ORCHARD: We bring the TADs in here through the receipt
13 facility on a, primarily on rail cars. We off load them from
14 the rail cars, place them into the cask transfer trolley.
15 The cask transfer trolley is moved into the canister
16 unloading area here, where the canister transfer machine, the
17 floor above, lifts it out of the transportation cask, moves
18 it over and places it into the waste package that's on the
19 waste package transfer trolley. The waste package transfer
20 trolley then moves to this location here, where it's welded
21 closed, and then the waste package transfer trolley moves it
22 out into the loading bay here, where it's tilted down and
23 placed into the TEV, which is this machine here, and the TEV
24 moves the waste package out into the repository.

25 KADAK: How long does that process take from receipt to

1 out the door?

2 ORCHARD: It's in the order of two days. I'll have to
3 get back to you for an exact number. Am I right? I can get
4 you the exact number, but it's in that order. I used to know
5 it to the minute, but I don't.

6 Another capability that we have in the CRCF that I
7 mentioned is that this orange line here represents bringing
8 in a TAD or a DPC that we want to load into an aging
9 overpack, and move out to the aging pads. And, a third
10 capability that we have in this facility is that we can bring
11 TADs either from the aging pads, or from the wet handling
12 facility out there, the uncanistered fuel has been put into a
13 TAD, we can bring them in on a site transporter into the--
14 directly into the cask unloading area here, and again with
15 the CTM move it out of the aging overpack into the waste
16 package, waste package closure, and TEV into the repository.

17 Next slide, please. Here's a section view through
18 the same facility. This shows the rail car with the
19 transportation cask on it. This structure here is the cask
20 prep platform where when we off load the transportation cask,
21 we put it in the cask transfer trolley. This is the cask
22 transfer trolley moved under, well, into the cask unloading
23 room. The CTM here above reaches down into the cask,
24 withdraws the canister up into the bell, the shielded bell,
25 and the canister transfer machine, the bell moves over to the

1 loading position for the waste package, it lowers the
2 canister into the waste package that's sitting on the waste
3 package transfer machine. The WPTT moves it over to the
4 waste package closure system here, which is a welding system
5 primarily that welds the lid on the waste package. The waste
6 package transfer machine moves it into the loading room here,
7 where it's down-ended, tilted down into a funnel position,
8 and moved into the TEV, and then the TEV takes it through the
9 vestibule and out to the repository. And, that's how the
10 CRCF works in a nutshell.

11 Next slide, please. The receipt facility does a
12 slightly different function. The requirements for that are
13 1000 metric tons of heavy metal in TADs that we can put into
14 the aging overpacks, for movement out to the aging pads.
15 And, we can also load 140 metric tons of heavy metal coming
16 in on DPCs that we can put into aging overpacks to move out
17 to the aging pads.

18 Those are the throughput design requirements for
19 the RF. Some of our design approach to meet those
20 requirements--well, some of the function of the receipt
21 facility is that it reduces demand on the CRCF and the WHF in
22 this transloading capability of putting these waste forms
23 into aging overpacks. The CRCF is capable of doing it, but
24 having the RF takes some of the demand off the CRCF. And,
25 the DPCs, we can put out in the aging overpacks and bring

1 them back into the WHF when we're able to transfer them into
2 TADs.

3 So, the RF also decouples the receipt of the waste
4 form from loading the waste packages in the CRCF, is a second
5 approach that the RF provides us. And, one of the things
6 about the receipt facility is that the equipment that we use
7 in the receipt facility is the same equipment that we use, at
8 least at the front end of the CRCF for their receiving and
9 transferring of the waste form. So, that's our design
10 approach.

11 Next. Here, again, is a plan view of the receipt
12 facility, showing the flow path through the facility. The
13 red line here is a TAD, or DPC, coming in on a rail car, and
14 just like in the CRCF, it's off loaded off the rail car,
15 placed, up ended and placed on the cask transfer trolley and
16 moved into the cask unloading room. And, in an area above
17 here, we have the canister transfer machine that lifts the
18 TAD, or DPC, out of the transfer cask, and places it into an
19 aging overpack, and, the aging, rather than a waste package
20 as in the CRCF. So, we put in the waste package, or we put
21 it in an aging overpack that's sitting on the site
22 transporter, and the site transporter then moves out into the
23 aging overpack closure area, and then through the vestibule
24 and on out to the aging pads.

25 The green line here represents--we have the

1 capability of receiving horizontal DPCs. There's a certain
2 number of horizontal DPCs in the industry, and they have to
3 be maintained in a horizontal configuration. So, we don't
4 upend them here, we bring them in on the rail car again. We
5 lift them off and put them onto a stand. Then, we can move
6 the rail car out and bring a specially designed site trailer
7 in here, where we can put the DPC in its transportation cask
8 on the trailer, the site trailer. And, the site trailer
9 moves the horizontal DPC out to the aging overpacks, where we
10 have specially designed horizontal aging modules to receive
11 the DPC and store them and stage them, hold them. And, that
12 will be discussed in the aging pads.

13 KADAK: Just a clarification question. What are all
14 those other rooms? It looks like storage areas.

15 ORCHARD: Well, for instance we have A-track systems
16 here, and some of these are A-track systems. We have
17 electrical systems, and some of these are electrical rooms.
18 Right off-hand, I don't know exactly what these rooms are.
19 We can find out. We didn't label them.

20 On the next slide, I've got a section cut through
21 there, and it shows it's a section cut through there, but it
22 might show us some of that equipment a little bit better. We
23 have equipment location drawings that show in detail what
24 that equipment is.

25 Can I have the next slide, please? This is a

1 section through the receipt facility, down the process line
2 like I indicated on the last slides, and, again, this is the
3 rail car with the transportation cask on it. This is the
4 cask prep platform, and you can see dotted in here the
5 transportation cask sitting in the cask transfer trolley.
6 And, here's the transfer trolley after it's moved over into
7 the unloading room. There's the canister transfer machine
8 and the shielded bell. It lifts the TAD, or the DPC, into
9 the bell, moves the bell over here, lowers the TAD, or DPC,
10 into the aging overpack that's sitting on this machine here
11 that's the site transporter. And, then, it moves
12 perpendicular into the page, out through the aging overpack
13 closure and vestibule.

14 For instance, this shows a low level waste sampling
15 tank here, all the floor drains and stuff run into a low
16 level waste tank and we collect it here and sample it before
17 we take it to our low level waste facility, if required.
18 And, we see it's taken most of the other equipment out of
19 there, but a lot of the other, most of the other big
20 equipment is HVAC stuff and a lot of it is also electrical
21 stuff. Switch gear.

22 Next slide, please. Okay, this is Jim Low is going
23 to talk to you about the WHF and the aging packs.

24 LOW: Thanks John.

25 ARNOLD: Okay, we'll hold the questions until after Jim

1 is finished. Thanks.

2 LOW: The WHF, as John indicated during his
3 introductions, I'm the project engineer for--

4 GARRICK: You're going to have to get closer to the
5 microphone.

6 LOW: I'm the project engineer for the wet handling
7 facility as well as the initial handling facility, Department
8 of Energy, Office of the Chief Engineer.

9 The WHF requirements for receipt and processing is
10 that it's capable of receiving 230 metric tons of bare
11 commercial spent fuel, and there's a seven day minimum
12 turnaround for the transportation cask that's associated with
13 the commercial spent fuel.

14 ARNOLD: A slip of the tongue. You said minimum, but
15 you mean maximum?

16 LOW: I mean maximum, sorry, maximum seven day
17 turnaround for the transportation cask to be returned back to
18 service. And, it's capable of receiving 77 metric tons per
19 year of commercial spent fuel in DPCs.

20 KADAK: Can I just clarify? What do you mean by bare?

21 LOW: Bare is uncanistered.

22 KADAK: Uncanistered. And, how are you going to ship
23 those?

24 LOW: Those will be in either truck or rail
25 transportation casks.

1 KADAK: So, not in TADs?

2 LOW: Not in TADs. The whole purpose of WHF is to take
3 the commercial spent fuel that's not in TADs, and package it
4 into TADs.

5 KADAK: Do you have a cask that can do that now?

6 LOW: Do we have a cask?

7 KADAK: Transport cask.

8 LOW: Well, we have the truck transportation cask, such
9 as the GA-4 and GA-9 that the facility has been designed to
10 accept.

11 KADAK: And, they take how many assemblies?

12 LOW: Well, the 4 and a 9 are 4 and 9. But, the
13 facilities also, is being designed to also take large rail
14 transportation casks, too.

15 ARNOLD: They have to be put into TADs?

16 LOW: That's right.

17 ARNOLD: That's the whole purpose of the facility?

18 LOW: That's right. The whole purpose of the facility
19 is to take transportation casks containing bare fuel, or
20 transportation casks containing a dual purpose canister, or
21 receive aging overpacks from the aging facility that are
22 containing dual purpose canisters, and package it all into
23 TADs. That's the output of the WHF.

24 In order to meet these receipt and processing
25 requirements, we have a facility design approach, which for

1 the work stations that are sited inside the facility, is a
2 full utilization for all stations, which means that more than
3 one transportation cask, dual purpose canister, or TAD can be
4 processed simultaneously. It's not a sequential operation in
5 order to meet these type of throughputs.

6 The wet handling facility process flows circularly
7 from the transportation conveyance on the east side of the
8 facility to the preparation operations for the canister or
9 for the bare fuel on the north side of the facility to pool
10 handling operations, which is located in the west, to
11 transportation casks and TAD export and welding operations,
12 which is located on the south side of the facility.

13 Next slide, please. This is a material flow path
14 diagram. These are the main station locations that are
15 located within the WHF. The primary ones are the overpack--I
16 mean--the cask preparation work station, which is commonly
17 called prep station Number 1, a DPC cutting station, which is
18 located here. This is prep station Number 1. We also have a
19 TAD closure station located here. And, we also have a prep
20 station Number 2, primarily for the purposes of preparing
21 empty transportation casks for export out of the facility
22 using the cask handling crane.

23 What's depicted here are four primary flow paths.
24 The first three are into the pool, as depicted, and the last
25 flow path is the TAD loading and export, which is the blue

1 line here. The most simple operation is the transportation
2 cask, bare fuel, which is the red, enters the facility via
3 the transportation vestibule. It's off loaded, up ended,
4 then taken to prep station Number 1, where it's purged, off
5 gas cooled, filled with borated water, and then transferred
6 to the pool for either unloading into the staging racks or
7 loading into a TAD that's already been prestaged in the pool.

8 The green line details the operational steps that's
9 involved with unloading a dual purpose canister in a
10 transportation cask. In order to do that, we, like the bare
11 fuel transportation cask, it enters the same pathway, the
12 transportation cask is prepped in prep station Number 1, and
13 then it's moved into the unloading room to remove the DPC.
14 The DPC is then subsequently loaded into a shielded transfer
15 cask, which is used exclusively within the WHF, and then it's
16 taken out, taken to the DPC cutting station, where the DPC
17 lid is cut, and moved to the pool, DPC unloading bay for
18 unloading into a TAD.

19 A capability within this facility is to accept the
20 DPCs and aging overpacks from the aging facility. And, in
21 order to accomplish that, we come in through this aging
22 overpack vestibule, which is, when we're exporting TADs is
23 used to export it, but here, we're importing the DPC aging
24 overpack. Then, this comes on using the site transporter.
25 This moves into an unloading room. The unloading room, the

1 DPC is unloaded from the aging overpack, and then loaded into
2 a shielded transfer cask, and the shielded transfer cask
3 takes the same operational steps as we described before for
4 the DPC in a transportation cask.

5 Relative to previous questions, these are
6 electrical rooms. These are HEPA trains, HEPA exhaust
7 plenum. These are the pool clean-up systems, three trains
8 worth, and there's a maintenance room, and utility rooms
9 here.

10 Next slide, please. This is a section view through
11 a partial depiction of the WHF. We have a pool here. It's
12 about 74 feet by 61 feet by 52 feet deep. As indicated in
13 our plan view, we have a transportation cask come in. It's
14 prepped by our mobile access crane where impact limiters are
15 removed. We use the cask handling crane to upend the
16 transportation cask. Then, it's taken to the prep station
17 Number 1, and depending on whether it contains a DPC or not,
18 it's either exchanged for shielded transfer casks or not.
19 Assuming that it is, the prep station Number 1 is the front
20 end for the unloading room that's behind this wall here.
21 After it's been exchanged for a shielded transfer cask, we
22 then take it to the DPC cutting station, where the lid is
23 removed, and then--

24 KADAK: Underwater cutting or an air cutting?

25 LOW: It's an air cutting, but it's under water from the

1 standpoint that the DPC is--the STC is actually filled and
2 cooled with borated water first before we make the cut.

3 KADAK: So, it's underwater cutting?

4 LOW: It's under water cutting, but it's not in the
5 pool.

6 The DPC STC is then taken by the cask handling
7 crane, and then placed into the DPC bay. There's another
8 staging shelf behind this wall here. And, then, the fuel is
9 removed using the spent fuel transfer machine, and then
10 placed into a TAD canister, which will be in this transfer
11 station. This is one of five transfer stations located
12 inside the pool here. We have a staging rack that's capable
13 of 209 assemblies and four damaged fuel cans. And, we also
14 have a decom pit for abnormal situations where we may have to
15 deal with an STC or a cask where these prep stations may not
16 be able to.

17 Next slide, please. I'm switching gears to the
18 aging facility. We don't have a material flow diagram for
19 the aging facility as we do for the three other facilities
20 that you've seen here. The primary block flow for the aging
21 facility is TADs and the DPCs from the receipt facility,
22 loaded in aging overpacks, from the wet handling facility.
23 If we happen to have the rare situation where we export a TAD
24 that needs aging, that's also fed into the aging facility.
25 And, from the canister receipt and closure facility, we have

1 TADs in their aging overpacks. These all are moved out there
2 using the site transporter, and moved into one of 2400
3 positions relative to the vertical aging overpacks.

4 They're aged, they're monitored, temperatures,
5 exhaust temperature from each aging overpack is constantly
6 monitored. And, at the end of aging, they either go to the
7 wet handling facility to process the DPC into a TAD, or they
8 go to the CRCF because they already have a TAD, and be
9 processed into a waste package.

10 The top flow diagram reflects, as John indicated,
11 those fairly rare situations where we have horizontal
12 transportation casks with DPCs. These horizontal
13 transportation casks are received from the receipt facility.
14 It's subsequently moved in the transportation cask to the
15 aging pad. It's removed from the horizontal transportation
16 cask into a what is called a horizontal aging module, or a
17 HAM, and at the end of the aging process, the HAM is then
18 moved to the wet handling facility using a special horizontal
19 shield transfer cask.

20 Next slide, please. This is a plan view of the
21 aging pad. There are about 25 total slots available.
22 There's 2400 for vertical overpacks, and 100 HAMs. Each one
23 of these have a capability of about 1250. They're four by
24 four. You can see that they're either--I mean, each square
25 is a four by four aging overpack.

1 And, that's my last slide.

2 ARNOLD: Okay, thank you, Jim. John, perhaps you could
3 come up and both of you together answer our questions.

4 Let me kick off, take my prerogative as the Board
5 lead on this. Kind of a general question of the status of
6 the design. You've turned in a License Application in which,
7 I know this isn't--it's not at a high stage of completion in
8 terms of construction drawings, and you will get a bunch of
9 RAIs. The question I have is what flexibility is there to
10 adapt this design as you find out things through either the
11 RAIs, or through industry experience, or through your own
12 further work as you proceed?

13 ORCHARD: I believe that to--a certain amount of the
14 design has been done to support the safety case, which is
15 what's gone into the license. So, if we want to change part
16 of the design that impacts the license, we'd have to go
17 through some type of license amendment. So, that would be
18 our constriction on--

19 ARNOLD: Let me give you an example.

20 ORCHARD: There's a lot of design that isn't--

21 ARNOLD: Yeah, let me give you an example of the kind of
22 thing that I might be interested in. Several places in
23 there, there's a welding station, where you're going to close
24 something. Now, those tend to be choke points. Sooner or
25 later, something goes wrong in the welding station, and

1 everything else starts to back up. Can you, for example,
2 decide you're going to put an extra welding station at each
3 spot, or do you feel that that would require a license
4 change?

5 ORCHARD: Well, I think we'd have to talk to our
6 licensing people to find that out. It depends on the level
7 of detail of the design that we've got in the License
8 Application.

9 ARNOLD: Yeah, that's what I'm asking you.

10 ORCHARD: If we wanted to add another--

11 ARNOLD: Just as an example, another might be the pool
12 itself. To what extent does that pool mirror existing
13 commercial practice in spent fuel pools, or in fuel handling
14 pools in the commercial reactors?

15 LOW: Well, the pool was designed with industry
16 consultants.

17 GARRICK: I'm having trouble hearing you.

18 LOW: The pool was designed with industry consultants,
19 and based on our contractor's extensive experience in
20 building spent fuel pools for power reactors across the
21 country.

22 KADAK: Who was the contractor?

23 LOW: It's Bechtel.

24 KADAK: Who?

25 LOW: Bechtel.

1 LACHMAN: My name is Kirk Lachman. I'm DOE, and I just
2 wanted to address your first question on the adding of
3 additional closure cell. It would require a substantial
4 change to our licensing basis and the safety case, and that
5 would be significant, because it would change the envelope of
6 the facility. It's not all that flexible in that case.
7 Years of work.

8 ARNOLD: Okay. All right, other questions? Andy?

9 KADAK: Have you guys had a working group meeting with
10 the facility design people yet?

11 ARNOLD: No.

12 KADAK: I think we probably should. Have you done a
13 throughput analysis identifying single mode failures in any
14 of these facilities?

15 LOW: Yes, there are preliminary throughput analyses,
16 and David Rhodes will be presenting a lot of information
17 relative to that in his next presentation.

18 ARNOLD: Yeah, that's the next portion.

19 RHODES: Actually, I'm David Rhodes, DOE. I'll be doing
20 that in the next one. Why don't you hold that question for
21 me.

22 KADAK: Okay. In terms of the seismic design, the last
23 time we checked, it was like a huge burden to design these
24 facilities that may only be operated for, say, 50 years, much
25 like a spent fuel storage for a nuclear power plant, 60

1 years. Have you made any progress in establishing a
2 reasonable design basis for facilities like this?

3 LOW: Relative to seismic design?

4 KADAK: Yes.

5 LOW: We believe that seismic design is--well, perhaps I
6 should defer that answer to Deb Nevergold, who is our lead
7 seismic structural manager from Bechtel here.

8 KADAK: Is he here?

9 LOW: Yes, she's--

10 NEVERGOLD: Yes, Deb Nevergold. I'm the project
11 engineer, and I'm shorter than everybody else. Project
12 engineer for BSC, and we're designing the structures for the
13 2000 year occurrence earthquake. The PGA for those values,
14 the horizontal is .45 and the vertical is .32. So, I don't
15 know that I would call those excesses, but we have completed
16 the design based on those requirements.

17 So, basically, what we have is four foot thick
18 walls, with enough margin in it to meet the probabilistic
19 requirements required by 10 CFR 63. So, we have code
20 requirements and then the probabilistic requirements, and the
21 four foot walls adequately meet all those requirements.

22 KADAK: I guess that's what we're questioning, the need
23 for four foot walls.

24 NEVERGOLD: As I said, we have probabilistic
25 requirements that, by the code, there is margin in the

1 design, if we had the code requirements only, there would be
2 something less than four feet, but even nuclear power plants
3 have margins built into it. And, so, based on the amount of
4 margin we need to meet 10 CFR 63, four foot walls are
5 reasonable.

6 KADAK: Okay.

7 ARNOLD: Henry?

8 PETROSKI: Petroski. The four foot walls brings up this
9 question to me. I don't see any dimensions on any of these
10 drawings. Is that deliberate or--

11 LOW: These are general arrangements. These are
12 actually figures.

13 PETROSKI: Are they to scale?

14 LOW: Yes. Yes, they are to scale.

15 PETROSKI: On some of your flow path diagrams, a
16 question arises, and maybe this is anticipating a later
17 presentation also, but what plans do you have for, let's say,
18 dry runs going through those procedures? There seem to be a
19 lot of very sharp turns involved in some cases. Are there
20 plans to take prototypes through the process, through the
21 flow process?

22 LOW: David Rhodes will address that during start-up and
23 testing, but David is there to provide you--

24 RHODES: Actually, that is the last presentation of the
25 day. I will address that.

1 PETROSKI: All right. Okay, thank you.

2 ARNOLD: Mark?

3 ABKOWITZ: Abkowitz, Board.

4 Could you tell us what percent design complete the
5 surface facility design is in terms of what's been submitted
6 as part of the safety case? Is it 30 percent complete, 5
7 percent?

8 ORCHARD: I think we tried to express that in our first
9 slide, or to support the safety case, we're 100 percent
10 complete. But, there's a lot of ongoing design to support
11 procurements and construction, and calculation of percent
12 complete is a function of your numerator and your
13 denominator.

14 ABKOWITZ: Okay. But, for all intents and purposes,
15 we're looking at cartoons, in a lot of respects.

16 ORCHARD: All we're showing you here is cartoons, yes.

17 ABKOWITZ: Correct.

18 ORCHARD: In the LA submittal, we have detailed
19 drawings.

20 ABKOWITZ: So, there are much more detailed drawings
21 that are supporting the LA, with some of the dimensionality
22 that got this--

23 ORCHARD: This structure is all dimension, yes.

24 ABKOWITZ: Okay. And, if I understand a response that
25 was made a short while ago, there's really very little

1 latitude in that design without requiring some kind of
2 licensing amendment. Anything that would require adding a
3 cell, building another WHF, any of those types of things
4 would be of the nature that would require an amendment.

5 ORCHARD: Absolutely.

6 LACHMAN: Kirk Lachman, DOE. Yes, if we change the
7 structure of the facility, the site of the structure, the
8 dimensions of the structure, we're going to have to go
9 through all the work that Debbie did before with a structural
10 analysis, fragility analyses, et cetera. So, yes, there's
11 not much flexibility, unless I do it inside the envelope I
12 have right now.

13 ABKOWITZ: So, let's take for example then, this issue
14 with the 90 percent TAD assumption. If that assumption were
15 80 or 70, or something of that nature, which would imply a
16 larger number of wet handlings, that would be the type of
17 operational--change in operational assumption that would
18 require a change in the surface facility design, and that
19 would require an extensive amount of additional work?

20 LACHMAN: Well, that one is somewhat easier, in that we
21 have, as you saw from Slide 3, I think it was, the overall
22 site plan view, where we had three canister receipt and
23 closure facilities--actually, it's Slide 4. Should the waste
24 come in a different percentage than we anticipate, we would
25 go through, and such that it would exceed the capacity of the

1 current WHF throughput, we would go through a licensing
2 proceeding amendment, and go through all that work, and we
3 could replace CRCF-3 with a WHF-2.

4 ARNOLD: Yeah, I think they talked before about the
5 ability to replicate those buildings. That's different than
6 changing the design.

7 ABKOWITZ: So, what you're saying is it's easier to
8 build another facility than it is to add another welding cell
9 to an existing facility?

10 LACHMAN: Well, you asked a different question. Or, I
11 understood you to ask a different question about the 90/10
12 split, and if more was coming uncanistered, which would
13 require a wet handling facility addition. As far as adding
14 another facility versus changing, there's a number of years
15 between the build-out of CRCF-1 and CRCF-3, in which at that
16 time, should we determine through our operating experience
17 that the throughput rates just aren't working, there's a
18 hangup someplace, we could then do a design change going
19 through the proper licensing proceedings, and amendments, et
20 cetera, and do whatever, wherever the choke point was,
21 whether it's the closure cells, whether it's the front end of
22 the building in the transportation casks. So, that could be
23 done. There's a number of years between CRCF-1 and CRCF-3,
24 or even CRCF-2. So, there are opportunity for those analyses
25 for be done.

1 ABKOWITZ: Thank you.

2 GARRICK: Do I understand correctly that you have design
3 drawings in the License Application?

4 LACHMAN: They are not specifically drawings. There are
5 figures.

6 GARRICK: Can you characterize this in architectural
7 engineering terms, like are they Title 1, Title 2, Title 3,
8 or a percentage, or where are we on this design anyhow?

9 LACHMAN: I'm going to go back to one of their slides
10 where we are 100 percent complete with the design to support
11 the License Application.

12 GARRICK: Well, that doesn't mean much.

13 LACHMAN: When you look at Part 63 and the requirements
14 of Part 63--

15 GARRICK: I don't care about the regulation. I'm
16 talking as an engineer. Where are you from the point of view
17 of engineering design? If you didn't have the NRC, where
18 would you be in the conventional design engineering?

19 LACHMAN: I'm not able to answer that for you right now.
20 Title 2 is about right where we're at.

21 GARRICK: Are you at 30 percent, 20 percent, because we
22 don't get a sense at all of where you are on the design from
23 these cartoons.

24 LACHMAN: The cartoons are cut from the model. I'd like
25 to correct that statement. Those aren't cartoons, those are

1 cut from our 3-D design model. So, the drawings are cut from
2 these 3-D models, the HVAC, electrical, the piping.

3 GARRICK: Okay. Well, then you do have--have these been
4 designed by an engineering construction firm?

5 RUSINKO: I'm shorter than Debbie, so I'll be it. My
6 name is Barbara Rusinko. I'm the engineering manager for
7 BSC. So, yes, these designs are done by an architect
8 engineering company. The figures you're seeing here, and the
9 figures that are in the SAR, are based on real live design
10 drawings that an AE would see. So, in the case of a
11 mechanical system, there are official PNIDs issued, like you
12 would see in any plant for piping systems. There are
13 ventilation instrumentation diagrams for the ventilation
14 systems. There are single line drawings for the electrical
15 systems, and there are structural drawings for the structural
16 design. The figures that are in the License Application that
17 are public are extractions from those drawings.

18 GARRICK: Okay. So, when you say single line drawings,
19 that's very different from design drawings?

20 RUSINKO: That's correct. So, a single line drawing is
21 a higher level electrical drawing. At the end of the day
22 when we're actually constructing this, the constructors will
23 need all the connection diagrams. That level of detail is
24 not done. That is something you will need for the
25 constructor later.

1 GARRICK: Okay, thank you.

2 ARNOLD: Thank you. Gene, do you have a question?

3 ROWE: Rowe of Staff. I've got a couple questions on
4 the wet handling facility. You said that it's--is it based
5 on an--the pool and the pool cooling and cleanup system, is
6 it based on an existing pool design anywhere? What's the
7 basis for that design? In the past, DOE has told the Board
8 that they've tried to utilize utility experience to the
9 maximum extent possible. So, I'm wondering if they did that
10 with the pool, because I've seen dozens and dozens of pools,
11 and none of them look like that.

12 LOW: Well, BSC made numerous trips to utilities as the
13 design was being developed, and this is the--

14 ROWE: Excuse me, we're running short here, but let me
15 give you a specific question. The reset pumps for the pool
16 are located eight feet, based on your LA, are located eight
17 feet above the surface of the water. I would assume that
18 those are probably on the order of 500 gpm centrifugal pumps.
19 I'm not aware of a 500 gpm centrifugal pump that can lift
20 eight feet of water with zero NPSH. Have you identified a
21 pump that will do that?

22 LOW: That is left for further detailed design.

23 ROWE: Do you think it's possible to get a centrifugal
24 pump that can lift water eight feet with zero NPSH?

25 ARNOLD: That was the thrust of my first question, was

1 to what extent will this design evolve and improve as time
2 goes on? Adam, did you have a number?

3 LEVIN: Yeah, if I may. Adam Levin Exelon Generation.

4 Just to hopefully put this in a little bit of
5 perspective. The Zion station, which has been shut down now
6 for about ten years, our time to boil at that plant is 168
7 hours plus. So, for cooling, we really have very few cooling
8 requirements with respect to the station, and if we need to,
9 we can bring in auxiliary cooling as needed. But, the fact
10 of the matter is at least for Zion station, I don't know
11 where the design of this facility will be, but I can tell you
12 with ten year old fuel, the cooling requirements are rather
13 minimal.

14 ROWE: Yes, but it's more than just cooling. It's also
15 purification. And, my concern is, and Howard's question
16 initially was if you have to change that configuration
17 because you can't find the equipment that can operate at
18 those conditions, then that could have a major impact on the
19 layout of the facility, which will impact the structural
20 analysis. And, so, my question is have you looked at whether
21 that system will actually work or not?

22 LOW: We have completed sizing calculations that suggest
23 that these major pieces of equipment will function as
24 required.

25 ROWE: Do you have pump curves?

1 LOW: I don't recall.

2 ROWE: I could not find anything in the LA or the DOE
3 databases that have any information on those pumps.

4 RUSINKO: Barbara Rusinko, BSC engineering manager.

5 The system that you're describing, from the
6 standpoint of the level of design detail that's in the
7 License Application, this happens to not be an important to
8 safety system, so the level of detail for that particular
9 system is not something you would find in the license
10 application for that reason. These are lots of the design
11 details that may or may not change as we go through detailed
12 design. In the case of the wet handling facility, there are
13 parts of the building, especially where the pool cleanup and
14 filtration is, that we have allocated extra space in the
15 layout in case we have design changes that have to be made to
16 that system. I'm not in the position today to talk to you
17 exactly about what's in that current calculation. We do take
18 into consideration pumps that are available in industry, not
19 trying to invent or buy something that doesn't exist in
20 industry before. But, when you talk about the level of
21 detail, we do keep in mind what's important to safety and
22 what's not.

23 ARNOLD: Let me just cap it off, because we've got to
24 move. The issue, in my mind, isn't, you know, whether this
25 particular design is perfect, because my experience with a

1 lot of nuclear plants is that at this stage, you're not
2 looking at a final design at all. It's going to evolve a
3 lot, and the question is are you prepared to make those
4 changes, and have you left yourself--or the flexibility to
5 make those changes, or are you painted in a corner? That's
6 the question.

7 KADAK: Kadak. I'm just wondering what is the design
8 basis accident for any of these facilities that has driven
9 you to go to these designs? You said you made a safety case;
10 right? What is the design basis accident? What are you
11 trying to address with concrete walls? Let me ask another
12 one. Are you looking to blend the fuel into TADs after you
13 open up a perfectly fine DPC? Is there any strategy for
14 measuring the fuel assemblies as they come out, so you can
15 blend them and reload? Are any of these details contained
16 anywhere?

17 LOW: We have the capability, but I don't believe that
18 we have that thermal blending strategy that you refer to.

19 KADAK: Mr. Subchairman, I think we desperately need a
20 more detailed discussion of this.

21 GARRICK: I think there's another issue here, too. We
22 keep talking about the safety case. And, as we indicated
23 this morning in my opening remarks, the Board is interested
24 not only in the safety case, but in the performance, in the
25 throughput, and in the ability of this thing to perform its

1 intended function.

2 So, a lot of the questions we're asking are with
3 respect to its performance capability, not with respect to a
4 licensing requirement, or an NRC regulation. And, we seem to
5 have a disconnect between the discussion having to do with
6 the effectiveness of the system from a throughput standpoint,
7 and the effectiveness of the system from a safety standpoint.

8 And, we're trying to get an understanding of both, and we
9 keep kind of coming back to well, we've done this with
10 respect to licensing, we've done it with respect to safety.

11 The NRC is not as engaged into the throughput issue
12 as the Board is, and the Board is very interested in that.
13 They want to know, they want to be convinced that this system
14 is going to be able to perform in a reasonable way, and
15 that's a very different question and I don't get the sense
16 that the questions are being responded to in the context of
17 operations and throughput. They're being responded to in the
18 context of licensing. As we said, we're not licensing this.
19 We're trying to understand how it works.

20 KADAK: And, John, even in the case of the design basis,
21 which is a safety question, we're not hearing any answers.

22 GARRICK: Right. Yes. Yes.

23 ARNOLD: Well, let's leave it that we're unsatisfied at
24 this point.

25 RHODES: Excuse me. If I may go and respond to what you

1 just asked about? David Rhodes, DOE.

2 The first thing is the design description that we
3 prepared for you today was in relation to the subject of the
4 throughput, which is where all of the waste acceptance, the
5 transportation, the panels that we've talked about today, was
6 intended to convey. This was not intended to be a discussion
7 of the design for you, which probably would duly be done
8 under a separate meeting, which we'd be more than happy to
9 support at the appropriate time.

10 When we talk about the thickness of the walls, the
11 design of the pool, that doesn't relate to the ability of the
12 facility to perform its intended function. It's a mission
13 behind the facilities. I can get to that this afternoon when
14 we talk about the throughput presentations. But, right now,
15 I think the design discussions are going beyond what we had
16 intended to convey for you in terms of the throughput
17 capabilities.

18 In terms of us being able to achieve the mission
19 which we were established, the facilities collectively meet
20 the throughput requirements. I can talk about the specific
21 things that we have changed in the design that allowed us to
22 proceed with more detailed development, so that we can
23 achieve what we had intended to do, and it may not be the
24 right forum here in this discussion to go and talk about
25 that.

1 The reference to the design basis accidents for the
2 facilities, for example, I can address briefly in the last
3 presentation today when we talk about those interruptions of
4 service, if you would. So, if you could defer that question
5 for me, that would probably be more appropriate.

6 ARNOLD: Let me just cap it off. I was not trying to
7 say that the design won't do it. I know it will eventually
8 as you evolve it, in response to all the questions you get.
9 It's just that you aren't going to build what we're looking
10 at now. You're going to build something that has several
11 more years worth of your wisdom in it.

12 So, let's proceed to the next one. David Rhodes,
13 you're the next speaker.

14 RHODES: David Rhodes. I'm the engineering support
15 supervisor for the Department of Energy. In previous life
16 prior to joining the Department, I was the systems
17 engineering manager for Bechtel SAIC, so I was responsible
18 for the throughput analysis of the different facilities that
19 we have, and I was involved with the program analysis for the
20 total system model, which was done back on the East Coast, to
21 go and assess the programmatic impacts of some of the
22 subjects you're talking about.

23 So, if we can go to the next slide, just what I'll
24 talk about is an overview of the repository design as
25 relative to what went into the throughput modeling

1 activities, and the integrated surface facility throughput,
2 and the last subject was the potential upset conditions and
3 how they relate to what was modeled in our facilities.

4 This next figure represents just the general
5 concept of operations for the nuclear facilities. Along the
6 left-hand side, you actually see four boxes down the side and
7 one down the bottom, which actually represent the waste forms
8 going in. The arrows that you see represent from the
9 generators to the transportation systems, either by truck or
10 rail, so, the next two figures.

11 The next series of lines actually shows the
12 transportation network, including the balance of plant, rail
13 and truck buffer areas, where we actually shuttle the
14 material. We receive the material on site, we shuttle it to
15 the various nuclear facilities with which they will be
16 handled. The lines coming out the right side of the four
17 central nuclear facility figures represent the interactions
18 that we have when we shuttle it from the building to
19 building, from the buildings to the aging facility, and from
20 the buildings to the subsurface, the subsurface being the one
21 that's on the bottom right.

22 Next, if you would. What we have in terms of
23 incorporating the level of design into the throughput
24 modeling that we have done. We have taken the design that is
25 represented in the License Application, and it was modeled in

1 what we would call a discrete element model. So, each of the
2 components of that design that affected throughput were
3 actually put into a very detailed model. It includes the
4 layout of the facilities, and the layout of the facilities
5 themselves affect the ability to perform the mission. The
6 facility configuration in terms of where equipment was
7 located, the mechanical equipment envelopes, how the
8 equipment operated so that it wouldn't interfere with each
9 other. Time-motion studies that we had performed for various
10 components of the equipment, both for the nuclear dose
11 assessment, plus just studying the equipment in terms of
12 speeds of the equipment, you know, the operability, and
13 things like that, for how long it takes to operate.

14 We had operations input on the number of staff that
15 are required, the operations personnel plus the operations
16 support staff that were required in order to support those
17 types of operations, whether it was a health physicist,
18 whether it was an operator, someone performing radiological
19 inspections, that was all incorporated into the modeling
20 based on the operations organization input.

21 We also took a look and fed into the model the
22 industry equipment speeds that we obtained from plant visits
23 to commercial nuclear facilities. We actually had numerous
24 visits to various owners of the fuel, got to see their
25 operations. We actually saw them processing fuel. We were

1 able to go and record times. We were able to take videos,
2 brought those videos back and took a look and compared what
3 they do to what we do, and input those times into the models.
4 We visited other facilities that use similar types of
5 equipment. We made visits to the Naval handling and
6 packaging facility in Idaho. They use some of the same
7 equipment that we're using, including air pallet systems, and
8 the same types of crane equipment that we use. So, we had
9 very good information for what we fed into the model for what
10 we expected this equipment to operate like.

11 We also took a look from commercial vendor
12 equipment where we were not able to go and see them. This
13 industry information is available, and we used that to as
14 large a degree as we could.

15 What we end up with is we have throughput rates,
16 and these are the requirements that we talked about for each
17 of the individual facilities that John and Jim talked about.
18 It's a design-to-performance. This is the minimum design
19 that we have to accomplish with the facilities. This is not
20 a you must maintain level. This is a design-to. It's the
21 minimum threshold that we consider the facilities acceptable
22 in terms of their performance.

23 Next slide, if you would. Some of the assumptions
24 that we used in these models, and all of the modeling that we
25 have does require assumptions, and some of them are fairly

1 significant. The first one we have is that the equipment
2 necessary is available on demand. And, this is primarily the
3 things that feed the facility and remove things from the
4 facility. If I have a locomotive from the rail buffer area
5 that receives a cask on site, that locomotive has to be
6 available to move a cask into the building when that building
7 first has an availability.

8 On the back side of it, there's some equipment
9 that's being moved in. There's a crawler for moving aging
10 overpacks around. That crawler is available the moment that
11 aging overpack is ready to go out. The same thing with the
12 transportation and emplacement vehicle. The throughput
13 modeling assumes that it is available when it's demanded.
14 So, it's an on-demand model.

15 The availability of these pieces of equipment is
16 based on programmatic funding. If the repository is funded
17 at a certain level, so that we can get all the numbers of
18 equipment that we want, what if we need four crawlers in
19 order to achieve the maximum capability, if we can't pay for
20 four crawlers and we only get three, there is a slow-down in
21 the potential system operations. If we get the money, we can
22 buy what we need to do. If we don't get the money, we have
23 to make accommodations in the program, and that affects what
24 the potential maximum performance could be.

25 Some of the next assumptions that go in is the

1 facility studies that determine the numbers of cranes and
2 hoists. We took a look at how many cranes we could get in
3 the same area, whether they interfered with each other,
4 whether they were independently operating. Could we slide
5 one down to the end while we're operating the other one?
6 Could we operate two of them in the same space? Could we
7 separate GIB cranes from the main crane hoists? All of that
8 went into a discussion of what were the studies done to show
9 what was the most effective design. Those are incorporated
10 in the models. So, we used the model to incorporate that
11 best experience.

12 We did do design changes based on those studies in
13 order to go and show that if we had interferences, we
14 designed it so that we provided changes in the equipment to
15 allow the maximum use of the equipment that we thought was
16 necessary, at least to the point where we could achieve the
17 minimum performance specifications.

18 Last couple of assumptions. The staffing was made
19 available as necessary. That way, if it came down to human
20 resources, it was not the one that was providing a constraint
21 on the repository. The equipment could operate as fast as it
22 could operate.

23 The next one being is the 75 percent
24 facility/equipment availability. And, I want to hold that
25 because I'll talk about that in a later slide. But, the

1 assumption was is that there's a 25 percent down time for
2 things like normal planned maintenance, emergent work that
3 comes up, and the impacts of, for example, one building on
4 the other. In case I have to wait for a TEV to pass by one
5 building before another one exits onto that rail system,
6 that's the stuff that would be encompassed by that 25 percent
7 unavailability.

8 And, the last one was is we took a look, and the
9 assumption was rolling stock, national transportation system.
10 We talked a little bit about this in the panels earlier. It
11 comes back to the availability of the rail carriers, the rail
12 locomotives bringing this material on site. If there is a
13 programmatic interruption that is outside of the repository
14 control, then the repository performance actually has to wait
15 for that material to come in. That's a given.

16 All right, next, if you would. What we have done
17 is we took each of the individual nuclear facilities and we
18 explicitly modeled them in a software package called SimCAD.
19 It allows us to do a discrete object representation. You can
20 actually display it as a working sequence. You've got the
21 facilities, you've got the equipment. You can actually see
22 the waste packages or the waste containers go through the
23 model and you can see the progress that it makes through each
24 of the stages.

25 The balance of plant structures outside of the main

1 nuclear facilities are not explicitly modeled, but they are
2 put in as the assumptions. This is the part where we talk
3 about the on-site prime mover, or the locomotive that
4 actually brings the transportation casks from the rail buffer
5 area, for example, and moves it into that vestibule that we
6 had talked about as part of the design.

7 There's another modeling capability that the
8 program has provided. It is the Total System Model. We took
9 the individual building models, and we actually fed it into a
10 summation model, where we represented the individual steps in
11 eight hour time blocks. This model actually goes in affects,
12 and we have used this to go and consider interruptions in
13 program flow, for example, if the transportation system
14 cannot deliver at the same rate, what happens to it. If we
15 had only a portion of the rolling stock, the number of
16 transportation casks that we truly need, what would be the
17 impacts on the repository.

18 So, we used this TSM to explore some of those other
19 programmatic things to see whether the program will still
20 work if we go and change the relationships. This is where
21 some of the cases that we've done and some scenarios that
22 we've taken a look at, is what would the impacts be if we
23 varied the 90/10 split. Some of that information is
24 represented in the SEIS that was considered with the 75
25 percent, 25 percent case. So, we have looked at this in some

1 degree of detail.

2 Right now, the results of the total system model
3 back up what we saw with the individual facility models, and
4 the fact that the results show the repository in general
5 still meets its throughput design requirements.

6 Next, if you would. All right, we talked about
7 potential upset conditions. This comes back to the 75
8 percent availability that we currently modeled for the
9 facilities. This covers things like periodic and emergent
10 maintenance. We all know that we've got cranes. You've got
11 to go and do crane tests. It's not just the stuff that you
12 do annually. It's the stuff that you do before shift every
13 time you come in and start your operations again. Other
14 things that you have to run through.

15 There are things that you've got to take your
16 system, your plant off-line in order to go do some integrated
17 testing. This is all covered in that 25 percent that you're
18 not actually operating the equipment.

19 Idle time caused by other facilities. We talked
20 about the equipment being available from the rail and buffer
21 yards. If we have to wait for that, we expected some level
22 of waiting, and that was considered in that 25 percent where
23 the equipment was not operating.

24 The 75 percent is much less than what we would
25 expect the facilities to eventually operate at, but right

1 now, because we are sufficient with the design to submit the
2 LA, we are still doing the design that would enable us to go
3 and take the drawing packages out to a construction
4 contractor, or to go buy equipment, and until we get more
5 detail in the design, we can start fine tuning this
6 assumption that we have. We do expect that we will be in
7 excess of 85 percent availability, that we will operate at a
8 much higher degree than what we currently modeled. Right
9 now, we don't want to take credit for that, and that provides
10 margin in what we're doing.

11 What we believe is that the assumptions we've used
12 to cover all of these different things are reasonable for
13 where we are in the current stage of design. All of this
14 will be reevaluated as the design progresses towards more
15 detail, so that we can go into procurement and construction
16 phases.

17 Now, the events that cause shutdown. There have
18 been several questions that have been raised. What happens
19 if you have a severe interruption in service? We are not
20 required to comply with our design basis throughput
21 requirements during a significant interruption. Can we still
22 achieve our mission? If we have one facility out of service,
23 we have a reduced capability with the remaining facilities.
24 We come close to what we're able to design to, but, we can go
25 and still meet our objectives. Of course, if we have a

1 significant interruption, we would actually shut down, do the
2 analysis, operational readiness reviews, recovery plans,
3 whatever else we need to do, prior to placing whatever
4 interruption caused the facility shutdown, we would do all
5 that before we resume operations. During that period, we are
6 not required to meet or to continue to push through that
7 design capability for throughput. So, of course, you could
8 say that we're not meeting that mission, but when the mission
9 is 70,000 metric tons over the life of the repository, if I
10 have a six month interruption, I can still meet my mission.
11 If I have to operate for three months longer, so be it.

12 All right, next, if you would. What we currently
13 have is the throughput capabilities for the canister receipt
14 and closure facilities. The requirement was that we receive
15 and it added up to 700 metric tons of heavy metal per year of
16 commercial SNF to be allocated between waste packages and
17 aging overpacks. We're about 26 percent over that in the
18 capability. Each CRCF can perform at about 1200 metric tons.
19 If you add all three CRCFs together, you're well in excess of
20 what we need to go and handle. If you shut one down, you can
21 still process two-thirds of that capability.

22 The receipt facility. We actually figured out that
23 we can handle almost 1800 metric tons when the combined
24 requirement for receipts was 1140. That's about 55 percent
25 excess capacity, if you're just looking at a comparison

1 between what could we get versus what the minimum design
2 requirement was.

3 Next, if you would. Wet handling facility. The
4 worst case scenario that we had was 307 metric tons per year.
5 This was the worst case if you apply all of it only to small
6 legal weight trucks. And, one of the tables was we changed
7 the design of the facility in order to achieve that. Two of
8 the changes that we did make. One was there was one of the
9 cask prep stations, we take the cask off the conveyance, on
10 the back side of the process, we were putting the cask back
11 into that same station, prep station, in order to put it back
12 on the conveyance. We isolated that, so now there are two
13 stations not one. It allows you to go and have a cask in
14 each station, increasing your throughput. The other part was
15 the process of putting the cask into the pool, we only had
16 one station on that shelf. We actually now provide two, in
17 order to provide an in and out capability, so that you're not
18 putting two pieces of equipment, trying to put them in the
19 same location. So, we have made accommodations to the design
20 in order to allow us to meet the worst case truck scenario
21 with all small trucks.

22 If you actually take a look at what we can do with
23 what we expect to get, and we mention the fact that we have
24 these small legal weight trucks, and we have the capability
25 to do large rail, bare fuel only casks, if you go all bare

1 fuel rail casks, we can well exceed that capability by about
2 60 percent. So, we modified the design to achieve, or make
3 sure we could achieve, the minimum requirements. We expect
4 to be operating about 20 percent excess design capability.
5 So, we'll be operating over what the minimum is with just
6 bare trucks.

7 ARNOLD: That's all based on the 90 percent?

8 RHODES: It all starts with the 90 percent, 90/10
9 percent.

10 ARNOLD: All right. Okay.

11 RHODES: In order to operate based on the equipment, we
12 did assume the aging facility, balance of plant, subsurface
13 facility. It's all based on the expectations of equipment
14 performance, and, we can achieve the design for what we
15 expect that equipment to operate at.

16 Next, if you would. Right now, we believe that as
17 a whole, the repository can show that we can exceed what the
18 design capability needs to be by about 40 percent, maybe not
19 on an individual facility, because some of the facilities ran
20 about 20 percent, but as an aggregate, we figure we can
21 handle about 40 percent more than the design requirements
22 are. So, if you think about it, it's about 3600 metric tons
23 per year.

24 Total System Model results are very close. They're
25 within a few percent of what the individual facilities

1 represent. So, what was aggregated into eight hour time
2 blocks and considered the scenario from the transportation
3 and the emplacement drift operations, confirms what we think.

4 The facility designs currently provide adequate
5 design capability for us to accomplish the mission. And, we
6 have excess capability to allow flexibility and fluctuations
7 in both the receipts and the operations. So, that if we have
8 interruptions from outside influence, from transportation,
9 from program, from waste acceptance, or if we have
10 interruptions on-site from balance of plan or from the
11 subsurface repository or aging, we can accommodate those with
12 adjustments in the current facility operations.

13 And, the point being is if we do have some
14 operations extending what we expect is about a 24 year
15 operating period just to receive wastes, if we have to
16 receive wastes over a 25 or a 26 year period, within that
17 preclosure period that is currently designed as 50 years,
18 then operating that additional time is not detrimental to our
19 mission.

20 ARNOLD: Nor does it imply anything unsafe?

21 RHODES: No. No. All of this assumes operating within
22 the licensing basis and the license that the NRC would
23 eventually grant the repository.

24 All right, last slide. Follow on work. It has
25 been suggested, and it has been planned by the repository

1 program, there are activities in our current plan that
2 address the development of an integrated repository
3 throughput model. This is basically to say we'll take the
4 components that are currently in the Total System Model, and
5 we'll actually finish filling out detailed performance models
6 for the aging facility, the balance of plant, and the
7 subsurface facility, tying it all into a very detailed SimCAD
8 model.

9 The updates to that would include those additional
10 details that would be developed in this next design phase.
11 As we prepare to advance the design that's reflected in the
12 License Application for the eventual procurement and
13 construction, we would include that detail in the future
14 models, and then rerun the case to go and show that those
15 changes still allow us to go and perform at the design
16 requirements that we have specified.

17 That's it for me if you've got any further
18 questions.

19 MOSLEH: Mosleh, Board.

20 Just a clarification. This 40 percent excess
21 capacity that is a result of the SimCAD model, is that based
22 on one CRCF or--

23 RHODES: What we did was for that determination, we took
24 a look at each of the nuclear facilities, of which in total
25 would be six, there are three CRCFs, the wet handling,

1 receipt facility. Because the receipt facility was intended
2 to decouple the receipts from the operations, it by itself
3 provides a huge excess capability with the repository system
4 in total. If you take a look at just the three CRCFs and
5 total those up, you already exceed the 2700 metric tons of
6 commercial SNF that would come in in that 90 percent that you
7 can handle and go and process. So, with the receipt
8 facility, that's what jumps us up so significantly to about
9 that 40 percent for the entire repository system.

10 ARNOLD: Mark?

11 ABKOWITZ: Abkowitz, Board.

12 Dave, first of all, the Board is certainly pleased
13 that TSM was developed and is being used. As you know, the
14 Board has recommended the need for such a tool some time ago,
15 so we appreciate your responsiveness.

16 But, if we can go to Slide 10 for a moment, I want
17 to get some clarity on your second point here where it says,
18 "The Total System Model results confirm repository
19 capability." You're talking about throughput capability; is
20 that correct?

21 RHODES: Yes.

22 ABKOWITZ: Okay. And, essentially, what the Total
23 System Model has done is it's used processing times, and then
24 as a result of those processing times, you've come to the
25 conclusion that you have adequate throughput to meet your

1 requirements?

2 RHODES: Yes, with the current assumptions, based on
3 what our waste stream input is. And, it's all presumption
4 upon the waste stream coming in as we assumed.

5 ABKOWITZ: Okay. Now, here's where I think we may
6 separate in our points of view.

7 RHODES: Okay.

8 ABKOWITZ: My understanding is that the Total System
9 Model processing times had to be tweaked to generate the
10 throughput results that were being assumed on the front end
11 as being necessary. So, in other words, when you ran the
12 Total System Model without any restrictions, so to speak, you
13 didn't quite come up with the same answers, and there was a
14 series of reruns and modifications to some input assumptions
15 until you got processing times that were similar to the ones
16 that were assumed when you had come up with your throughput
17 analysis. That being the case, and I'm pretty sure I'm
18 right, then wouldn't it be a foregone conclusion that the
19 Total System Model results would confirm repository
20 capability, because you've actually adapted the model to
21 produce the answers that it didn't produce initially that you
22 were looking for?

23 RHODES: It's not strictly true on what happened. The
24 way modeling works, you have to prove your model actually
25 represents the true system. And, I'll give the examples that

1 we did with SimCAD. You can set up the model, and then
2 you've got to prove that it works correctly. You've got to
3 do a manual calculation to confirm what goes in, what goes
4 out, processing times. In the individual throughput models
5 that we do do, we actually replicate the model performance in
6 a spreadsheet schedule, and then add all the minutes from the
7 schedule and compare it against performance of the model.
8 So, we actually calculate by hand, go and confirm what goes
9 in there.

10 The first development of the model always is rough.
11 The logic that you go into for the gates, the switches, the
12 alternative paths, you know, when things turn on and off,
13 programming for that has to be validated. So, the first time
14 you ever do those runs, you don't get the perfect product.
15 It's got to be validated. And, it required several cases in
16 the development of the Total System Model before those cases
17 represented the fact that the model was operating properly.
18 I didn't have something coming in and hanging up and
19 stopping, which is typically what you'll see a model do. It
20 will hang you up and it won't give you anymore.

21 ABKOWITZ: What if the model happens to be properly
22 constructed, and there are places where you get hung up at
23 times, for whatever reason? It seems to me--I appreciate the
24 idea of going through an incremental process, but anchored to
25 that process was always a here's the throughput numbers we're

1 assuming, here's the throughput numbers we need to make.
2 And, wouldn't it have been very powerful to have not had that
3 anchor and just said here are different sets of operating
4 assumptions of terms of how things might arrive at the
5 surface facility, and look at the different ways in which we
6 can deal with things appropriately, but also let's look at
7 the different ways in which we may have problems if it shows
8 up that way? That's two very different philosophies in how
9 you approach the use of a tool, and I wonder to what extent
10 you may have severely limited your ability to understand the
11 system because of the approach that was taken.

12 GARRICK: Speaking of understanding, I think you've done
13 a very good job today of kind of telling us what the input
14 and output was facility by facility.

15 RHODES: Yes.

16 GARRICK: What I don't quite understand yet is what
17 happens between facilities, and what--because when you think
18 of this system, it's an expansive system in terms of
19 transport and handling and operations that are exterior to
20 these individual facilities. And, I guess the TSM took that
21 into account, but I think that it's a little fuzzy to me, at
22 least, as to how much flexibility you have to make the kind
23 of adjustments you are suggesting, because of not having as
24 good an understanding as I'd like to have of what goes on
25 between facilities, between individual components.

1 RHODES: Truthfully, the points you make, we have
2 referred to that as the balance of plant brain. How do you
3 go and coordinate the activities between supporting six
4 nuclear operating facilities, the aging facility, plus your
5 receiving stations, your security stations, you've got the
6 locations where you lift off the personnel barriers, you do
7 your inspections and your surveys when the casks come in.
8 The cars end up being--the conveyances for the transportation
9 system end up being brought in, things are done to it, and
10 then it sits in the rail yard until it's brought into a
11 building. It sits until it's called for by the building.
12 I'll get trains with four to six casks at a time, and they'll
13 just sit there waiting to be processed one by one. That
14 allows us to go and take a look in an aggregate for the
15 operations of those balance of plant facilities and say can I
16 control that in a reasonable fashion.

17 GARRICK: Yes.

18 RHODES: This is where we talked about, for example, the
19 site prime mover, the locomotive coming out of the rail yard.
20 If I have one locomotive, it's got to support six buildings.
21 If I have two, each of the buildings is not calling for a
22 cask at the same time, so two might be able to do it. If I
23 have three, then I can use one to cycle in for maintenance,
24 can I be assured that the operation of that rail buffer area
25 can support six nuclear buildings. And, right now, based on

1 the evaluations we've done for concepts of operations, for
2 the other things, for the balance of plant, which still have
3 to be worked out in the detailed design development, until we
4 know those details, it does not make sense to go and
5 represent those relatively simple operations in a detailed
6 model. TSM did that so they can tie the pieces together, to
7 fairly look at did they think the whole system for the
8 repository can operate, and I thought they represented that
9 very well in the way they modeled those activities in TSM.
10 And, that is probably subject to the opinions of whoever is
11 looking at the model and how familiar they are with the
12 inputs. We felt that that was sufficient.

13 ARNOLD: Okay, one last question from the Staff?

14 ROWE: Rowe, Staff.

15 Just one quick one, David. When you do the
16 revision to the TSM model, what kind of time steps are you
17 going to use for the site operations?

18 RHODES: To tell you the truth, right now, I don't
19 believe we have plans to revise the TSM model to change the
20 time step.

21 ROWE: So, you're still not going to get a
22 representative model. It's going to go back to what Mark was
23 saying.

24 RHODES: What the TSM is currently set up to do, it
25 allows them a tool that represents the interactions of the

1 different components of the repository to be exercised--

2 ROWE: --another time step, aren't you?

3 RHODES: Well, for an eight hour time step, when you're
4 talking about shipping casks from a generator to the
5 repository, and sending the casks back to a generator within
6 a two week period, does it matter whether it's an eight hour
7 time step if you can still show that you can meet the
8 requirements?

9 ROWE: No question, I agree with you 100 percent. For
10 the up to the gate eight hour time step, it would be stupid
11 to do anything other than that. I'm talking about inside of
12 the gate where you've got evolutions that--

13 RHODES: We would not revise the TSM to reflect that
14 much detail inside the gate. The model that we had and
15 discussed on the previous slide was intended to be a SimCAD
16 integrated model, not a TSM model, although they both use
17 similar tools, it would be the integrated facility models
18 expanded to reflect the balance of plant.

19 ROWE: So, you will do a detailed one with a smaller
20 time step integrated for the site facility?

21 RHODES: The model that we would use would be the minute
22 time steps that we're currently using for the integrated
23 facilities.

24 ARNOLD: Okay, we're running behind. But, I want to
25 thank John Orchard, Jim Low and Dave Rhodes.

1 GARRICK: Okay, I guess we have a scheduled break.
2 Let's see if we can limit it to about ten minutes, and get
3 back on schedule a little better.

4 (Whereupon, a brief recess was taken.)

5 GARRICK: Okay, Mark, it's your show.

6 ABKOWITZ: Okay, thank you, John.

7 We're entering another panel session here, and this
8 one is designed to ferret out some of the issues that are of
9 a cross-cutting nature in such a way that assumption about
10 one element of this waste management system may have
11 implications in terms of behavior in other parts of the
12 system. So, we're really kind of constructing this panel
13 from the standpoint of not only collecting issues that the
14 Board would like to learn more about that are sort of more at
15 the integration level, but also to clarify some of the issues
16 that have been raised already in terms of where they were
17 first presented, but the extent to which there may be some
18 carry-over effects as well.

19 We're going to conduct this panel similar to the
20 ones we did this morning, where our panelists will each give
21 a brief introduction, and then we'll open it up for more
22 general questions.

23 We have on our panel today Dave Zabransky from DOE,
24 Adam Levin from Exelon, Rod McCullum from NEI, and Steve
25 Frishman from the State of Nevada. I'd like to ask everyone

1 to try to be fairly concise with their statements because we
2 are behind schedule at this point, and this particular
3 session doesn't really have a great deal of time allocated to
4 it, given that we've got four people involved.

5 So, if you would just kind of introduce yourself in
6 the order that's listed here on the program, and then, David,
7 you can start with your comments.

8 ZABRANSKY: I'm Dave Zabransky from DOE, Waste
9 Management Office, and thank you for letting me come back.

10 LEVIN: Adam Levin, Exelon Generation. Again, I'm the
11 Director of Spent Fuel and Decommissioning for Exelon.

12 MC CULLUM: I'm Rod McCullum. I'm NEI's director for
13 Yucca Mountain Project. I've been working at NEI for about
14 ten years now on issues, things we've done to try to support
15 the repository. Before I was at NEI, I was in a variety of
16 design engineering, licensing positions with industry, as
17 well as branch chief of nuclear safety at DOE, Chicago
18 Operations Office. So, I've seen the system we're trying to
19 integrate from both the government and the industry side, and
20 hope I can lend a little bit to the discussion today.

21 FRISHMAN: I'm Steve Frishman, technical policy
22 coordinator for the Nevada Agency for Nuclear Projects. I've
23 been here longer than I intended to be. I've been a
24 consultant to the agency since 1987. Before that, I was
25 director of the equivalent agency for the State of Texas,

1 where I worked myself out of a job. So, here I am.

2 ABKOWITZ: Okay. David?

3 ZABRANSKY: Okay, I want to start by saying that I'm
4 going to talk a little bit today about the Total System
5 Model, and the presentation here with the number of pages in
6 it, this is actually something that I worked on very
7 peripherally. It's in our office. Mr. Don Kimmel, who I
8 think has talked to you, really works on this on a regular
9 basis. But, unfortunately for me, he's spending a couple of
10 weeks in Europe with his wife celebrating her birthday, so
11 I'm going to try to pitch hit, and hopefully I can answer
12 your questions as they come up.

13 I'll go through this very quickly. There's a lot
14 of words on these slides, but we've talked about a little bit
15 already. The Total System Model is a model that's used to
16 look at an integrated approach to a whole waste management
17 system from the generator sites to emplacement at Yucca
18 Mountain.

19 It's flexible, it's used for "what-if" studies and
20 is created to allow a more--look at what would happen if it
21 wasn't part of the system change, and how would it affect
22 other parts of the system.

23 It provides insights that aid decision-making. It
24 doesn't provide design solutions.

25 Next slide. Again, I think you've heard this

1 before, so I'll go through it quickly. It's PC-based
2 commercial software. Real-time, object-oriented. It's flow
3 logic diagrams.

4 It's an event-driven model whereby the completion
5 of one step triggers the next step. Right now, as you've
6 heard and we've talked about today the simulation is eight
7 hour time intervals, which is sufficient for the level of
8 detail that's being looked at with this model.

9 It incorporates capabilities and waste management
10 needs at each waste generator site. So, to the extent we
11 have information at each site, those have been incorporated.
12 It uses rail and highway routes described in the Yucca
13 Mountain FEIS for modeling purposes.

14 Next page. The current version of the model is
15 consistent with the License Application design, and
16 repository surface facilities are modeled using process times
17 determined by others. David Rhodes talked to you about how
18 they did that. That's in this model. This model doesn't get
19 down to that level of detail. It gets input from other parts
20 of the organization.

21 Moving on to the next slide. In the past, we have
22 used a model for a number of analyses. We looked at in 2005
23 when we went to the TAD program, to look at the impact of
24 canister-based systems on the total waste management system.
25 An evaluation of alternative operating area configurations to

1 support the CD-1 decisions. Thermal management scoping
2 studies in 2007. And, we use it annually to support work
3 that's done on developing the--has input to the Total System
4 Life Cycle Cost estimates.

5 Some of the insights that have been gained by using
6 the model, and this is a summary from various studies. A
7 canister-based approach has faster processing times and
8 higher throughput rates than a bare fuel handling system at
9 the repository. That the canister-based approach can meet
10 the target waste acceptance rate, stay within the 21,000
11 metric ton aging pad capacity, meet subsurface line load
12 criterion, which was at that time 1.45 kilowatts per meter,
13 and be completed within the 50-year operating time.

14 Also, the model gave us insights that the TAD
15 canister-based approach can be accommodated by about 90
16 percent of the commercial spent fuel. That would be included
17 in the License Application.

18 Moving on to the next slide. Again, key thermal
19 constraints on the receipt of commercial spent fuel are the
20 minimum five year out-of-reactor requirement in the standard
21 contract, and the thermal limit on transportation casks,
22 which has been assumed for use in the model to be 22
23 kilowatts, consistent with current cask designs.

24 OCRWM can accept CSNF up to the assumed thermal
25 limit of the transport casks, and can emplace commercial

1 waste packages up to 18 kilowatts per waste package, and 2
2 kilowatts per meter line load without exceeding the aging pad
3 design capacity, the postclosure thermal limits, rock wall
4 temperature limits, et cetera, and the 50-year lifetime.
5 Those are other insights that were gained from using the
6 model.

7 Moving on to Page 8. Thermal emplacement strategy
8 affects the amount of CSNF aging capacity required.
9 Emplacement to just meet the postclosure thermal limits
10 resulted in a maximum aging requirement of only 10,400 metric
11 tons. Now, that's a lot of assumptions that go into that as
12 to who is going to ship what and when, and how they're going
13 to provide it to us. And, those are all assumption driven.
14 There is no information the Department has can really let us
15 know exactly what the utilities are going to ship us at this
16 time.

17 TSM results from thermal management scoping studies
18 supported the LA. The studies are sited there. A baseline
19 change proposal was initiated and raised the thermal
20 constraints to current LA values of the 18 kilowatts per
21 waste package, and the 2 kilowatt per meter line load. That
22 was approved in March of 2008.

23 Closing, so we can move on and have further
24 discussion, the total system model current status. Again, as
25 we talked about throughout the day, and I've talked about

1 earlier, the program priority in FY09 will be to support the
2 License Application. So, at this point, this model is in a
3 maintenance mode. The documentation is current for analyses
4 performed to date, and on-going analyses is merely being done
5 right now to support the annual TSLCC evaluation. And, we
6 think that that level of effort at this point in time is
7 appropriate. And, we can talk more about that later.

8 ABKOWITZ: Okay, thank you. Adam?

9 LEVIN: Okay, thank you. I wanted to touch upon two
10 subjects today, one being what I see as being the keys to a
11 successful operation using TADs systems at Exelon, and the
12 second being transportation planning.

13 So, let me get to the first slide here. The most
14 important item with respect to success is DOE must work with
15 us very closely to plan the shipments, because we need to be
16 able to work around existing plant outages. Our outages
17 normally occur in the spring and the fall. Obviously, low
18 load times for us, that's an important calendar to maintain.
19 We are refueling annually at the boiling water reactors, and
20 annually at the PWRs, and every third year, we actually have
21 two refueling outages, which I doubt that we would be able to
22 ship anything off-site in that third year.

23 The winter campaigns are going to be limited at
24 some of the sites. As the temperature drops below 32
25 degrees, there's limitations with respect to handling of the

1 casks. So, we are constrained by weather, by current plant
2 operations in terms of when we can actually load casks and
3 get them off the site.

4 I should say this. In terms of when we can
5 actually load casks and get them staged for getting them off
6 the site. We can work around the opportunity to get them off
7 site during the spring or the fall, or at some other time.

8 It's not really as complex as it appears, in my
9 opinion. I think what we need to do is just make sure that
10 we have sufficient ancillary inventory and rolling stock, and
11 I think that's the key to making this successful.

12 And, the most important thing to us, of course, is
13 adherence to schedule and thoughtful contingency planning if
14 we do run into a bump where we can't get TADs off the site,
15 or systems off the site in a given year, we want to be able
16 to have the flexibility to go to an alternate site to move
17 fuel.

18 Next slide, please. One of the considerations that
19 we have is that the first time that we actually use the
20 system, we're going to have to have something available for
21 training and dry runs, and that's going to be--we'd like to
22 do that, or we'd like to be able to schedule that about 12
23 months in advance of first planned use, first planned
24 shipment. And, that's going to require that we had the TAD
25 shell, and we can do the welding mock-up and actually do a

1 weld, the ancillary equipment available to us, including the
2 cradle and impact limiters, so we can actually do all the
3 physical operations that are necessary and get off-site, as
4 well as the operating procedures.

5 Subsequent deliveries I think can be made on a six
6 months prior, preferably a nine months prior schedule in
7 advance of planned shipment.

8 The other thing that I think we need to see is
9 making sure that minimum shipments from the site are
10 equivalent to one refueling outage, 300 BWR or 90 PWR
11 assemblies. That seems to make the most sense in terms of
12 how this is laid out for us. Rather than shipping one cask
13 at a time, we'd like to be able to ship six, seven, eight
14 casks if possible.

15 Touching for a moment on transportation planning.
16 While we recognize that this is the purview of the Department
17 of Energy, we also recognize that the Exelon name is likely
18 to be attached to that cask, all the way down the road, until
19 it reaches its final destination. And, so, for that reason,
20 we're going to stay intimately involved in one way, shape or
21 form with the transportation process.

22 From our own perspective, as we look at the long-
23 lead versus just-in-time utility pieces, there isn't a whole
24 lot that we believe that we need to do over the next five or
25 six years, given that the Department doesn't plan on its

1 first transportation campaign for another 12 years, or so.
2 As we step back and look at all this, we notice that there's
3 been significant changes in security. There's been changes
4 in NRC regulations. Those two have occurred over the past
5 ten years, so we don't know what will be coming along five,
6 six, seven years from now . We certainly don't want to get
7 too far ahead of the game and spend a lot of effort and time
8 trying to do this.

9 The other piece that we are concerned about I think
10 from our perspective in terms of transportation planning, and
11 we've had this happen to us before with shipping large
12 components, is the high turnover rate of first responders.
13 Typically, we find that two, three, maybe four years, we get
14 our first line, first responders in place, and as such, we're
15 not sure that we'd be ready to go out right away and try and
16 line up first responders and get everybody on board with
17 transportation plans.

18 And, of course, the final issue is technology
19 changes, and that is that five, six, seven years from now,
20 there could be things that are significantly different than
21 they are today with respect to the casks themselves, the
22 transportation overpacks, with the rail cars that are going
23 to be used. So, we're a little hesitant to get out in front
24 of that game until we know that there's a definitive plan
25 laid out five years or so in advance.

1 That's all I have for the moment. Thank you.

2 ABKOWITZ: Thank you, Adam. Rod?

3 MC CULLUM: Thanks. I don't know how much I can add to
4 the discussion you had between Adam and Dave this morning,
5 and then what they've just said. But, I'll try and cover the
6 broad perspective from the 100 percent of the industry. If
7 we can go to the first slide?

8 This is the system as it is now. We have
9 approximately 60,000 metric tons of used fuel in the pool, or
10 dry casks. Right now, about 11,000 tons of that is in dry
11 storage, and over 1000 casks at 47 sites. We will more than
12 double this by the earliest projected repository operating
13 date of 2020 at 70 sites. One thing to know here is that if
14 we do deploy TADs, as we hope we do, in 2013, that number of
15 casks will go up, because as Adam mentioned, there's a 1.5 to
16 1 ratio of the TADs to the types of DPCs we are currently
17 loading. So, that's the system, that's the inventory we're
18 trying to get to Yucca Mountain.

19 If we can go to the next slide, now, when we talk
20 about integrating in the broad industry context, we have in
21 our industry what we call an integrate use fuel management
22 policy. This is industry's policy as to how we're going to
23 address managing this system. Now, this is integration in a
24 somewhat different context I understand than what the Board
25 is asking about today. However, it is important for the

1 question because these things will impact the overall system,
2 particularly when you consider the time frames involved. We
3 have a three pronged approach. We're hoping to develop at
4 some point interim storage at centralized locations,
5 particularly with respect to cleaning up the shut downed
6 plants.

7 And, research and development, there's a lot of
8 things going on in advanced fuel cycle technologies. There
9 was a GNEP initiative. There still is a GNEP initiative.
10 What that will evolve into in the next administration, many
11 new things from new reactor designs to reprocessing products,
12 different types of transportation scenarios, we don't know
13 where we're going there, but certainly there would be some
14 fuel initially going into research, and perhaps to some
15 larger scale facilities at some point in time. Again, the
16 time frames are relevant here.

17 Of course, a subject the Board has been primarily
18 concerned with is disposal. The Yucca Mountain site was
19 approved in 2002. The Yucca Mountain development is the law.
20 The licensing process will be done, and, by the way, I do
21 want to, on the record, congratulate my friends from DOE for
22 getting that License Application in and getting it docketed.
23 So, we're proceeding with that. It's very exciting to be in
24 that point. And, so, anyway, we have a range of short, long,
25 and medium range goals that we're pursuing on all three

1 elements of the strategy. I would say that industry is
2 certainly not putting all of its eggs in one basket at this
3 point.

4 Now, in terms of integration, more in the context
5 the Board is asking, if we go to the next slide, and I talked
6 to the Board about this before, so I won't go into a lot of
7 detail, that really is the value of the TADs. The bridge
8 analogy, cleverly or not, the bridge is built on--there's
9 supports made of pictures of TAD canisters, early pictures of
10 TAD canisters. So, the TAD is the first real substantial
11 integration tool developed, and it really is an outstanding
12 one, because what it does is it eliminates a lot of fuel
13 loading. You only have to load once at the reactor site.
14 That's a tremendous risk reduction in the whole system.

15 And, the second sentence, I'll pause on this a
16 little bit, connecting the long-term disposal goals to what
17 happens in the real world. I mean, for years, we had folks
18 like Adam here concerned with what they're doing on a day to
19 day basis at reactor sites. We had folks like Abe Van Luik
20 and some of the others out at DOE who are concerned with
21 what's going to happen to this fuel 10,000 to a million years
22 in the future. And, these lines of thought had not come into
23 alignment prior to the TAD exercise. And, we were able to
24 successfully align it. We now have a single system that
25 works for, potentially if the business concerns are

1 addressed, works for folks at the reactors and works for the
2 folks modeling the repository. That makes it a tremendous
3 integrating tool.

4 But, just like in Washington, D.C., we can't
5 survive with just one bridge across the Potomac. We have
6 many bridges across the Potomac, and they're all pretty much
7 all stopped at rush hour, but, you know, we can't survive
8 with just the TAD. We are going to have to develop more
9 integrated tools. I would submit to you, depending on how it
10 plays out, interim storage could be a very effective
11 integrated tool, and that if you're trying to harmonize
12 loading of Yucca with the unloading of the reactors, and you
13 had something in between as a buffer, that's also an
14 integrated tool. There may be more. You bring in recycling.
15 How's the recycling facility play into this? All that sort
16 of stuff. So, we need more bridges. And, I think that's
17 really--I encourage the Board to look more broadly at this
18 topic of system integration in light of what we call
19 integrated strategy. Now, of course, viewing the TADs is
20 they're similar to DPCs, but as has been mentioned, they cost
21 more.

22 Going on to the next slide, a couple points here.
23 I'm not going to go down this in detail. This is what
24 accomplished with the TAD. And, I think this is evidence of
25 a couple things. One, the industry and the Department of

1 Energy can work together to develop necessary integration
2 tools. We can do so on a very aggressive schedule. You look
3 from November of 2005 to May of 2008, a little over two and a
4 half years, we went from the TAD being something we had never
5 heard of, to the fact we have real vendors out there
6 designing and seeking licensing of real TADs. In fact, one
7 of the vendors has a licensing meeting next week with NRC.
8 So, those licensing processes are proceeding.

9 And, it's also substantial proof that for those who
10 might have doubted it, and I think the licensing process is
11 and will continue, that DOE can produce a quality product on
12 schedule. And, that's very important. These vendors would
13 not have bid these jobs, they would not be putting their own
14 resources in anything, including a third vendor that's not
15 even getting any DOE money, into working with these things if
16 this wasn't a quality specification, and a quality
17 procurement. So, more congratulations to DOE, but evidence
18 that we can do integration when we put our minds to it.

19 Go on to the next slide, and I will not dwell on
20 this. We talked about the benefits of the TAD. They do
21 provide a more tangible connection to disposal, which I think
22 as Adam spoke about this morning, has value in his business
23 model, being able to tell folks that this canister says, you
24 know, self-addressed stamped envelope, send to Dave Zabransky
25 at DOE, and he'll put it in Yucca Mountain. It has a place

1 to go. It's not just a canister sitting in your community.

2 And, we were able to resolve the technical issues.
3 What remains now are the commercial issues. This gentleman
4 and this gentleman are still working on that. We realize the
5 benefits of the TADs? I think so. Of course, we'll only do
6 it if the utilities can justify it as a smart business
7 decision. And, again, that's up to these gentlemen to figure
8 out how they can make that happen. And, DOE, which they have
9 done so far for the most part, must continue to support the
10 vendors with timely decision making. The vendors, especially
11 if they're trying to get licenses and meet DOE's schedule,
12 can't be in a start/stop process. And, industry must have
13 confidence that the Yucca Mountain licensing process will
14 continue.

15 And, this is where the timing is absolutely
16 beautiful here. We, if everything goes well in TADs, will
17 not actually be facing decisions on whether or not we will
18 buy TADs, how many TADs we will buy, where we will deploy
19 them, somewhere around 2013. Now, that's after three to four
20 years, so we will know where--we will even know that this
21 licensing process has succeeded in getting a construction
22 authorization, or is at least getting there. And, also, it's
23 at the end of the next administration. So, the next
24 administration will have sought funding, and the next two
25 Congresses will have provided funding to keep that licensing

1 going.

2 So, the confidence industry needs to make a smart
3 business decision, because confidence is a big part of
4 business decision making, particularly our industry, you
5 know, where we're investing in new plants, given the history
6 of the old plants, is something that we're addressing
7 challenges us. We will have that level of confidence on the
8 right time scales moving forward, and we'll move forward to
9 the next slide.

10 So, beyond TADs, building those other bridges. You
11 know, we're talking about 2013 for TADs, 2020 for the
12 repository. The system will evolve significantly between now
13 and then, particularly as interim storage and at least
14 reprocessing research, if not recycling research, advanced
15 technology research, if not a conventional reprocessing
16 facility come into play. And, the TAD experience
17 demonstrates that when we get to those points in time where
18 we're going to need those other bridges, we can move pretty
19 fast and we can move pretty effectively. We can get the
20 right folks in the industry together, we can get the right
21 folks in government together, and we can make the integration
22 decisions.

23 So, the TAD right now puts us in a great position.

24 It's been developed in just the right time frame and
25 parallel to the licensing process, and this had to be a

1 parallel process to be successful, so, that we can then take
2 the next steps.

3 But, I think the bottom small print there, it's
4 really the fine print thing, is very important. It says,
5 "Specific system operational strategies cannot be defined
6 until the configuration of the system at the time is known."

7 And, between now and 2013 and 2020, a configuration of the
8 system is going to change. Business conditions between these
9 two gentlemen are going to change. He's got agreements.
10 He's going to make perhaps more agreements, who knows,
11 different agreements. The utilities are going to make
12 different agreements, interim storage, loading, more casks,
13 hopefully TADs by 2013.

14 So, given the experience we've had in the two and a
15 half year time frame, we're making a very significant
16 integration step, and given that it's only 2008 right now, I
17 think when you look between 2013 and 2020, we have time to do
18 the system integration. And, I think it's consistent with
19 what Dave said where they've kind of got their model on
20 maintenance mode right now. I would agree with that.

21 So, going to the concluding slide, that's really
22 the point, is that we're pursuing a much broader integrated
23 approach to this industry. The TADs are tools that we are
24 using, and we should develop tools when it is appropriate to
25 develop them. And, you know, the message to the Board is

1 perhaps it's too early to get too far into the details of
2 system integration at this level. The system is proceeding I
3 think at an appropriate pace, and perhaps I would suggest
4 also that the Board might look at some of the broader issues,
5 how things like interim storage and recycling might impact
6 the Yucca Mountain system, as well, as we go forward.

7 But, I think we've got everything stages and are
8 proceeding in the right sequence here. And, look forward to
9 hopefully continuing to proceed with that, continue to work
10 with the Department of Energy to integrate.

11 Thank you.

12 ABKOWITZ: Thank you, Rod. Steve?

13 FRISHMAN: I didn't bring any slides because I decided
14 I'd rather just speak for a very few minutes about one topic
15 that's involved in integration, rather than trying to go over
16 a whole gamut of things that could be talked about.

17 And, as some of you might suspect, the piece that
18 is of great interest to me, and the way it's tied in, is the
19 aging facility. The aging facility is designed for 21,000
20 metric ton storage, 2500 spaces for individual aging
21 overpacks, 100 DPCs, and there's no rationale that I can find
22 anywhere for 21,000 tons. We just heard Dave say 10,400, and
23 that it's all based on assumptions. I've seen documents that
24 say less than 11,000. And, the key to it is the suggestion
25 that's made in at least one of those, that the real look is,

1 or the real need is for--or, the suggestion is that there's a
2 need for four years of inventory in order to support meeting
3 the thermal requirements. I can find no basis for even that
4 determination.

5 I think what we're really looking at is, and I
6 won't try to build on Rod's bridge analogy, but what we're
7 really looking at is an integration to get the waste out of
8 the reactor and into centralized storage in a location where
9 it's illegal. It is an MRS as being designed. And, there's
10 no basis at all for it becoming essentially an away from
11 reactor storage that would, of course, meet one of their
12 objectives.

13 It does decouple receipt from emplacement, and it
14 does it on such a grand scale that it does look a lot like it
15 actually is, an MRS. So, from that standpoint, you can--from
16 some of the things that are, at least one presentation we
17 heard today--another thing that I've been able to piece
18 together is that at least 43 percent of the TADs will spend
19 some time in the aging facility. And, it looks like whether
20 they need it or not.

21 And, if you look at the presentation today on
22 surface facility design, you can find enough numbers in there
23 to pretty well verify that number. So, it really is just an
24 interim storage facility, the extent to it which integrates
25 and optimizes the operation of the repository, can't be

1 determined, or at least the Department has not shown any way
2 that it has tried to determine it.

3 So, if its objective is to optimize, then there
4 needs to be an analysis of that optimization. And, I think
5 your staff has done an analysis that shows that if you look
6 at the system hard enough, you may not even need that four
7 years inventory. And, there are other ways to calculate it,
8 and I think DOE needs to find a way to justify it in terms of
9 optimizing repository operation, rather than optimizing the
10 wish to get the waste away from the reactors.

11 Now, what's one of the consequences of this aging
12 facility? Aside from the fact that it probably will end up
13 with some legal consequences at some point, there is a major
14 consequence that has not been looked at very much, and it's
15 also almost impossible to look at it at this point, and for
16 reasons that I'll mention, and that's that it represents a
17 really enormous unnecessary order exposure. And, it exceeds
18 the project design criteria, which is a goal of 500 millirem
19 per year per worker. It's classified as a radiation Zone 4,
20 which nominally sets out occupancy of less than 32 hours per
21 year, and that's because radiation Zone 4 is designated for
22 infrequent occupancy because it has exposure of 15 to 100
23 millirem per hour for workers.

24 The specs for the TAD spec on the aging overpack at
25 40 millirems per hour contact exposure. So, you have a

1 facility where you're exposing workers tremendously because
2 they have to be there, and it's going to be, from the looks
3 of it, in pretty much constant operation.

4 And, just as an aside, in looking at the exposure
5 rates for the aging facility, I came across the reasoning
6 why, for the aging facility, one of the specs is that the
7 aging overpack must remain in an upright position when
8 there's an event with a 3G acceleration. The explanation was
9 that in order to tie these down, what they would have to do
10 is use 24 clips around the base of the overpack, and they
11 estimated it would take a worker 15 minutes per clip to
12 install those, and that that would create an unacceptably
13 high dose rate. So, instead, they came up with it's got to
14 stand alone. But, it's interesting that they, you know, they
15 noticed really high doses, but it's okay to have medium high
16 doses.

17 Now, the design for the TAD and the overpack is
18 uncertain to the extent that worker tasks can't really be
19 detailed, and that's where you try to control exposure to
20 workers. Now, they're using a whole bunch of assumptions
21 about the design in their dose calculations, and these are
22 all simplifying assumptions, and what they say is that these
23 assumptions would be revised to more realistically reflect
24 the source term when the designs are done. So, right now,
25 you have a facility that is sort of built into the system

1 mainly to serve another need, perceived need, and results in
2 extremely high worker doses that are avoidable.

3 And, the level of dose is similar to the dose that
4 the workers who first received the containers at the
5 repository facility would be getting, and they tried to
6 arrange their task times in a way that will reduce their
7 dose. And, now, you have another facility that is
8 essentially unnecessary where you're giving workers an
9 equivalent very high dose, and the way it's designed, the
10 dose is even higher than it has to be, just by the placement
11 of the packages and the way the packages are arranged.

12 So, the issue of the aging facility I think is an
13 important one because it doesn't demonstrably help optimize
14 operation. Sure, some level of surge probably is necessary.
15 But, the assumption of 21,000 tons of storage is not
16 supportable anywhere. The assumption of four years inventory
17 is not supported anywhere that I can find. And, overall, the
18 consequence is an unacceptable one because it's unnecessarily
19 dosing workers.

20 ABKOWITZ: Okay, thank you. We'll open it up for Board
21 questions and comments at this point. And, I would encourage
22 any panelist to pipe in if they want to contribute, beyond
23 whoever the initial question is directed to. And, we'll
24 start with Andy.

25 KADAK: Kadak, Board.

1 The words sound business decision trouble me, not
2 that I don't understand it, but it doesn't mean that there's
3 a solid commitment to use TADs. And, I don't want to get
4 Dave in trouble here, but what Adam suggested was some, and,
5 actually, Rod suggested there's some incentive from DOE to
6 actually use the TADs. Is there any discussion along those
7 lines that would suggest that in the sound business decision
8 model, utilities would choose to use TADs? Adam, you already
9 said that you'd be willing to take the bullet for the good of
10 the nation, and spend more money over the life of the
11 facility.

12 LEVIN: I think in any business decision, you're going
13 to step back and look at many factors. DOE's compensation,
14 or lack thereof, would be one of those considerations. I
15 think there's other factors which need to be considered, one
16 that I mentioned this morning, which was that we want to be
17 in a position at some point in time to demonstrate to the
18 folks where we've sited these plants that we will eventually
19 get the fuel on-site, and to us, that has an economic value.
20 It's soft, I can't tell you what those numbers are, but it
21 does have an economic value to us.

22 So, I think those are just two examples of the
23 kinds of things that would go into the business calculation.
24 There are others.

25 ABKOWITZ: Rod?

1 MC CULLUM: Right, I think that that soft economic value
2 is something that all the utilities are thinking about, and I
3 think they're putting different amounts of weight on it.
4 There are some utilities, like Exelon, where they're very big
5 and they have very strong business in the future with the
6 nuclear industry, where they're putting a higher value on
7 that, and that enters into their business decision making.

8 There are other utilities right now where they're
9 not putting much value in it at all, but that's why I said it
10 was so important, the timing of this, because right now in
11 2008, it doesn't really matter how we're valuing the TADs in
12 our business cases. It matters starting 2013, and will mean
13 a lot more progress in the life of the process at that point,
14 and it will be another administration and two more Congresses
15 at that point. And, that level of confidence that the
16 utilities may or may not have at that point in this project
17 will certainly affect their calculation of how much value to
18 put on the touchy feely soft aspects of the TAD.

19 I would anticipate if you had a construction
20 authorization by 2013, if you had an administration that had
21 supported it the whole way, and if you had Congress that had
22 funded it, almost every one of the contract holders would be
23 putting a very high value on TADs at that point.

24 KADAK: Just another follow-up with Steve. Steve, I
25 congratulate you because apparently you had read our thermal

1 management report that we prepared, and I thank you for
2 reading it. Apparently, you are one of very few people.
3 Just for those of you who have not read it, what the report
4 basically says is with appropriate amounts of ventilation,
5 the storage pad size could be quite small and still meet the
6 goals of loading the repository. And, the loading of the
7 repository, in terms of packages, could go much higher than
8 the 18 kilowatts, which I think might be the driving
9 assumption for the 21,000 metric tons of heavy metal that's
10 presently being stored.

11 The question I think is now has anybody thought
12 about the blending needs to reach the 18 for loading? And, I
13 asked that question of a gentleman earlier. He didn't really
14 seem to understand that. But, is there going to be a lot of
15 blending going on at this wet facility, or the other one
16 that's non-TAD, that would complicate, if you will, a need
17 for storage, on-site storage?

18 FRISHMAN: We're always having to make assumptions about
19 what's going to come in the door. And, it seems to me that
20 the incentive at the reactors, and you can tell me if I'm
21 wrong, but it seems to me the incentive at the reactor would
22 be to get rid of the hottest fuel as early as possible. It's
23 a business case, clearly.

24 KADAK: And, that's at 22?

25 FRISHMAN: That's at 22; right. But, at the same time,

1 I think with the cue the way it's set up, and with just the
2 logistics of shipping and how much can be accepted, I don't
3 think you can call 22 the baseline. I think it's possible
4 that you can be fairly near 18 on receiving. And, if you
5 look at what's there right now, you can't keep up a very long
6 stream at 22, because of the cue. So, I don't know, I think
7 it should be looked at in terms of, as you and your staff
8 did, first of all how can you manage that heat, and are
9 people really going to ship at 22? I'm not sure that they
10 will.

11 And, then, what's the blending that you need to
12 have, and is it possible you can actually, if it's just, you
13 know, tweaking by 1 or 2 kilowatts, is it possible that the
14 Department, just as it's negotiating a business deal, can
15 negotiate a heat deal when the TADs are being loaded. How
16 difficult would that be? So, I think they can, if you're
17 looking for small difference, and make a big difference, then
18 it's one where the Department, while it can't dictate, if
19 it's willing to do a business deal, maybe it's willing to do
20 a thermal deal, too.

21 ABKOWITZ: Dave, any comment?

22 ZABRANSKY: I guess getting back to the original
23 question, you know, then we get to the point of, you know,
24 you asked about the business case, and I spent more of my
25 life in the business world than I have at DOE, so I

1 understand the business case, and I used to make business
2 decisions as opposed to DOE decisions.

3 We are aware of what the utilities would have to
4 weigh in any kind of contract amendment that would address
5 the use of TADs. We're aware of the burden that may come
6 from the TADs from the standpoint of more systems, and we
7 need to recognize or determine a way of making that work.
8 And, we are having discussions with people to try to address
9 those issues. I can't speak to--I'll let Mr. Levin speak to
10 what utilities intend on loading, if they're interested in a
11 thermal deal. I can tell you that the reactions I've had to
12 those thoughts are absolutely no on the broader perspective.

13 So, I'll let Mr. Levin talk further.

14 ABKOWITZ: Okay.

15 LEVIN: Just very briefly, and I'm sorry you were not
16 here this morning, but I did go over the fact that Exelon, we
17 fortunately--we fortunately, are a little bit ahead of the
18 curve in that we're very much focused right now on loading
19 intermediate heat fuel into the central portions of the
20 systems that we're currently loading, with some low heat fuel
21 on the periphery. And, the reason we're doing that is for
22 dose management.

23 But, I anticipate that down the road a stretch, in
24 the 2013, 2015 time frame, that we will still have
25 significant quantity of low heat, low thermal load fuel that

1 we'll be able to load into TADs. I do know that other folks
2 in industry are not quite so lucky, particularly as a
3 difficult issue with the PWRs, in that a number of them have
4 already run out of cold fuel to load into TAD systems at a
5 later point in time. But, I can tell you from our experience
6 that I believe that we'll have the kind of cold fuel
7 necessary to be able to ship and potentially be disposed of
8 in the repository come the 2013, 2015 time frame.

9 ABKOWITZ: John?

10 GARRICK: This Board has been quite outspoken over the
11 years with respect to the issue of interaction, speaking of
12 integration, interaction between DOE and the utilities, and
13 of course fully aware of the court cases and the other
14 obstacles handicapping that very important process. But, I
15 was struck by Adam's comment about the importance of
16 scheduling the removal of the fuel from the generator site,
17 recognizing that plants engage in a lot of activities, and
18 have real sensitivity to manpower availability when you start
19 thinking about outages and seasons and other activities
20 associated with plant operations.

21 So, it appears that one of the real bottlenecks
22 here could be dispatching of the fuel from the utilities, and
23 I guess the question goes to David in terms of what
24 information and what research have you done to be able to
25 have confidence that you have a method of scheduling fuel

1 retrieval in a most efficient and effective manner?

2 ZABRANSKY: Well, let me answer your question. I'm not
3 sure the system is set up to be the most efficient system
4 that could be created. Adam just told you his constraints
5 are such that he's not looking at system efficiency. He's
6 looking at his efficiency. So, we're going to have to deal
7 with the fact that the system hasn't been created to run
8 efficiently. It's been created to service needs of
9 individual utilities.

10 Now, having said that, one, there is a scheduling
11 process in our contractual relationship that calls for
12 utilities to begin that process once we notify them that we
13 are now scheduling things. That starts about five years
14 before the beginning of operations. We will go through that
15 scheduling process in the current contracts, and it will
16 result in Adam telling us what he wants to ship when from
17 which site, us coming back with a proposed schedule, then
18 negotiating an actual shipment date. That will occur,
19 although like I said, beginning 63 months before, and ending
20 12 months before the actual delivery year.

21 Beyond that, some of the things that we have to
22 deal with is--I think it's encouraging, and I think Rod
23 talked to you a little bit about it, are we in litigation
24 with many people? Yes. Have we been able to talk to people
25 about a lot of things? Absolutely. We've become--you know,

1 litigation has gone now for almost 12 years. We've become a
2 little more mature in our management of that litigation, and
3 we can have very constructive conversations with our utility
4 customers without causing either of us problems in that
5 litigation front. So, that's really not been the issue that
6 I think the Board identified years ago. I think the whole--
7 indicated that, you know, Adam and us have a different
8 relationship, in that we have the settlement, so we have no
9 ongoing disputes. Other utilities who at the time we were
10 still litigating with, participated fully in that whole TAD
11 discussion, without either party feeling it was giving
12 anything up in the litigation front.

13 So, I think that's been managed fairly well. The
14 other complication is, and this is just an illustrative
15 example, Adam has specific schedules by which he's going to
16 shut his plants down and start his plants up. He considers
17 those proprietary, and won't divulge them to others, because
18 they're business sensitive. It's difficult for us. We will
19 manage that, but basically when he tells me my schedule is
20 this, I can't divulge that to anybody else because it's
21 proprietary, and I've got to work within those constraints,
22 because if other people knew when he was bringing his plants
23 down, they would sort of maybe jack up the price of
24 replacement power when he tried to buy it. Now, that's the
25 real world that we deal in, and we have to make it work

1 within that real world.

2 I will also say that, you know, it depends on the
3 timing. Had we begun operations in 2010, had we finished
4 that scheduling process we started in 2004, the fuel that I
5 would have been told by Exelon they wanted to pick up from
6 which plant beginning in 2010, it probably would be totally
7 different than what they're going to tell us they're going to
8 have picked up in 2020 by location and by fuel type. So,
9 it's really a dynamic process. It's got to fit together
10 pursuant to the rules that we have, pursuant to our
11 contractual relationships, given what the business world he
12 lives in, which is I'm not telling others what I'm doing, and
13 we've got to make it all fit together.

14 ABKOWITZ: Okay, thank you. I'd like to get some
15 clarification from Adam on a comment that he made on his
16 slide here where he says that "Subsequent deliveries six
17 months in advance of planned shipment." I take that to mean
18 that you would like to have the rolling stock and the
19 transportation cask available to you six months ahead of when
20 it's planned to leave your facility, loaded and ready to go;
21 is that correct?

22 LEVIN: We would like to have the TAD canisters on site.
23 Certainly, we would like to have the overpacks on site, the
24 transportation overpacks. I don't know that we need the
25 rolling stock six months in advance. But, we certainly want

1 to be able to get the TAD systems and do the necessary
2 inspections that we have to do in preparation for going ahead
3 and loading it.

4 ABKOWITZ: Okay. The reason I was asking that question
5 is that I'm trying to make some sense, and Dave referred to
6 the fact that you all are talking on a more regular basis
7 now, which I think is a good thing, but my understanding in
8 terms of the TSM runs that have been made is that there's an
9 assumption that there's a one week turnaround at the utility
10 site between when the transportation equipment is delivered
11 and when it's ready to go back out again. And, that seemed
12 extremely unreasonable if I were a utility and I was--to me,
13 that's just kind of exemplary of some of the integration
14 discussions that need to continue to take place, because if
15 that rolling stock is tied up for longer, then that means you
16 need much more rolling stock, and it has implication on cost,
17 et cetera, et cetera, et cetera. So, am I way off on the
18 disparity there?

19 LEVIN: No. Well, I did mention earlier that given the
20 reactor outages schedules, the time of year, et cetera, et
21 cetera, that I would anticipate that to resolve that, we
22 would need additional rolling stock. That's one of the ways
23 of doing it. You pointed to a specific example, which is a
24 one week turnaround of the rolling stock being brought to the
25 site, casks being put on the rolling stock, and taken away.

1 We certainly, if we have the opportunity to get TADs on site
2 in January, load them in June, and put them into
3 transportation overpacks in June, you can bring the rail cars
4 and impact loaders, impact limiters, excuse me, onto the site
5 July 4th. I think I can get them off by July 11th.

6 ABKOWITZ: Okay.

7 LEVIN: I think that's the turnaround issue. But, yes,
8 it will require more transportation overpacks in that
9 circumstance. So, I think there's some things that need to
10 be detailed a little bit more closely at some point.

11 ABKOWITZ: Before Dave answers this question, let me ask
12 another sort of related question. Like John, I appreciate
13 your comments, Adam, about these outage schedules, and
14 seasonal changes, and so forth. And, from a systems
15 integration standpoint, the surface facility is kind of
16 assuming that it's going to be fully utilized all year long,
17 but it sounds to me like the shipping schedules are going to
18 be more intense at times and less intense at other times. Do
19 most utilities plan their outages at a similar time of year?
20 And, clearly, all those up in the colder regions of the
21 country are going to all experience a desire to avoid
22 shipping in the wintertime. So, is there the potential for
23 those types of decisions to really disrupt the continuity in
24 terms of operations and receipt at the surface facility?

25 LEVIN: There may be some limitations. With the Exelon

1 facilities, although I said we generally are spring and fall,
2 there's quite a bit of latitude in that. We actually have
3 some outages going on in late January. We have outages going
4 on in November. So, there's some movement around that. I
5 was just trying to characterize it as a general nature.

6 I would expect that during the wintertime, you
7 might be looking at servicing the facilities that are south
8 of the Mason Dixon Line, as opposed to trying to bring fuel
9 in TADs out of Indian Point. So, I think it really will be--
10 it's not going to be a trivial problem to solve, but, it's
11 solvable.

12 ABKOWITZ: Would it be more solvable if there was some
13 flexibility in the allocation cue?

14 LEVIN: I don't know.

15 MC CULLUM: I think there is sufficient flexibility in
16 the allocation cue. I mean, you have a lot of consolidation
17 in our industry right now. These contract holders are now
18 parts of bigger companies, and cue spots are fungible. So,
19 to the extent to which Dave can go to a contract holders and
20 they can arrange to pick up the Prairie Island fuel after the
21 spring thaw, or whatever, that can be accommodated. And,
22 again, those negotiations will have to take place based on
23 the conditions that are in play at the time DOE is ready to
24 pick up fuel.

25 ABKOWITZ: David?

1 ZABRANSKY: All I was going to add to the discussion was
2 that, you know, Adam expressed a want, he'd want to see or
3 like to see, and, again, we've known for years, and I think
4 we being the industry, Adam, myself and others, that
5 ultimately what's going to occur nearer term to operations is
6 we're going to negotiate, in essence, sub-agreements as to
7 how we're actually going to implement on a utility specific
8 basis what happens when. And, that will occur. We've called
9 those site servicing agreements. Those will become
10 contractually binding documents on both parties. We intend
11 to do that. We intend to do that within that five year
12 planning window. That allows us to say, you know, this is
13 when I want you to do this. This is what I want you to
14 bring. And, that level of detail will occur, but it can't
15 occur until we know exactly where we're going, when we're
16 going, and what he wants done.

17 With respect to the overall industry, since I've
18 been doing this in the Seventies and early Eighties, yes,
19 it's historically been nuclear plants come out in spring thaw
20 because that's when the lowest power needs are. Now, having
21 said that, everybody can't be happy in this exercise. So,
22 DOE is creating a system that will have to have some service
23 capacity for things like that, so receipts can occur, maybe
24 not equalized over the year, and others may have to load fuel
25 when they really may not prefer to. But, that's part of the

1 negotiating process that will occur in the scheduling system.

2 And, as Rod brought up, the contract relations we
3 have allow for exchanges of places by utilities with our
4 approval, as they see fit. And, it was done for those kinds
5 of purposes, that only they can decide what matters more to
6 them as far as getting something out or not getting something
7 out. And, to the extent we can accommodate it, we'll agree
8 to do that.

9 ABKOWITZ: Okay, thank you. I'd like to thank all of
10 our panelists for their participation. And, Mr. Chairman, I
11 return the meeting back to you on time.

12 GARRICK: Thank you. That's an outstanding performance.
13 And, I'm going to turn it immediately over to Henry Petroski.

14 PETROSKI: Before I invite our next presentation, while
15 they're clearing, let me make a few comments that I think
16 certainly interest me, and I hope they will perhaps interest
17 you. But, lately in the news, there's been a very large
18 science/engineering project discussed almost constantly over
19 the past month or so, I'd say. It's a project that has been
20 decades in the planning, and construction. It costs many
21 billions of dollars in the final accounting. The bulk of the
22 project is underground. That's the whole purpose of the
23 project. But, it takes a large surface facility to make sure
24 everything is going underground correctly.

25 The project used a lot of computer models for the

1 design and planning, and it will continue to use a lot of
2 computer capabilities for its operation.

3 The project I'm talking about, of course, is the
4 Large Hadron Collider that was supposed to, more critical
5 just a couple of weeks from now near Geneva, was very visibly
6 in the press as starting up and starting up to full power,
7 which was supposed to coincide pretty much with a grand
8 celebration that was to take place in mid October.

9 For those of you who have been following this, you
10 know that it suffered some considerable embarrassments.
11 After a few days of shooting protons around the 17 mile ring,
12 it had to be shut down. It appeared to be a problem with a
13 magnet, one of the super cooled magnets that makes the whole
14 system work. They thought they fixed the magnet and started
15 it up again, and after another few days, they had an even
16 worse problem, and I think it spilled about a ton of liquid
17 helium, for example, which was super cooling the magnets.

18 Basically, the status now is that they've had to
19 shut it down for the winter, and I guess they're going to try
20 to regroup and figure out what happened and how they can be
21 sure it won't happen again.

22 Now, this is why I think prototyping and testing
23 are so important, not only to save the embarrassment of
24 something like this, but also to save the investment and to
25 save the credibility of those involved, and also to make a

1 system work as well as it could be.

2 So, I don't think I'm misrepresenting the next
3 presentation by David Rhodes, but he's going to tell us why
4 the Yucca Mountain project is not going to be a super
5 collider problem.

6 RHODES: Thank you. Just to set the stage, before I
7 joined Yucca Mountain Project in various capacities, I
8 started off the career with General Dynamics Electric Boat
9 Division, and I was a reactor plant start-up shift test
10 engineer and the assistant chief nuclear test engineer for a
11 couple of programs. So, I've had over eight years of
12 experience doing facility start-ups, operations readiness
13 reviews at a couple of other facilities, both through the
14 pre-operational phases where you're finishing construction
15 and turning over for testing, all the way through both cold
16 and hot operations, both pre and post core loads, and
17 critical operations and start-up testings, and including PSA
18 testings after they do their shake-downs. So, just to set
19 the stage.

20 Next slide, if you would. I do want to cover, and
21 I will mention the prototype and factory testing. I'll talk
22 about the pre-operational test program and the start-up test
23 program in some detail.

24 Next, please. The purpose of testing program,
25 primarily to ensure that the components and equipment can be

1 operated safety and dependably, and will not adversely affect
2 health and safety. Kind of generic, very high level, but
3 it's the intent of all the activities that we're going to be
4 doing here, this is the proof that what we said we were going
5 to do, will operate the way we said it will in a safe manner.
6 Will determine whether it has been properly constructed and
7 installed, whether they fulfilled both the operational and
8 the safety functions that were defined in the safety case,
9 the License Application, and in the technical specifications
10 of the design, and how they're executed by the contractors
11 for construction and equipment manufacturers.

12 The programs that we will be doing will be
13 verifying the respective design basis requirements. We'll be
14 doing hot testing to confirm radiation levels, making sure
15 that we're using surrogate materials, things like that, to
16 show that what we had done in the planning and the analysis
17 has been carried out, and that the associated exposure times
18 involving actual radiological sources are in line with what
19 we expect them to be.

20 We will meet all the regulatory and the licensing
21 requirements, and show that we're capable of complying with
22 the licensing specifications that we get back from the NRC.

23 Prototype/Factory testing. Prototyping is a fairly
24 well defined program. It's executed by OCRWM. We have
25 defined it. We are directing it. We are controlling its

1 performance by our partner contractors. It is conducted by
2 program contractors. Right now, the waste package
3 prototyping is done by the Idaho National Laboratory for the
4 waste package closure systems and the development of the
5 waste package prototype. They've got the top section that
6 they're putting together to actually show both the
7 fabrication and the closure systems for it. It is being
8 audited and observed through our QA programs and INL's QA
9 programs. And, OCRWM is providing evaluation of those
10 results to make sure that that prototyping program is meeting
11 our need in terms of the development of those components.

12 The prototyping of the waste package closure system
13 currently include full size waste package top and bottom
14 closure systems, or top and closure systems. Like I say, we
15 are developing the full size mock-up, the equipment, bridges,
16 weld arms, remote manipulators, all of the things that go
17 into it. It is set up to be two machine concurrent welding.

18 So, we'll start at opposite sides of the circle and then
19 work around the circle. It is the demonstration of what we
20 did analyze we need for the waste package performance. The
21 waste package performance includes those closure welds as
22 part of our confinement boundary. And, we are trying to
23 demonstrate that we can close that weld so that it has the
24 integrity needed to assure that the TSPA inputs were modeled
25 correctly, and that that package will perform as we analyzed

1 it.

2 The schedule, right now, it is ongoing. They are
3 rolling out those demonstrations of that two machine
4 concurrent welding to us right now. Those prototyping
5 activities will be complete prior to the final equipment
6 specifications before we go out for procurement of the items.
7 So, we'll do the complete program. We'll evaluate it, make
8 sure that it meets our needs, prior to going out and buying
9 any equipment related to the component. That's what the
10 prototyping that the developing force is going to be done
11 for.

12 Next, if you would. Right now, we have reviewed
13 the results to date. It is meeting our expectations for the
14 development both for the waste package and for the closure
15 methodologies. It will help define the final processes that
16 we actually go and mandate on the facility for actually
17 performing those closure welds inside our nuclear facilities,
18 the CRCF, and demonstrate other items that go along with that
19 closure, including the non-destructive examination
20 techniques, the qualification of the operators, the stress
21 mitigation that will be performed after the closure weld is
22 done to make sure that there are no residual stresses. So,
23 we'll be doing both the techniques and the performance in
24 developing the programs by which we will train operators and
25 everything else.

1 The largest gain in the throughput resulted from
2 the elimination of the middle lid in what was previously
3 called the three lid design. And, this is probably iterative
4 design, the analysis, the prototyping, it's all feedback on
5 itself so that the lessons we learn from the first part get
6 carried out in the second part. And, that's where we're
7 currently at in the prototyping, is this next iteration of
8 that part of the performance package.

9 We have realized reductions in the weld times based
10 on the prototyping activities to date. Previously, we were
11 above 50 hours for the welding. We are currently projecting
12 down about 44. We do expect that we will realize additional
13 gains in that welding time just for that portion of that
14 process.

15 Next. In addition to the closure system, we do
16 have prototypes set up for both waste package, waste package
17 emplacement pallet, and the drip shields for prototyping
18 activities. These activities are to confirm that we can
19 manufacture what we are designing. Can the methodologies
20 that the commercial vendors do actually product what we need
21 them to do with the needed level of reliability and
22 precision. We're going to be confirming the fabrication
23 methods, including obtaining the final desired material
24 properties, the capabilities of those performance welds,
25 developing a cadre of qualified vendors in order to provide

1 that equipment, confirm the techniques that we use. We
2 talked about the residual stress distribution and the outer
3 corrosion barriers of the waste packages. The NDE methods,
4 defining the components, the lessons learned and
5 incorporating that in both the operating procedures, the
6 inspection procedures, and all the other things that go along
7 with that.

8 Right now, those activities are scheduled. We will
9 be going and deferring some of those activities in the
10 development process until the program realizes that point in
11 the detailed design where we have to go and prototype those
12 activities. The need for the prototyping will all be
13 completed before we develop the final performance
14 specifications for the procurement of those items.

15 The dual purpose canister cutting machine will also
16 be prototyped. It's an activity that we have DPC cutting
17 activities. There is commercial information for that, not
18 specifically in the set-up in which we're configuring the
19 equipment, so, we'll go through the prototyping activities in
20 order to go and demonstrate that function, and will
21 demonstrate our ability to remotely perform those steps.
22 And, again, this will be a--it's a flexible schedule for when
23 we actually go and do that, depending on the program funding,
24 how much we get this year, next year, the year after, but in
25 all cases, it will be done before we do the procurement

1 specifications for buying that equipment.

2 Next, if you would. Factory testing. Factory
3 testing is an important component of what we're asking our
4 vendors to go and do. Engineering products will define the
5 SSC's performance, the systems, structures, components, the
6 performance for the individual items that we're going to go
7 out and procure. From the specifications, we'll identify
8 what we need from the applicable codes and standards, because
9 there are specific pieces that need to be confirmed by
10 factory tests. We'll pull them from the design performance
11 specifications, so that when we go out to a vendor, we'll
12 tell them exactly what factory tests we want them to perform
13 for us.

14 The contractor deliverables will provide those
15 factory results back. We'll also have a chance to review
16 them for acceptance and go and audit the facilities while
17 they're performing those tests. It will be both by the
18 engineering organization providing the specifications for
19 them, and the quality assurance organizations that will be
20 confirming that they followed the appropriate procedures.

21 And, then, the OCRWM program will actually pull
22 those, will audit those, will determine whether those factory
23 test results are acceptable or not before we accept the
24 delivery of the products. It's just the way we do business.

25 Next, if you would. The factory testing schedule,

1 right now, it is flexible, but it does start based on the
2 receipt schedules for the procurement activities. You've got
3 to back up from when your planned procurement is, so that you
4 can identify when they expect to do the factory tests,
5 negotiate, plant visits, whatever it is. We will be
6 completing the factory tests prior to accepting the products
7 at the repository for installation in the facilities.

8 Until we actually get to the point where we have
9 the detailed design for the procurement or construction,
10 which could be several years for various components, we won't
11 know a detailed schedule for when we're doing factory
12 testing. It's just impossible to predict at this point with
13 any accuracy. We do have the opportunity--

14 GARRICK: Does that present any problems in having time
15 to do the tests?

16 RHODES: We don't anticipate any problems for that. The
17 baseline repository schedule, which I get to in a later
18 slide, actually has a layout staggered sequence that includes
19 those periods when we're going to be procuring the equipment,
20 doing the factory testing, and then transitioning into pre-
21 operational phases where then we confirm what we need to
22 here, and go into the rest of the test phase.

23 All right, as I was saying, we do have the
24 opportunity to go back and refine what we're currently doing,
25 for example, for the throughput studies, based on the results

1 of the factory tests. As we go through this development
2 process, if we get different results than what we expect,
3 there's that process where you go back and re-analyze,
4 redesign, figure out whether specification changes are
5 necessary based on delivery capabilities of vendors, and you
6 can modify your throughput process to reflect any changes
7 that you determine by program analysis that you are going to
8 incorporate, and go back through, you do your license
9 evaluations, you do your equipment changes, you do the
10 redesign, you respecify the change, and then you again go
11 through the whole sequence, the factory testing and
12 acceptance of products.

13 So, we will be using the factory test program to
14 first, confirm, and then as necessary, make program changes
15 to what the design says for the proper performance of the
16 repository facilities.

17 All right, next, if you would. The pre-operational
18 test program can be looked at more along the lines of a parts
19 test. It starts with the installation inspections that they
20 do during construction, and the process of inspection,
21 turnover for testing, the actual component testing, this is
22 where we start with that more complicated inner actions that
23 we need. It continues through turnover, initial preparation
24 and conduct of the component functional tests, and you
25 confirm that the component works by itself, and then fits

1 within the system performance that you're going to be testing
2 as part of your integrated testing.

3 This is where they start with a dry run of the
4 equipment, including the mock-ups of the waste containers.
5 If I'm doing a crane, I have to say does that crane pick up
6 that waste container. That's where we go and determine the
7 basic performance of the crane, will it do the mission that
8 it's assigned.

9 Next, if you would. Schedules for this will be
10 defined in a very detailed testing program plan, which is
11 currently under development. It is expected, and we do plan
12 on doing the initial handling facility first, and then we'll
13 go through the canister receipt and closure facilities, CRC-
14 1, and then the wet handling facility, we'd go through the
15 pre-operational testing afterwards.

16 In the License Application general information,
17 Figure 2-1, there is a current plan that is provided that
18 outlines a staggered schedule for each of the facilities.
19 It's there for your look. I will offer that when we provide
20 the update to the License Application to the NRC post-
21 docketing, and then again when we do the update before
22 receipt and possess, there will likely be the updated
23 schedule that we have, with more detail than what you
24 currently see now. So, right now, it is a preliminary
25 staggered schedule that you can go take a look at.

1 All right, we do plan on using the initial handling
2 facility testing program as part of the operator training
3 program. We will be using that as part of our try-out,
4 shake-out of the other facilities. It is expected that the
5 IHF will be available a year before the operations, so that
6 we have that period of time in order to go and work out the
7 operational programs, and all the other procedures, in order
8 to demonstrate that we can satisfy our license requirements
9 that we expect to get back from the NRC.

10 Next, if you would. The start-up test program
11 picks up from those pre-operational or equipment testing
12 programs, and starts talking about the system performance
13 testing and integrated system testing. It's not just the
14 operation of the crane, but it's the operation of the crane
15 in relation to all the handling. It's the operation of the
16 canister transfer machine in relation to the whole facility.
17 Is it going to be operating with the slide gates, the
18 transfer trolleys, and the rest of the equipment that we
19 have? Is it going to work together?

20 Cold testing will include the dry runs of the
21 different waste types, based on where they're handled in the
22 facility. And, then, we proceed into the operational
23 readiness reviews that kind of bridges the cold to the hot
24 operations. We have to go and confirm that we are going to
25 be ready for the hot operations.

1 The hot testing is the initial start-up operations,
2 and this won't be done until after we do the receipt and
3 possess license from the NRC, so we'll have the issued
4 license in our hands, and allow us to actually go and use hot
5 materials. We have to go through that hot testing at that
6 point to confirm that we can handle the hot materials before
7 we actually go into full operations.

8 The schedule that we have will be defined in detail
9 when we do the test program plan, but right now, it is
10 preliminary, the IHF, CRCF and the wet handling facility,
11 and, again, what we have is identified in the general
12 information, Figure 2-1.

13 Next. The timing and things that we have between
14 the program that we're going to execute and the actual dates
15 when we get a receipt and possess license from the NRC,
16 currently, it's very preliminary. I don't want to talk about
17 it here. But the testing programs that we do put together
18 and we define in the test program plan will be based on what
19 we saw at other NRC license facilities. Right now, it's
20 characterized in some detail in the NRC inspection manual,
21 and INPO actually has a start-up program that they have.

22 It will also be similar to the DOE program for
23 start-ups that has been followed at the WIPP plant and some
24 of the others, so we know that the programs, they're very
25 similar, they're put along the same lines, our start-up and

1 test program will be done along those same industry standard
2 lines.

3 Next, if you would. Right now, confidence in the
4 results. The prototyping that we are doing is confirming
5 that what we assumed going into the development of the design
6 is coming out to be shown to be correct. As we're going and
7 doing the design prototyping, the design is being validated.
8 Right now, we have not seen anything that is contrary to what
9 we expected from those results.

10 We expect that the prototyping for the waste
11 package, the emplacement pallet and drip shields will prove
12 out those fabrication methods that we're going and doing.
13 And, right now, we do not expect that those fabrication
14 methods and things that we're going to be proving by
15 prototyping will have any great effect on the facility
16 throughput analyses that we've been talking about.

17 And, each step that we go through for the
18 prototyping and factory testing will further provide
19 additional confidence that what we did was done correctly.

20 And, the last part, I guess, was that the current
21 prototyping results currently are supporting what we're
22 modeling and that is, in part, because we're modeling the
23 results that are coming out of the prototyping, but the
24 assumptions that we had for those things that were not based
25 on our known personal experience, were able to go and bound

1 with the model results. So, what we're finding is less than
2 those activities that we currently did model. So, I think
3 we've got confidence in our facility throughput, and the
4 prototyping and things will end up being the proof of the
5 design and the analysis that we have done.

6 And, I'll open up to questions.

7 PATROSKI: Perfect timing. Howard?

8 ARNOLD: Arnold, Board.

9 We're familiar with the waste package closure one.
10 Is there anything else going on? I seem to recall from a
11 meeting back that somebody talked about prototyping the
12 actual Alloy 22 material and its fabrication, but I haven't
13 heard anything about that lately. Is there anything else
14 going on in this area other than the waste package closure?

15 RHODES: They were doing prototyping of the fabrication
16 methods. How do you go and bend the plate? How do you go
17 and get the welds on the side of the barrels, things like
18 that. Some of that is going along in conjunction with the
19 closure system that's going and welding the top plate. I'm
20 not the one that was involved with the development of that
21 waste package prototype to date, but right now, there are
22 some waste package development activities, like I say, being
23 done to support that final closure weld.

24 ARNOLD: But, that's it? The rest of this is all
25 future?

1 RHODES: Well, the emplacement pallets and the drip
2 shields will necessarily follow the waste package
3 development. Right now, those are not in next year's
4 planning. But, we do have them in the out-year planning.
5 So, we've got target dates for that based on what our funding
6 assumptions are to perform those prototyping activities, but
7 just not this year.

8 PATROSKI: Ron?

9 LATANISION: Latanision, Board.

10 Could we go to your Slide 4? I just want to return
11 to the short conversation that David Zabransky and I had this
12 morning about the TAD development and the interface between
13 that process and now the prototyping of the waste package.
14 For example, will the--you have listed here the full-size
15 waste package top and closure system.

16 RHODES: Yes.

17 LATANISION: Will the waste package have simulated
18 loaded TAD packages included inside the waste package at the
19 time the closure welds are made in the prototyping?

20 RHODES: I don't know enough detail about whether
21 they're going to have a heat source in there or not, whether
22 they're going to have a simulated package. I believe that
23 they will have the heat source in there to represent what the
24 canister is. But, there probably won't be a mock-up of a
25 full scale waste package, just mocking up the closure weld.

1 They'll be using about the top third of the waste package.

2 LATANISION: Yes. Henry's preliminary comments are
3 significant I think in lots of ways, and that's an element
4 that the issue here reminds me of, you know, the situation
5 with the Hadron Collider. I mean, if in fact you leave out a
6 detail, in this case, the thermal mass of the TAD canister,
7 et cetera, will that impact the prototype, the study which is
8 being done to prototype the closure weld? I think that's
9 something that's got to be investigated, otherwise, you could
10 find it in the final analysis.

11 RHODES: Yes, it's one of the things that's always
12 demonstrated during hot testing. Things react very
13 differently than during cold testing. The mock-up and the
14 prototyping for that closure system will be done under a full
15 heat load in order to demonstrate its capability to go and do
16 that. The initial prototyping, I don't believe is under that
17 full heat load. It's the mechanical systems and things to go
18 and mock that up, but as we go through, it's the process
19 refinement and the development as they go through this
20 prototyping process. We'll get to that hot load prototyping
21 during the development. I just can't speak personally to
22 that sequence.

23 PETROSKI: Ali?

24 MOSLEH: Mosleh, Board.

25 On the prototyping of the drip shield, does that

1 include the process of emplacement beyond just the hardware?

2 RHODES: Not knowing the details of that, I think that
3 the prototyping plan for the drip shields has been identified
4 as a schedule activity. They have some concepts that they
5 need to go and do in terms of fabrication methods for the
6 drip shields to make sure that it can be manufactured
7 correctly. I am not sure that that plan includes or it
8 doesn't include sequential mock-ups of the handling
9 operations. I think as long as it's handled in the
10 facilities where it's being mocked up, that's one thing.
11 It's not necessarily mocking up an emplacement configuration.

12 MOSLEH: And, to the extent those things could actually
13 have significant implications on the design of sending people
14 back to the drawing board, how are these things going to be
15 factored into the testing?

16 RHODES: There is a factor in terms of placement of the
17 drip shield, such as the overlap, whatever, for the alignment
18 of the drip shields as the emplaced configuration would
19 represent. I don't want to speak to it. I don't know the
20 details. I don't think they've identified all the things
21 that they have to mock up or prototype with the fabrication
22 of that drip shield yet. We're a little preliminary. We
23 haven't even developed the detailed work activity to that
24 level of detail to go and say these ten items have to be
25 validated. I don't think they've gotten that in the plan

1 yet. We won't develop that plan until we get there in the
2 schedule.

3 PETROSKI: Mark?

4 ABKOWITZ: Abkowitz, Board.

5 I'd like to pick up on Ali's question, just for
6 clarification purposes. We see that the prototyping process
7 for fabricating a drip shield is different than the
8 prototyping process for fabricating a piece of equipment
9 that's capable of installing the drip shields, and I think
10 that's where he was going. And, I would say that also
11 applies to the transporter that would be used to take the
12 waste packages and emplace them in their appropriate
13 locations. So, we certainly would like to see the
14 prototyping program include those mobile parts that are going
15 to be the interfaces between getting these things from where
16 they were to where they need to be.

17 I also had a question as to whether or not there's
18 any thought about prototyping with regard to the
19 instrumentation that would be in the control room. It seems
20 to me there's an awful lot of different elements to making
21 this operation sync. And, I was wondering if you could
22 comment on that?

23 RHODES: I can't speak to the control system panels, the
24 operational control centers, not being part of that design
25 group. Peripherally, though, I think that we're--Kirk, did

1 you want to address that?

2 LACHMAN: Lachman, DOE.

3 On the waste package closure system, it does have
4 the full control panel system, the full operational user
5 interface, if you will, as part of the prototype. The other,
6 I cannot comment on at this time.

7 RHODES: I don't think we have a need right now in order
8 to go and do the rest of the facility control panels, such as
9 you might find in the CCCF that you might have heard about,
10 the central control center. That type of detail will likely
11 be an outfall of the detailed design that we'll be doing over
12 the next couple of years to support the construction. An
13 operator panel is pretty basic. There are guidelines for
14 that. There are human factors that go into the design.
15 We'll meet all those human factors as we've specified in our
16 design criteria.

17 PETROSKI: Andy?

18 KADAK: Kadak, Board.

19 I think the reason that we're bringing up this
20 question of actually physically testing the installation of
21 the drip shield and possibly retrievability of the waste
22 packages is because I think a few meetings ago, we heard a
23 very compelling presentation from a mining engineer who said
24 that it's not so simple. And, what looks good on a drawing,
25 or even a schematic simulation, isn't really what you're

1 going to find out there, particularly in the clearances. So,
2 we hope that you will seriously consider the fact that even
3 if you don't have to make the real drip shield, but just look
4 at how you get stuff in and out of there, because
5 retrievability is something that you're going to have to
6 demonstrate, and very little discussion has been held about
7 how you're going to do that.

8 RHODES: I'm not sure that we would read the
9 requirements on demonstration of retrievability would be the
10 same.

11 KADAK: Okay.

12 RHODES: That might be something that we leave for
13 another discussion with the Board in terms of what that is.
14 We do have the design concepts right now that would allow us
15 to go and identify what we believe we need for retrieval, and
16 the time frames with which we would need to go and develop a
17 set of detailed designs for equipment or facilities to
18 execute that retrieval.

19 KADAK: Can I understand what you just said in the sense
20 that you have no capability right now to describe how you're
21 going to retrieve the spent--

22 RHODES: Not strictly true.

23 KADAK: Okay.

24 RHODES: We have identified what we believe is a set of
25 equipment in terms of preliminary design, what those concepts

1 are, to accomplish the retrieval as we currently understand
2 it. However, we believe the regulations allow us a period of
3 time in the future that once a retrieval decision is made, in
4 order to go and retrieve the fuel from the repository, now
5 this is not to say that if we identify a waste package, for
6 example, that we've identified that does not meet our
7 preclosure performance requirement, or postclosure
8 performance requirements during this operations period, that
9 we can't pull it back out using the equipment we have on
10 hand. That, we can do right now.

11 KADAK: I think this is an important question. I
12 apologize, but the requirement is for retrievability after 50
13 or 100 years after closure.

14 RHODES: Yes.

15 KADAK: I'm assuming that the design would have some
16 information about how you do that as part of the design.

17 RHODES: Yes.

18 KADAK: And, I don't necessarily mean every waste
19 package has to be retrieved, but certainly you ought to be
20 able to say a waste package, you know, halfway down the line
21 ought to be able to be retrieved.

22 RHODES: I'm going to have to defer to Kirk in terms of
23 the design.

24 LACHMAN: Lachman, DOE.

25 The requirement actually is a minimum of 50 years

1 from the start of emplacement up to closure to retrieve.

2 KADAK: Say that again.

3 LACKMAN: The requirement for retrieval is for a minimum
4 of 50 years after start of emplacement, up to permanent
5 closure.

6 KADAK: So, it's only retrieval during operation?

7 LACHMAN: Yes, sir.

8 KADAK: Not retrievable postclosure?

9 LACHMAN: That is correct. Otherwise, we wouldn't close
10 if we felt the need to retrieve.

11 KADAK: I'm sorry. I said it wrong. Once the
12 repository is full, it is supposed to be retrievable for 50
13 years, a minimum of 50 years; correct?

14 LACHMAN: 50 years from start of emplacement, per the
15 regulation.

16 RHODES: If I can clarify that? After we complete the
17 50 year preclosure period, then we start the clock, so it's
18 between 50 years and 300, roughly, until closure.

19 LACHMAN: Until permanent closure, when we have a
20 license for closure, we will have demonstrated there is no
21 need to retrieve.

22 KADAK: Right. And, I'm trying to just get the number
23 of years after the repository is full before you think you
24 can close it.

25 LACHMAN: Well, the current operational scenario is for

1 50 years of ventilation post-completion of emplacement. So,
2 that would give you 100 year life from initial--from the
3 start of emplacement until we anticipate closure.

4 KADAK: Okay. And, the understanding right now in your
5 design is--do you have a design that says this is how we will
6 retrieve it?

7 LACHMAN: Yes, retrieval is the reverse of emplacement.
8 The equipment David is talking about, and correct me, David,
9 if I'm incorrect, is that 100 years after start of
10 emplacement, should a decision be made to retrieve, the
11 surface facilities as we know them would not exist. They
12 would have been decommissioned, decontaminated, and the
13 regulation allows you an amount of time equal to emplacement
14 to execute your retrieval. So, you would have to determine
15 where you're going to put this.

16 KADAK: That's my question. Have you thought about
17 that?

18 LACHMAN: Yes, we have.

19 KADAK: And, where could we find this information?

20 LACHMAN: I believe it's in--it's in the License
21 Application.

22 KADAK: It is?

23 LACHMAN: Yes, in the retrieval section. I was going to
24 say 1.12, but I'm not sure. Off the top of my head, those
25 numbers get blurry.

1 KADAK: Thank you.

2 PETROSKI: Howard?

3 ARNOLD: Arnold, Board.

4 Just a clarification. When you define retrieval,
5 is that a reversible process in which you would then be able
6 to put it back in, or is it a one shot deal, you pull it out
7 and that's it, and you've perhaps ruined some of the--ruined
8 some of your capability to put it back in? Which way do you
9 define retrievability?

10 LACHMAN: Lachman, DOE.

11 Retrieval, for us, is the reversal of emplacement.
12 It does not do anything to the systems that would negate re-
13 emplacing it. For instance, say the middle package in a
14 drift, you decided oh, this is not good, you need to take it
15 out. So, you would back out the ones in front of it, you
16 can't carry over, so you have to back out the ones in front
17 of it, using the TEV, pull out the package, whatever package
18 that is that you decide you need to take out, we would call
19 this a recovery operation, not retrieval, retrieval is taking
20 everything out, but if you want that one, you could then put
21 the other ones back in. There would not be anything that
22 damages the system or makes it so you could not emplace waste
23 in that drift.

24 KADAK: I apologize. So, you're saying that you have
25 the capability right now to do what you just described in the

1 sense that this is where you're going to put all the stuff
2 that you take out, there's room somewhere, and store it and
3 shield it, and then you'll be putting all that stuff back in.
4 That is not in your design

5 LACHMAN: The specifics for where I would put a waste
6 package after I pull it out are not determined. You could
7 put them on the aging pad with an appropriate overpack, which
8 does not exist. That's where the regulation allows me, if
9 I'm retrieving waste, the amount of time equivalent,
10 approximately equivalent to emplacement, to determine and
11 make those plans.

12 KADAK: Thank you.

13 PETROSKI: Are there any questions from the Staff? Yes,
14 Carl?

15 DI BELLA: This is Carl Di Bella, Board Staff.

16 I have a question about waste package prototyping,
17 not waste package closure prototyping. As far as I know, the
18 project has done one full scale waste package prototype, and
19 that was done a couple years ago. Part of that prototyping
20 process was heat treatment of the Alloy 22 outer barrier.
21 Part of the heat treatment is a quench after the heating
22 process has taken place. That quench did not go entirely 100
23 percent successfully. And, now, that was with a 20
24 millimeter thick waste package. Now, all the waste packages
25 are 25.4 millimeters thick. The timing that you said for

1 your next waste package prototype is not going to allow that
2 technical question to be resolved, that is, how does one do
3 the quenching, now that even the waste package is thicker.
4 So, what intermediate development work are you doing to
5 resolve this issue?

6 RHODES: Actually, I think we're going to have to get
7 back to you on that level of technical detail. I'm not
8 familiar enough with that prototyping activity in order to go
9 and say what our further plans are in that area, or even to
10 speak to what you allude to are the results of that. I
11 personally have not read it.

12 PETROSKI: Any other questions?

13 (No response.)

14 PETROSKI: Let me ask one final question. You've laid
15 out a very seemingly thorough program. What if you were
16 asked to cut back on this program, do you see any room for
17 that, and if so, what would you recommend be cut out of the
18 program you've outlined?

19 RHODES: You're referring to both the prototyping,
20 factory tests, pre-operational tests and the start-up test
21 program?

22 PETROSKI: Yes, that's right.

23 RHODES: There is a certain amount of test program that
24 you have to perform. I don't think you can operate any
25 facility, whether it's a manufacturing facility, certainly

1 not a nuclear facility, without doing the minimum necessary
2 testing. We have not identified any of the items that we're
3 currently prototyping that would be cut out of what our plans
4 are. We believe we need all of it. We would perform all of
5 it.

6 In terms of the pre-operational testing, there may
7 be some shift from maybe more factory testing, and maybe a
8 little less pre-operational, or maybe less factory testing
9 and more pre-operational. That level of detail is not
10 currently available, and until we get the level of design we
11 need for construction and procurement, I don't think we can
12 venture an opinion.

13 PETROSKI: Okay, well, thank you. I think we've reached
14 the end of the program, as far as formal presentations are
15 concerned, John.

16 GARRICK: Thank you.

17 PETROSKI: Thank you.

18 GARRICK: Thank you. Okay, we're at the point on our
19 agenda for public comments, and I have three names that have
20 asked to make a comment. And, the first one is Irene Navis.

21 NAVIS: Good afternoon. As always, welcome to Las
22 Vegas. Irene Navis, Clark County Planning Manager for Clark
23 County's Nuclear Waste Division.

24 I want to make a couple comments, first, to thank
25 you for addressing many of the topics that I mentioned last

1 meeting that would be helpful for us to talk about, for you
2 to consider, and I think your agenda was a very good one
3 today, and thanks for coming out and conducting the meeting
4 here in Las Vegas.

5 We want to put on the record again that Clark
6 County supports a continuing oversight role for the Technical
7 Review Board, and later on in my comments, I'll give you some
8 thoughts about some potential future agenda items that you
9 might want to consider.

10 Just some comments on some of the things we heard
11 today. We have recently completed a transportation video
12 that covers a lot of the issues that you discussed today,
13 including public safety and first responder impacts, impacts
14 to ranchers, comments made by the State of Nevada, and if
15 your staff requests a copy of the video, I'm happy to provide
16 it. That might provide you with some additional insights
17 into those topics.

18 With respect to funding under Section 180(c) of the
19 Nuclear Waste Policy Act, one of the emerging issues that
20 we're looking at is the fact that the Department of Homeland
21 Security and the Department of Energy both have some
22 responsibility for funding first responder capability. One
23 of the missing links that we're seeing is some coordination
24 along those lines, and how that impacts the Department of
25 Energy's 180(c) policy that you heard about today.

1 Some of the work products that Clark County has put
2 forward have sort of evolved into statewide analyses that are
3 ongoing. We sort of were the kick-off in terms of a
4 commodity flow study that I think I mentioned to you last
5 year. That is turning into a statewide commodity flow study
6 that we think would provide some useful information to this
7 Board and others.

8 We also conducted some identification of critical
9 infrastructure that is now turning into a threat assessment
10 and risk analysis report that's being funded by other funding
11 sources beyond the Nuclear Waste Division's efforts to again
12 look at critical infrastructure from a statewide perspective.

13 We are also updating our public safety impact
14 report that has some analysis related to transportation
15 impacts that you might find interesting. So, any of these
16 reports that I've mentioned that you think might be
17 interesting or helpful to your work, the staff certainly is
18 welcome to ask for them, so I can provide them.

19 The other thing that we're going to be keeping a
20 close eye on in terms of the margin issues are the types of
21 issues that typically come up at our State Legislature. In
22 the year 2007, the State Legislature addressed issues related
23 to transportation, overweight and oversize trucks, security
24 issues, ports of entry, and a variety of other things that
25 could have implications for DOE shipment campaigns. Rail

1 issues, rail safety and security, all those were issues that
2 came up in our Legislature, and I believe that we will
3 probably see some additional State Legislative initiatives in
4 2009.

5 Clark County every two years updates a state law's
6 report that addresses many of the issues you talked about
7 today, including inspections, permitting, placarding, and
8 fees at the State level, that could impact DOE shipment
9 campaign. We provide that report to DOE every time that we
10 produce it, and if the TRB would like copies of that, we can
11 provide that as well.

12 Also, I want to say that we completely agree with
13 the Technical Review Board, especially Chairman Garrick's
14 comments about looking at system effectiveness, including
15 throughput versus just demonstrating compliance with the
16 minimum requirements for the safety case. We thought that
17 was a very good point, and we hope that you will take a look
18 at that in future meetings and continue to press on those
19 issues, because we think that's really the crux of some of
20 the concerns that we have at the County level.

21 Also, are looking at some emerging transportation
22 issues that you might want to consider for potential future
23 agenda items. I already mentioned that we are looking at
24 critical infrastructure identification, threat assessments,
25 vulnerabilities that might tie into some of the

1 transportation systems analysis that you're undertaking in
2 terms of conflicts with other critical infrastructure, with
3 the utilities, with other types of transportation decisions
4 that are being made. For example, our Southern Abatta Water
5 Authority is making decisions about where to lay pipelines to
6 bring water in from rural communities, it's going to provide
7 drinking water to the Las Vegas Valley. That impacts rural
8 counties, such as Lincoln County, and, in fact, we have
9 learned from the Water Authority that there may be some
10 conflict between where the rail line is potentially going to
11 be located and where the pipeline is being laid. So, we
12 think that that is a potential systems interruption issue,
13 transportation conflict issue, that might be something the
14 Board might want to look at in a broader perspective.

15 The other thing that we learned as the Regional
16 Transportation Commission for Southern Nevada is looking at
17 building a light rail passenger train from California into
18 Clark County. That's within the Union Pacific right-of-way,
19 adjacent to Interstate 15. So, that brings in a whole other
20 layer of conflicts and potential disruption and interruption
21 to the DOE transportation system that might want to be
22 considered as something to at least learn more about.

23 We also agree with the State of Nevada that the
24 Technical Review Board should examine in greater depth issues
25 and implications surrounding the aging facility, as currently

1 proposed by the Department of Energy, and encourage you to
2 have a future meeting on this topic.

3 Thank you for your time. I appreciate it.

4 GARRICK: Thank you. Excellent comments. Judy
5 Treichel.

6 TREICHEL: Thank you. It seems to me that there's some
7 cart and a horse issues with the last presentation that you
8 had. On the slide about prototype and testing for waste
9 package, waste package emplacement, it says to determine
10 manufacturability, and to measure the relationship between
11 defects, and so forth. And, it seems to me that that stuff
12 should be known before you're trying to get a license for the
13 building of it. You need to know if things are
14 manufacturable, or if they're workable.

15 And, I know that the Board doesn't need to get into
16 licensing, but you do have a great deal of interest if
17 whether or not stuff works, and that's what this prototyping
18 is, and I would think that you would want to be satisfied,
19 and certainly Nevadans want to be satisfied on whether
20 something works before there's a license to actually do it.
21 So, it just looks like things are coming in a little bit
22 backwards.

23 And, there was the issue of confidence, trust and
24 confidence that the utilities would want to have, that they
25 would have TADs, that the system would work in the way that

1 they were told it would, because the TADs, for them, mean
2 more time, more money, more doses on their sites, but then as
3 Paul Golden told us, it makes for a cleaner repository here.
4 So, you've just kind of switched those burdens.

5 Certainly, the confidence thing needs to happen for
6 the public as well, and the Board has provided a lot of that,
7 and I would hope that you would stay in business and keep
8 exploring these issues, because public confidence has been
9 shaken a lot lately. I'm not sure it's going to come back
10 with the waste issue.

11 GARRICK: Has somebody told you we might go out of
12 business?

13 TREICHEL: Boy, almost everything does, John.

14 There are just a lot of things that seem as though
15 they're going a little bit backwards. DOE, although Gary
16 Lanthrum didn't stress it in his presentation, it did say
17 that they would not be paying for or doing anything about
18 infrastructure improvements. And, we've seen a lot of cases,
19 I'm from Minneapolis, so I watched a bridge go in the water
20 while I was visiting, and there's a lot of things that need
21 to be updated, need to have some work done on them before the
22 stresses of a nationwide nuclear waste transportation system
23 go into place.

24 In reading the LA, or parts of it, at least, you
25 keep coming across things where there is decisions being

1 deferred, or analysis being deferred until a later time when
2 something comes in. And, that sort of has to do with this
3 prototyping, too, and particularly with retrievability.
4 That's one of the things where if we need to do it, we'll
5 figure it out. And, retrievability is sort of tricky, and I
6 think I talked about this before, where retrievability, in
7 DOE's definition, means that you unload the entire repository
8 for just the leaker that's the third one in, like Andy was
9 talking about, that's called either recovery or removal, and
10 that's a whole different deal. And, it seems to kind of slip
11 out of the regulations in the same way that a decision to
12 retrieve would be something entirely different and a big
13 deal.

14 So, when the question was asked where would you, if
15 you had to cut money, where would you cut it from, and it was
16 referred to in the testing and prototyping, I wouldn't think
17 that's where you'd want to slow down. I would think that's
18 where you would have to keep going, and they would have to
19 continue to find out if anything works. And, if you need to
20 slow something down, you'd slow down the licensing. Because
21 until you can prove that you can do what you're asking a
22 license to be able to do, I don't think it's worth going on
23 with that. It's another place where things are just a little
24 bit backwards, because the license is being given on the
25 basis that you can do what you say you can do. So, you

1 should be able to show that you can do that.

2 Thank you.

3 GARRICK: Thank you. Victor Gilinsky.

4 GILINSKY: I'm Victor Gilinsky. I'm a consultant for
5 the state. I realize I'm the last one here to stand between
6 you and drink, and I'll just take a moment.

7 I want to underline the importance of the Board's
8 questions about prototyping, installation of the drip
9 shields. Of course, that's the hard part. Not making the
10 drip shields, but installing it under the conditions that
11 will be years from now.

12 I thought it was particularly significant at the
13 earlier briefing, they didn't even mention drip shields,
14 surface facilities, you're certainly going to need some kind
15 of surface facilities to continue to maintain the site and
16 perform installations, and the ones on systems integrations.

17 Despite this, we were assured that at least as far
18 as the surface facility design is concerned, it's 100 percent
19 complete as far as is necessary to support the LA. Now, that
20 would be okay if you were not counting on the drip shield, if
21 you weren't relying on the drip shield to maintain the EPA
22 standard. But, we know now that without the drip shield, the
23 analysis in the license application exceeds the EPA standard
24 by something like a factor of ten. And, this happens not
25 hundreds of thousands of years from now, but according to

1 their simulation, less than a thousand years from now, or
2 roughly a thousand years from now.

3 So, it's really important, and it's really up to
4 DOE to show in a very convincing way with high confidence
5 that this will really happen. And, the fact that they
6 haven't mentioned it in the other briefings, and barely
7 touched on it in the last one, and really didn't have plans
8 to deal with it with the prototyping of the emplacement,
9 tells me they are not coming close to that.

10 And, I think that this should be a priority issue
11 for the Board, because I mean, people look to you. I mean,
12 who else is going to tell the Secretary things that he
13 doesn't want to hear, and his staff is not going to tell him.
14 So, I would urge you to put this high up on your list.

15 Thank you very much.

16 GARRICK: Thank you. Any other questions or comments or
17 statements that anybody would like to make?

18 (No response.)

19 GARRICK: Hearing none, any comments or parting remarks
20 from any of the Board members or Staff?

21 (No response.)

22 GARRICK: I want to thank everybody that participated in
23 the meeting today. I liked the format of the panels. It's a
24 format that we may use more often, and we appreciate
25 everybody that attended, and contributed to answering

1 questions, and we look forward to seeing you again. And,
2 this meeting is adjourned.

3 (Whereupon, the meeting was adjourned at 4:55 p.m.)
4
5

6 C E R T I F I C A T E

7 I certify that the foregoing is a correct
8 transcript of the Nuclear Waste Technical Review Board public
9 meeting held on May 29, 2008 in Las Vegas, Nevada taken from
10 the electronic recording of proceedings in the above-entitled
11 matter.
12
13
14
15

16 June 6, 2008

17 Federal Reporting Service, Inc.
18 17454 East Asbury Place
19 Aurora, Colorado 80013
20 (303) 751-2777
21
22
23
24