

UNITED STATES
NUCLEAR WASTE TECHNICAL REVIEW BOARD

SUMMER BOARD MEETING

Thursday

June 11, 2009

Marriott Suites
325 Convention Center Drive
Las Vegas, Nevada 89109

NWTRB BOARD MEMBERS PRESENT

Dr. B. John Garrick, Chairman, NWTRB
Dr. David J. Duquette
Dr. Ali Mosleh
Dr. George Hornberger
Dr. Andrew C. Kadak
Dr. Henry Petroski
Dr. William Howard Arnold
Dr. Thure E. Cerling
Dr. William M. Murphy
Dr. Ronald M. Latanision

NWTRB SENIOR PROFESSIONAL STAFF

Dr. Bruce E. Kirstein
Dr. David A. Diodato
Dr. Gene W. Rowe
Dr. Carl Di Bella
Douglas Rigby

NWTRB STAFF

Karyn D. Severson, Director External Affairs
Joyce M. Dory, Director of Administration
Linda Coultry, Meeting Planner

I N D E XPAGE NO.**Call to Order and Introductory Statement**

B. John Garrick, Chairman	
U.S. Nuclear Waste Technical Review Board	4

Program and Project Overview

J Russell Dyer, Acting Director, Office of Technical Management, and Director, Science Division, Office of Civilian Radioactive Waste Management	
U.S. Department of Energy	13

State of Nevada Agency for Nuclear Projects Overview

Victor Gilinsky, Consultant, Agency for Nuclear Projects	27
---	----

**Status/Projections of Domestic Commercial
Waste Inventory**

Rod McCullum, Nuclear Energy Institute (NEI).	63
--	----

**Status/Projections of DOE Waste
Inventory (SNF and HLW)**

Gary DeLeon, Office of Nuclear Materials Disposition, Environmental Management, DOE.	98
---	----

Lunch	119
------------------------	-----

**Nuclear Waste Disposal: Alternative to
Yucca Mountain**

Mark Holt, Congressional Research Service	120
---	-----

**Panel on Research and Data Needs for
Very Long-Term Dry Storage**

John Kessler, Electric Power Research Institute . . .	168
Tom Brookmire, Dominion Resources, Inc.	183
Tara Neider, Transnuclear, Inc.	196

Public Comments	243
----------------------------------	-----

Adjourn Public Meeting	247
---	-----

P R O C E E D I N G S

8:00 a.m.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

GARRICK: Good morning.

I want to welcome everybody to this meeting of the Nuclear Waste Technical Review Board.

As is our practice at the beginning of all of our meetings, we introduce the Board and all of its members. There are eleven of us. My name is John Garrick. I'm Chairman. And, we all serve part-time in this capacity. My background is nuclear engineering and risk analysis, and I spend most of my time consulting in those disciplines. Besides Chairman, I also serve under the present organizational structure that we have as the lead on radiation dose calculations.

Now, as I introduce the rest of the Board members, I want them to raise their hands as I call out their name, and I'll start with Howard Arnold. Howard is a consultant to the nuclear industry, previously holding a number of senior management positions such as vice-president of the Westinghouse Hanford Company, president of Louisiana Energy Services, and engineering manager and general manager of the Westinghouse Pressurized Water Reactor Systems Division. Under our current regime, Howard chairs the Board's Panel on Preclosure Operations.

Thure Cerling. Thure is a Distinguished Professor

1 of Geology and Biology at the University of Utah. He is a
2 geochemist, with particular expertise in applying
3 geochemistry to a wide range of issues, such as geological
4 climatological, and anthropological studies. Thure is our
5 technical lead, with George Hornberger, on the Natural
6 System.

7 David Duquette. David is the John Tod Horton
8 Professor of Materials Engineering at Rensselaer Polytechnic
9 Institute. And, his areas of expertise include physical,
10 chemical and mechanical properties of metals and alloys, with
11 special emphasis on environmental interactions. David, with
12 Ron Latanision, is the Board's technical lead on Corrosion.

13 George Hornberger. George is a Distinguished
14 Professor at Vanderbilt University, where he is Director of
15 the Vanderbilt Institute for Energy and Environment. His
16 research is aimed at understanding how hydrological processes
17 affect the transport of dissolved and suspended constituents
18 through catchments and aquifers. George co-chairs the
19 Board's Panel on Postclosure Performance.

20 Andrew Kadak. Andy is Professor of the Practice in
21 MIT's Department of Nuclear Science and Engineering. His
22 research interests include the development of advanced
23 reactors, space nuclear power systems, and improved licensing
24 standards for advanced reactors. Andy is the Board's
25 technical lead on Thermal Management.

1 Ron Latanision. Ron is Emeritus Professor of
2 Materials Science and Engineering and Nuclear Engineering at
3 MIT, and Corporate Vice-President and Practice Director,
4 Mechanical Engineering and Material Science with the
5 engineering consulting firm, Exponent. His areas of
6 expertise include materials processing and corrosion of
7 metals and other materials in different aqueous environments.
8 Ron co-chairs the Board's Panel on Postclosure Performance.

9 Ali Mosleh. Ali is the Nicole J. Kim Professor of
10 Engineering and Director of the Center for Risk and
11 Reliability at the University of Maryland. Ali's fields of
12 study and practice are risk and safety assessments,
13 reliability analyses, and decision analyses for the nuclear,
14 chemical, and aerospace industries. Ali is the Board's
15 technical lead on Performance Assessment.

16 William Murphy. Bill is a Professor in the
17 Department of Geological and Environmental Sciences at
18 California State University, Chico. His areas of expertise
19 are geology, hydrogeology, and geochemistry. Bill also
20 serves as an administrative judge on an NRC Atomic Safety and
21 Licensing Board Panel. Bill is the Board's technical lead on
22 the Radiation Source Term.

23 Henry Petroski. Henry is the Aleksander S. Vesic
24 Professor of Civil Engineering and Professor of History at
25 Duke University. His current research interests are in the

1 areas of failure analysis and design theory. Henry is an
2 accomplished author in engineering and science and is the
3 Board's technical lead on the design of Surface Facilities.

4 Now, we are missing one Board member today, and
5 that's Mark Abkowitz. Mark is Professor of Civil and
6 Environmental Engineering and Professor of Engineering
7 Management in the Department of Civil and Environmental
8 Engineering at Vanderbilt University. He is also Director of
9 the Vanderbilt Center for Environmental Management Sciences.
10 He chairs the Board's Panel on System Integration, and is the
11 Board's technical lead on Transportation. Mark is attending
12 a conference in Stockholm on social decisions involving risk,
13 where he is also presenting a paper.

14 Now, before discussing the agenda, let me make a
15 few remarks about the role of the Board. By law, the Board's
16 responsibilities are to evaluate the technical validity of
17 activities undertaken by the Department of Energy in the
18 management of spent nuclear fuel and radioactive waste, and
19 to advise the Secretary of Energy and Congress of our
20 findings and conclusions. We are often asked, especially
21 now, what this mandate means, given the unfolding scope of
22 waste management within DOE. I'd like to maybe illustrate
23 what it means by giving you three examples.

24 Example 1. To the extent that the DOE Office of
25 Civilian Radioactive Waste Management, or OCRWM, does

1 new technical work, we will monitor, evaluate, and
2 report on that work to the Secretary and Congress.
3 Responding to a Nuclear Regulatory Commission (NRC)
4 request for additional information, an RAI, or
5 participating in the resolution of a contention is not
6 in and of itself new technical work, unless it involves
7 new analyses, new field or laboratory work, new models,
8 or new computer runs. Also, OCRWM is doing a very small
9 amount of new technical work under its performance
10 confirmation program.

11 Example 2. The charter of the Department of
12 Energy's Blue Ribbon Panel to study waste management
13 alternatives is still closely held, but proposals for
14 similar panels advanced by the Office of the Senate
15 Majority Leader and the Senate Committee on Energy and
16 Resources are completely public and have been reported
17 widely. Whether either of those proposals will be
18 adopted by Congress is uncertain, but one way or another
19 they may influence the thinking and the language of the
20 charter for the DOE's Blue Ribbon Panel, or Commission,
21 whatever it ends up being. We are pleased that both the
22 proposals explicitly recognize this Board as a technical
23 resource. We expect to provide technical information
24 and insights for the Blue Ribbon Panel. The Board has a
25 wealth of information and experience in the waste

1 management area, and we kind of pride ourselves on being
2 a source of unbiased, objective, and independent
3 technical analysis for more than two decades.

4 I have been asked, and I'm sure other Board members
5 have also been asked whether the Board could be the Blue
6 Ribbon Panel. Now, let me comment on that. First, we
7 are a technical board. Each of us is a scientist or
8 engineer selected for the Board because of our knowledge
9 and accomplishments in technical areas. Consequently,
10 when the Blue Ribbon Panel considers technical issues
11 associated with waste management alternatives, the Board
12 will be an obvious and appropriate resource. However,
13 inclusion of non-technical issues in the Blue Ribbon
14 Panel's charter would require fundamental alteration of
15 the Board's legislation. And, the makeup of the Board
16 would have to be augmented to include policy analysts,
17 financial analysts, social scientists, and cost
18 analysts--things we all know something about but can
19 hardly call ourselves experts. Our staff would have to
20 be augmented similarly. All of this can be done, but it
21 would take time.

22 What the Board will do, and this requires no change
23 in the technical mission, is to look broadly at the
24 waste management system and waste management
25 alternatives to provide its objective view of technical

1 questions and issues that should be addressed. The
2 Board also will draw on its long experience base to
3 provide technical information and technical "lessons
4 learned."

5 Example 3. This example is represented by the
6 significant amount of DOE-owned spent fuel and high-
7 level waste. Most of this, more than maybe 95 percent,
8 I suspect, is unquestionably non-recyclable. It has to
9 be disposed of. Until it is disposed of, it has to be
10 managed which may involve treating and packaging,
11 particularly for the liquid waste and sludges, to get
12 into a safe-to-store form. While most of this waste is
13 managed by DOE's Office of Environmental Management, a
14 small but very significant part is managed by the Navy,
15 and I believe a small amount of it is managed by the DOE
16 Office of Nuclear Energy. We have evaluated DOE
17 activities with these wastes in the past and will
18 continue to do so in the future. In fact, one of
19 today's speakers is from DOE's Office of Environmental
20 Management.

21 So, the change in the Administration direction on
22 waste management changes our priorities, which in turn
23 affects our organization. One of the things we will be
24 discussing tomorrow in our private meeting will be our
25 reorganization to reflect today's realities. So, next time,

1 we'll be assigning probably and reporting on different
2 assignments for Board members. And, we ask you to watch for
3 the new organization of our Board, which will appear on our
4 website. And, the new organization will place even more
5 emphasis on what has always been one of the Board's
6 hallmarks--a systems approach to waste management problems.

7 Now, let me turn to our meeting today. Our first
8 speaker is Russ Dyer. As at our January meeting, Russ is
9 standing in for Chris Kouts, who has been the acting director
10 of OCRWM since mid-January. Russ will give us an update of
11 the program, and I will introduce him in a moment. Next, we
12 have a talk from Victor Gilinsky, a consultant to the State
13 of Nevada Agency for Nuclear Projects. Following, we will
14 hear from Rod McCullum of NEI on just how much commercial
15 spent fuel there is already and how much there is projected
16 to be. I believe he also will be giving NEI's vision of the
17 future of waste management. Gary DeLeon, of DOE's Office of
18 Environmental Management, will follow with the status of and
19 projections for the inventories of DOE-owned spent fuel and
20 high-level waste.

21 After lunch, we will hear from the Congressional
22 Research Service. Mark Holt will talk about the report he
23 recently authored on Alternatives to Yucca Mountain. Then,
24 we will close out the day with a panel discussion that I have
25 asked Board member Ron Latanision to moderate. The topic is

1 Research and Data Needs for Very Long-Term Dry Storage of
2 Spent Fuel and High-Level Waste. That is, after all, one of
3 the waste management alternatives, so we should address what
4 we're getting into. I am looking forward to the
5 brainstorming session. The panelists are John Kessler, EPRI;
6 Tara Neider of Transnuclear; and Tom Brookmire of Dominion
7 Resources.

8 Following the panel discussion, we have scheduled
9 time for public comment, which is always an important part of
10 our meeting, and it's important to the Board. And, if you
11 would like to comment, please enter your name on the sign-up
12 sheet at the table near the entrance to the room here. And,
13 by the way, we also have an attendance sheet back there, and
14 if you haven't jotted down your name and e-mail address, we'd
15 like you to do so. If you prefer, remarks and other material
16 can be submitted in writing and will be made part of the
17 meeting record.

18 Now, some of you have asked about questions during
19 the course of the presentations. We do have sort of a
20 pecking order with respect to that, and a time element is
21 involved and determines how far we can go. First, Board
22 members ask questions. Then, if time permits, staff members.
23 Then, if time permits, members of the audience. But, we have
24 other mechanisms for audience participation.

25 Frankly, we rarely get to the point where staff

1 members can ask all the questions they have. Thus, our
2 suggestion is that you write down your questions and submit
3 them for the record. We will read them, time permitting.

4 As usual, to minimize interruptions, we ask that
5 all of you turn off your cell phones, or at least put them on
6 the silent mode. And, I also want to remind everyone that it
7 is very important that you identify yourself, if you are
8 speaking, and speak into the microphone. These microphones
9 don't all have the same pickup capability, and we are very
10 picky about developing a complete record of the meeting.
11 And, when you do that, give us your affiliation, the name,
12 and any relevant information that would identify your
13 remarks.

14 As to introductions of speakers, I'm not going to
15 read bios, and what have you, but at the table outside, you
16 will find the bios on all of today's speakers. So, with
17 that, I will now turn the time over to our first speaker,
18 Russ Dyer.

19 DYER: Thank you, Dr. Garrick.

20 Chris Kouts sends his apologies. He wishes he
21 could be here, but he's tied up back in Washington. So, I
22 get to talk about the status of Yucca Mountain. And, about a
23 month ago, the President submitted his budget to Congress,
24 and that budget request had in it some very significant
25 language associated with Yucca Mountain. And, I'm going to

1 spend most of my time talking about that, and what the
2 implications are.

3 The budget language essentially said the
4 Administration has decided that Yucca Mountain is not a
5 workable option and proposes to eliminate the Yucca Mountain
6 Program. And, the details of the budget request, there was a
7 request for \$197 million for DOE to explore alternatives for
8 nuclear waste disposal, and to continue participation in the
9 repository licensing proceeding before the NRC.

10 The proposed 2010, fiscal year 2010 funding request
11 implements the Administration's decision to terminate the
12 Yucca Mountain Program while developing disposal
13 alternatives. It eliminates all funding for development of
14 the Yucca Mountain facility, such as further land
15 acquisition, transportation access, engineering and design
16 development.

17 What this means is that contractor support has been
18 reduced from about a level of 2,500 contractors in fiscal
19 year 2007, down to about 700 today.

20 Now, where do we stand in the licensing process?
21 The license application was submitted to the Nuclear
22 Regulatory Commission a little over a year ago, docketed in
23 September. The RAI process is underway, requests were due by
24 the end of December, and responses to contentions. So, this
25 is as of Monday, we had about 449 requests for additional

1 information. But, this changes daily, literally. We have
2 submitted 333 responses to NRC. We have 113 responses to the
3 requests for additional information currently in progress.
4 Three are cancelled. There are still requests for additional
5 information coming in from the NRC. We expect a fairly large
6 batch of engineering-related RAIs today, and perhaps
7 tomorrow. The expectation on all sides is that the balance
8 of questions will be developed and transmitted to us by NRC
9 by the end of September of this year, and our plan is to
10 respond to all RAIs by the end of the year, by the end of
11 December.

12 Next slide, please?

13 Now, the Atomic Safety and Licensing Boards, and
14 there are three Boards appointed by the NRC have granted a
15 hearing on the Yucca Mountain License Application. In its
16 order of May 11th, it admitted eight petitioners as parties
17 and identified a total of 299 contentions on safety and
18 environmental issues. This is out of a total of around 321.
19 It depends on how you count. Some are verbatim duplicates.

20 And, that is a short summary of the program. And,
21 with that, I would take questions from the Board.

22 GARRICK: Bill?

23 MURPHY: This is Bill Murphy of the Board.

24 Was there a technical basis offered by the
25 Administration for the termination of the Yucca Mountain

1 Project?

2 DYER: It was not in the Congressional language--I mean,
3 sorry--in the budget language.

4 MURPHY: So, you're unaware of any technical basis for
5 this change in course?

6 DYER: I'm not aware.

7 GARRICK: Yes, Ron?

8 LATANISION: Latanision, Board.

9 How does the Project and the Department interpret
10 the instruction by Administration to continue participation
11 in the licensing proceedings, given that the project is
12 considered not workable? What are the possible conclusions
13 to that process?

14 DYER: Well, the way we interpret it is that we will
15 remain engaged in the hearing process, responses to the
16 requests for additional information to the NRC. We will
17 prepare to participate in the licensing process, which I
18 believe the current schedule is that hearings would start
19 next summer. So, dealing with the contentions, discovery,
20 the discovery process, getting ready for the hearings.

21 LATANISION: What is the implication downstream now?
22 Suppose, in fact, go through the entire process and the NRC
23 agrees that the license application has merit, what's the
24 implication at that point?

25 DYER: It depends on what happens in between. If the

1 program is actually terminated somewhere, then I assume that
2 the licensing process would also be terminated. But, if we
3 continue in the licensing process and construction
4 authorization is ultimately granted, I think there would be a
5 national decision whether or not to exercise that authority.

6 GARRICK: Henry?

7 PETROSKI: Petroski, Board.

8 Slide 3, you say that the proposed fiscal year 2010
9 funding request implements the Administration's decision to
10 terminate the Yucca Mountain Program while developing
11 disposal alternatives. How do you propose to do those
12 studies or alternatives?

13 DYER: Well, as Dr. Garrick mentioned, there are a
14 number of proposals. The Secretary of Energy is putting
15 together a somebody called it a Blue Ribbon Panel, which will
16 look at the alternatives and make recommendations, my
17 understanding.

18 PETROSKI: But, this implies that DOE is going to be
19 pursuing alternative technologies, or alternatives.

20 DYER: That's correct.

21 PETROSKI: So, are you saying that this budget is going
22 to fund that Blue Ribbon Panel? What exactly are you saying?

23 DYER: My understanding is that the funding to support
24 the DOE panel will come out of our budget. Now, the
25 implementation of any recommendations would be another budget

1 action.

2 GARRICK: Andy?

3 KADAK: Yes, Kadak, Board.

4 Two questions. One, right now, what is DOE doing
5 internally, with the exception of creating this panel, to
6 seek out alternatives to Yucca Mountain as a disposal site?
7 And, two, do you have sufficient resources to do a credible
8 check into a licensing proceeding or just answering questions
9 and participating in the process?

10 DYER: Let me take the second one first. Based on our
11 experience to date, yes, I believe we do have adequate
12 resources in this budget to be credible participants in the
13 licensing process. I'm not aware of any activities that DOE
14 has underway officially to look at other sites or media or
15 techniques.

16 KADAK: Just a follow-up to the first answer. We have
17 heard that the technical resources that you had, the 2,500
18 people, many of them dropped the state, gone on to other
19 projects. A lot of the technical expertise is gone from the
20 project and may not be available to you. I also understand
21 that you're replacing the technical experts who worked on the
22 project with DOE staff people. Can you answer the questions,
23 the technical questions that are coming from the NRC
24 adequately, given the lack of expertise, or at least the
25 expertise that is departed from the project?

1 DYER: We believe we can. We've already experienced
2 some of that, and what we've been able to do to date is to
3 identify specific technical expertise that's critical to a
4 particular response, and arrange for them to come back as a
5 contractor for a period of time to assist us in developing
6 the response.

7 KADAK: So, that's workable?

8 DYER: That has worked.

9 KADAK: Thank you.

10 GARRICK: David?

11 DUQUETTE: Duquette, Board.

12 I'm not sure you mentioned this, but in your Slide
13 3 again, I of course haven't specifically read the
14 President's message on Yucca Mountain. Is it the
15 Department's opinion that Yucca Mountain will be considered
16 as one of the options, or will it be totally eliminated and
17 other options will have to be looked at? In other words, if
18 a Blue Ribbon Panel is appointed, will they be allowed to
19 consider Yucca Mountain as one of the options that are
20 available? Does the Department know that?

21 DYER: I can't answer that.

22 GARRICK: Russ, I'm going to--by Board member Murphy's
23 question about technical and what the role of technical has
24 been in the decision-making process. And, I guess I would
25 like to get your views on that.

1 It seems that we're not really working
2 independently if we leave the legacy of Yucca Mountain
3 totally in political language in terms of its viability. Is
4 there an institution, and you think that would be DOE, or an
5 organization that could address the issue of the role of
6 technical considerations in the decision-making process
7 regarding Yucca Mountain? It seems unfortunate that the
8 legacy of Yucca Mountain is going to be 100 percent dependent
9 upon political language as to why it was not moved forward.
10 Can you comment on that at all?

11 Our system seems to have some flaws in it in terms
12 of representation, and especially given that the political
13 message is very specific with respect to that the project is
14 unsafe, and yet does not validate that statement in any
15 particular way. Now, isn't this an opening for there to be
16 an answer to the question Murphy raises as to should there
17 not be a technical--representation of the technical issue as
18 it relates to the decisions that were made? And, why isn't
19 DOE much more aggressive in that respect? Because the
20 country is looking to DOE to run this technical institution,
21 and yet DOE does not seem to be very responsive to a decision
22 that does not seem to be lined up well with DOE's technical
23 and scientific work.

24 DYER: A complex and difficult question. I'll try my
25 best at a response here.

1 Decisions, especially about the approach to nuclear
2 waste or this program specifically, are not exclusively
3 technical decisions.

4 GARRICK: I realize that. But, they're being justified
5 on the basis, and I haven't heard Reid's commentary on Yucca
6 Mountain yet, where the reference was made specifically to
7 the lack of a safe repository with respect to Yucca Mountain

8 DYER: Well, we think we made the case for the safety of
9 a repository at Yucca Mountain in the license application
10 that we've submitted, and we will defend that before the NRC,
11 which I believe is the technical arena that we're talking
12 about.

13 GARRICK: So, you're sort of banking on the outcome of
14 the licensing proceedings as being the venue for making the
15 case for technical, but by then, if the decision is already
16 made, it becomes somewhat irrelevant.

17 DYER: It may be moot. I agree.

18 GARRICK: Yes. Well, there seems to be something
19 missing in this whole process, and it makes no sense.
20 Sometimes you think maybe the scientists just out to give up
21 and give the whole issue to the legal community.

22 Any other questions for Russ?

23 HORNBERGER: Can you tell me what the status of the
24 facility at Yucca Mountain is that is addressed in
25 maintenance, portals, and the infrastructure?

1 DYER: We have shut down the site essentially. We still
2 have very limited access. We do a once a month entry, a
3 walk-through of the ESF. We have a few monitoring programs
4 that are continuing that are associated with the performance
5 confirmation program. One of those is the construction
6 effects monitoring. So, we have instrumentation underground
7 that we go in and take readings of during this once a month
8 entry. We still have the seismic network active at Yucca
9 Mountain, and we are doing very limited precipitation
10 monitoring. Those are the only active programs that we have
11 going on.

12 The sample management facility is there, but we've
13 put it in essentially cold storage. Staff has been moved
14 somewhere else. We still have access into it, controlled,
15 restricted access to the facility. But, there is very little
16 activity at and around Yucca Mountain.

17 GARRICK: Howard?

18 ARNOLD: Arnold, Board.

19 I'm going to make more of a statement than a
20 question. I'm familiar with cases where a licensing effort
21 has proceeded through to the granting of a license, and then
22 people hold off on actually proceeding with the work. I
23 think the actual process of licensing itself will cast a lot
24 of light on whatever process is eventually needed for
25 whatever repository is needed. I think most experts agree

1 there will have to be a permanent repository at some point in
2 time, and I just want to put my vote in for continuing
3 licensing of Yucca Mountain, whether or not it is the chosen
4 repository.

5 GARRICK: Yes, Ron?

6 LATANISION: Latanision, Board.

7 Howard, I understand that philosophy. But, I do
8 not understand the wisdom of an Administration in continuing
9 the process, spending more money, and, in fact, involving the
10 time of the NRC, which will obviously have to staff up in
11 order to make this all happen, if in fact this is an
12 absolutely dead issue. Where is the wisdom from an economic
13 or any other point of view in doing that? That's why I asked
14 about the implications as read by the NRC. Maybe there are
15 none, but this is a very mysterious process.

16 DYER: Well, I think the idea is that if Yucca Mountain
17 never comes to be, there will still be lessons learned
18 through the licensing process, maybe technical issues,
19 procedural issues that are raised and dealt with, that would
20 be useful in any follow-on program.

21 GARRICK: My concern with that is that as a person
22 interested in decision analysis, if that's the decision we're
23 trying to make and we're at the point that we're trying to
24 make that decision, it seems that there's a lot more
25 economical and efficient ways to get the answers than the

1 highly expensive and diffuse process that we're going
2 through. You know, if they really want to get a package of
3 lessons learned on this project, I think there's far more
4 efficient ways to do it than continuing the licensing
5 process. Go ahead.

6 KADAK: Just a comment to Dr. Latanision. The good
7 thing about America is we are a country of laws, and the law
8 right now is in 1987, the Nuclear Waste Policy Act, which
9 says that Yucca Mountain, or to process the Yucca Mountain
10 license, if it is acceptable, as they are now doing. And,
11 until Congress decides that Yucca Mountain is dead, Yucca
12 Mountain is not dead, and I agree with Mr. Arnold that we
13 should examine--so much money has been spent on this project,
14 that walking away from it for a political reason is just not
15 technically acceptable, or at least not to me. And, we
16 should, I think, at least examine whether it is an option for
17 a repository, whether it's used or not used.

18 GARRICK: Yes, Dave?

19 DUQUETTE: Duquette, Board.

20 I'm going to ask you a personal opinion based on
21 your discussions with your own staff and DOE. Do you, Russ
22 Dyer, believe that Yucca Mountain is really dead, or that
23 it's simply being put on hold by this Administration, and
24 will probably be resurrected again under a different
25 Administration?

1 DYER: You know, you could ask me that question every
2 hour for the next three days, and you'd get a different
3 answer. I have different sentiments at different times.

4 GARRICK: Yes, Howard?

5 ARNOLD: Arnold, Board, again.

6 I'm going to give a specific example of what I'm
7 talking about. In the introduction that John gave for me, he
8 mentioned the Louisiana Energy Services project. We
9 proceeded with the licensing for that, and after some delays,
10 received a license, but it was not built in Louisiana. It
11 ended up, it's nearing completion now, in New Mexico. The
12 licensing process itself ended up being of considerable value
13 again to that project.

14 GARRICK: Any other questions, comments? How about the
15 Staff, have you got any questions? You've got an
16 opportunity. Yes, David?

17 DIODATO: Diodato, Staff.

18 Russ, I wonder if you could tell us a little bit
19 about to what extent the Department, OCRWM is monitoring
20 international programs in the nuclear waste disposal and
21 geologic disposal of nuclear waste?

22 DYER: We still have a low level of participation and
23 activity in international programs. But, we're not nearly as
24 active as we were, say, five years ago.

25 DIODATO: Could you summarize the scientific consensus

1 with regards to nuclear waste management and geologic
2 disposal internationally?

3 DYER: I'm sorry, Dave? Please repeat.

4 DIODATO: Summarize the international consensus, if you
5 could.

6 DYER: Well, Abe can do a much better job of this than
7 me, because I think he helped write the position paper from
8 the IAEA, NEA, on international consensus for the need for
9 geologic repositories, and some of the principles that ought
10 to underlie them. But, there is an international consensus
11 on this.

12 DIODATO: Thank you.

13 GARRICK: Any other questions? Yes, Doug?

14 RIGBY: Doug Rigby, Staff.

15 In I believe it was December of this last year--
16 well, last year, 2008, there was a report issued by DOE about
17 a second repository, possibly located, you know, back east.
18 Is there any, other than that report, is there any other
19 further discussion or anything with respect to a second
20 repository?

21 DYER: No.

22 GARRICK: That was a simple answer. Any questions from
23 the audience? Yes?

24 BAUGHMAN: Thank you, Mr. Chairman. Mike Baughman,
25 Lincoln and White Pine Counties.

1 Just a quick question, Russ. Are you able to tell
2 us with regard to funding and how much you're spending on
3 licensing currently. It sounds as though virtually all the
4 197 million, or a very high percentage of that in '10, would
5 be spent on licensing. In the current fiscal year, can you
6 give us some sense of how much is being spent on licensing?
7 I guess the crux of my question is this. Will you be
8 spending more or less or about the same in '10 versus the
9 current fiscal year, for licensing?

10 DYER: That's kind of a tricky question. The budget
11 this year is about \$297 million. We spent, our burn rate for
12 the first six months of the year was substantially higher
13 than the monthly expenditure rate for the last six months of
14 the year because we were developing responses to contentions.
15 We had a lot of people involved there. The 197 million is
16 about consistent with an annualized monthly spend rate of
17 what we have now. So, it's about what we're spending now.

18 GARRICK: Okay. Well, if there are no further
19 questions, we want to thank you. We hope to get an update
20 next time.

21 All right, our next speaker is Victor Gilinsky.
22 And, Victor is speaking on behalf of the State of Nevada
23 Agency for Nuclear Projects.

24 GALINSKI: I'm Victor Gilinsky. I'm a consultant for
25 the State. I would like to give you an update on the State

1 technical activities. Bruce Breslow, who is the head of
2 Nevada's Nuclear Office, was slated to be here, was invited
3 to be here, but couldn't come and asked me to express his
4 regrets. He's with his father on his 80th birthday in
5 Michigan, and looks forward to participating on a future
6 occasion.

7 I will concentrate mainly on the postclosure
8 activities. I'm going to share the podium with Marty Malsch,
9 who's one of the two top lawyers for Nevada, and he will deal
10 with cross-cutting programmatic safety and legal issues.

11 As Russ made clear, there have been changes since
12 the last Board meeting. On May 11th, the Licensing Board
13 accepted a large number of contentions, essentially all of
14 Nevada's contentions, most of which are safety contentions.

15 The point I want to make here is that these were
16 the result of a very long technical process, and preparation,
17 and I want to tell you a little bit about that. It wasn't
18 sort of a late minute brainstorming session that produced a
19 lot of contentions. And, the Board's action is very
20 important, even though it's just the first step in a long
21 process, because it validates the significance of these
22 contentions, and is especially important because DOE opposed
23 every single one for hearing, and the NRC staff opposed
24 almost every single one. I think really a considerable loss
25 of credibility on their part, on the part of the Boards.

1 I won't go into the President's message. Russ made
2 that pretty clear. But, as there are funds for DOE
3 participating in the hearing, the hearing goes on. Nevada
4 remains strongly engaged.

5 Next slide, please?

6 Nevada decided early to deal with this issue, to
7 engage on a technical level, not just on a political level.
8 I hope in a way some of these things I will say are in answer
9 to the Chairman's comment earlier, this was 100 percent
10 political. It's not 100 percent political. There's a very
11 large technical component here.

12 Starting in 2002, Nevada hired a couple dozen
13 technical experts, had to go largely abroad to get them
14 because almost everyone here was in one way or another
15 connected with DOE, and, thus, ineligible. The overall
16 coordinator of this technical effort is Mike Thorne. I don't
17 know if he actually has a title like that, but he's an
18 amazing guy. He's in Brittan. And, put together a very,
19 very powerful team.

20 Next slide, please?

21 Nevada also decided early that corrosion was a
22 very, very essential part of this, and funded work at
23 Catholic University on corrosion, and then later, at the
24 Institute of Metals Research in Shenyang, China, a world
25 class institution. And, their work, different from the work

1 that DOE wants to rely on, in that they simulated dripping,
2 which is quite different than what DOE is looking to. DOE
3 concentrates on immersion experiments. DOE did fund some
4 dripping work, but discounted.

5 The corrosion rates that were observed under
6 deposits that formed on the samples suggested very rapid
7 waste package penetration. Now, it turns out actually that
8 these numbers are not so different than the numbers that DOE
9 relies on in its early drip shield failure case, where it
10 relies on numbers in the literature, and they're roughly
11 comparable. And, I think that's very important because that
12 case turns out to be an important component in our thinking.

13 Next slide, please?

14 Another very important capability that Nevada
15 decided it had to have was being able to run the model. Now,
16 at that time, NRC, which had a model of its own, was not
17 planning to run the DOE model. So, the State of Nevada
18 obtained a GoldSim license. GoldSim is, of course, a
19 commercial package that is the basis for the TSPA, to which
20 the SPA, so to speak--well, it's the basis of it at any rate.
21 It maintains a GoldSim license for use on the TSPA program.
22 The license is held by Mike Thorne in the UK, and he has a
23 team of people working on this. And, they have long
24 experience with GoldSim programs, which they have used in
25 other applications, including voiced applications, and they

1 have studied the TSPA-LA. They have performed individual
2 runs. It's not realistic for them to actually duplicate
3 DOE's work because to get statistically significant averages
4 for particular cases, you have to make hundreds of runs.
5 But, they can spot check individual runs. And, their
6 familiarity with the TSPA model influenced the formulation of
7 a number of the contentions.

8 Next slide, please?

9 Here, I put together a slide which really
10 concentrates on the experts. I sort of put the subjects in
11 gray. It gives you an idea of who the people are, and I put
12 in parentheses how many contentions they are responsible for.
13 So, it kind of gives you a rough idea of where the
14 concentration of effort is, or what these particular experts
15 are doing. A fairly impressive group, I think, if you look
16 in each area, the principal ones are in the middle column.
17 The most recent addition to this group is Dr. Cottis, who is
18 at the Manchester Institute of Science and Technology, and an
19 expert on corrosion. It's in your package, and I don't think
20 I'll go over the details of this.

21 Next slide, please?

22 Here, I've done the same thing in terms of the
23 subjects. So, starting with the beginning of the TSPA, the
24 climate model, going down to infiltration, then in the
25 unsaturated zone, and so on, all the way down to the

1 biosphere, and, again, in parentheses, I've put the number of
2 contentions in that area. And, it kind of gives you an idea
3 where the effort went. The corrosion I put in red, because I
4 think it's a really critical area, and you can see that it's
5 concentrated on the early part, up through the corrosion.

6 Next slide, please?

7 There are a number of issues that come up
8 repeatedly in these various contentions. Overall, Nevada
9 believes that the program under-estimates the dose to this
10 imaginary RMI, individual, at the measuring point.

11 But, criticisms that come up are reliance on
12 inadequate models, under-estimates of uncertainty, failure to
13 evaluate performance with alternative models, insufficient
14 data, inadequately supported parameter probability
15 distributions, and reliance on average flows when more
16 realistic episodic flows would produce different results.

17 I particularly want to stress the item about
18 alternative models, and the last one about using averages
19 instead of episodic flow. All of these models, even the best
20 ones, are very crude representations of reality, and it's
21 very important to have alternative models. First of all,
22 it's required in the regulations. But, there's a reason for
23 it, because you really need cross-checks looking at things
24 from different points of view in order to have confidence in
25 the results. And, average flows often give you quite

1 different answers than episodic flow because you're dealing
2 with another layer of systems.

3 Next slide, please?

4 I want to concentrate a little bit on the drip
5 shield because to my mind, this is really the key area. The
6 drip shield is in the design to protect the waste from the
7 water. It's supposed to keep the waste dry, and that way, to
8 prevent corrosion, keep waste package dry. The problem is
9 DOE doesn't plan to put the thing in for 100 years. Now,
10 first of all, there's a problem in relying on something like
11 that just because it's so far off in the future, and
12 intrinsically uncertain.

13 It may also be impossible physically to do it, and
14 the Board has gotten the briefing from Frank Kendorski
15 sometime earlier on this subject, who's a mining engineer.
16 DOE does not at this point have a real design for remote
17 underground drip shield installation. It's a very
18 challenging environment, and so on. But, it does not even
19 consider the possibility that drip shields won't be
20 installed, and it claims it never did any calculations for
21 this case, which I find incredible for a bunch of inquisitive
22 people at a laboratory who are running this program, that
23 they would not check to find out what the answer is. I'm
24 also amazed that the NRC staff has not asked for this
25 calculation.

1 Now, it turns out that if you use the early drip
2 shield failure case, you can get an answer, and it turns out
3 that the answer you get is that without the drip shield, the
4 dose exceeds the EPA standard within about 1000 years, and it
5 goes way above it by about 2000 years.

6 One of the responses from the NRC is well, there
7 will be a license condition to require a drip shield. This
8 is completely unenforceable, and it's just meaningless. What
9 it comes down to is that DOE is asking for a license now on
10 the promise that someone will install the drip shields in 100
11 years, and I leave it to you to decide whether that's a
12 reasonable thing to rely on. Even with the drip shield,
13 there is no redundancy in the system, and, therefore, no
14 defense-in-depth, which is completely at odds with NRC's
15 safety philosophy in reactors, and certainly power reactors.
16 It is also completely at odds with international safety
17 standards. Some mention is made, you know, what does the
18 IAEA think, and so on.

19 I don't know how many of you know that we are party
20 to something called the Joint Convention on the Safety of
21 Spent Nuclear Fuel, of Spent Fuel Management, and so on.
22 It's a treaty and one of the things it says is that in
23 formulating your national standards, you're supposed to pay
24 due regard to the internationally endorsed criteria and
25 standards.

1 Well, if the IAEA, the closest thing to that are
2 the guidelines from the IAEA in a report they wrote in 2003.
3 And, one of the things they say is that a multi-barrier
4 concept means that the failure of one component does not
5 jeopardize the safety of the containment system as a whole.
6 And, that is really the practice in other countries. I
7 looked at in particular at the standards in Finland, which is
8 the country closest to building a repository, and I quote
9 what their standards say. It says, "The long-term safety of
10 disposal shall be based on redundant barrier so that the
11 deficiency in any one of the barriers or a predictable
12 geological change does not jeopardize the long-term system."
13 And, that is not the case in this design. And, to my mind,
14 this is the Achilles Heel of the entire system.

15 I'm going to turn things over to Marty at this
16 point for the remainder of the briefing.

17 MALSCH: Thank you. I'm just going to cover a few
18 slides here.

19 First of all, programmatic and legal hearing
20 issues. That has been mentioned. Almost all of Nevada's
21 safety contentions were admitted by the NRC's Atomic Safety
22 and Licensing Boards. In fact, three separate boards were
23 appointed to rule on the various petitions and contentions
24 that have been filed. Each board, the boards concluded both
25 a legal component and a technical component. And, so, the

1 admission of these issues as contentions reflects their
2 judgment that these issues were relevant and material and
3 were supported by sufficient technical facts and opinion to
4 make them genuine issues. So, this is an important step
5 forward for the State of Nevada's case, although, of course,
6 it's not the end of the State's case.

7 These included a number of so-called programmatic
8 contentions. I'll just summarize them briefly. The first
9 one, which is designated Nevada Safety 001, we had to follow
10 a particular nomenclature in labeling these, said that DOE
11 lacks the necessary safety culture to be an NRC licensee
12 because it has demonstrated a propensity to put schedules
13 ahead of safety. And, we supported that contention with
14 extensive documents suggesting that that was in fact the
15 case.

16 Nevada Safety 002, again, supported by extensive
17 documentation, says that DOE lacks the ability to safety
18 manage the construction and operation of a complex project
19 like Yucca Mountain. Our documentation included some history
20 of prior DOE failures in this respect.

21 Nevada Safety 003 says that based upon past
22 history, DOE has not demonstrated its ability to implement an
23 adequate quality assurance program. And, again, here too we
24 had supported our contention with extensive documentation
25 suggesting that that has been the case in the past.

1 So, those are three programmatic contentions. All
2 were opposed by DOE. All three were opposed by the Staff, in
3 part on what we thought was a ridiculous legal proposition,
4 that in designating DOE as the applicant, Congress precluded
5 NRC from inquiring into issues such as these three. It turns
6 out there's no support for that proposition in the statute,
7 and the Licensing Boards agreed. So, those three issues were
8 admitted.

9 The next is a group of contentions which deal with
10 the drip shield in the multiple barrier concept. We have
11 about 20 contentions that--actually, a little more than that
12 that address the drip shield. And, I wanted to focus here on
13 just two especially important ones. Nevada Safety 161
14 reflects what Victor just told you a little bit earlier. It
15 says that because of the requirement for multiple barriers
16 and defense-in-depth, that postclosure safety cannot be so
17 dependent on a single barrier, in this case a drip shield,
18 that the EPA standards would be violated without it.

19 And, to support that contention, we not only
20 provided some technical support along the lines that Victor
21 mentioned, but we also pointed out to the Licensing Board
22 that in promulgating its regulations on licensing Yucca
23 Mountain in Part 63, the NRC said very clearly and
24 specifically that safety could not and should not depend
25 wholly on a single barrier. This contention, as I indicated,

1 was admitted by the Licensing Board, and so this will be a
2 very important issue that will be litigated and discussed
3 further in the licensing hearing.

4 The other important contention related to this that
5 I wanted to mention was Nevada Safety 162, which points out
6 that DOE's plans to install the drip shield about a hundred
7 years from now, after all the wastes are in place in the
8 tunnels, and just prior to repository closure, cannot be
9 justified as safe because if it turns out that for some
10 reason the drip shields cannot be installed, there is no
11 alternative. The wastes will have already been emplaced, and
12 there will have been no alternative there in that situation
13 to deal with safety short of retrieving the wastes. And, in
14 that respect, DOE has offered in the application no actual
15 plans for retrieval.

16 So, from our standpoint, the analogy would be
17 authorizing the operation of a nuclear power reactor with the
18 cooling system to be installed, you know, at the first or
19 second refueling outage. And, it's all fine to say we'll
20 make that a license condition, but it's a little bit late.
21 So, from our standpoint, to install the drip shields after
22 the wastes have been in place is inherently unsafe. That's
23 Nevada Safety 162. Again, that was admitted as an issue in
24 the hearing.

25 I just wanted to mention briefly two other

1 programmatic contentions. One is Nevada Safety 146, which
2 says based upon an analysis of the history of the
3 regulations, that actually, Part 63 and its predecessor Part
4 60, were designed as precursors to what is now Part 52, and
5 the intention was at the time, and that intention has never
6 been changed, to require DOE to file its application, and
7 include with that application final design information, not
8 preliminary design information. And, so, this contention
9 says that the application fails because at best, it has
10 preliminary design information, and little or no final design
11 information.

12 Again, that contention was admitted as a legal
13 issue subject to further argument as to whether that is, in
14 fact, the legal situation, which we think it is.

15 Last, I wanted to mention Nevada Safety 168 and
16 169, which really focuses on the retrieval concept. They say
17 the license application is deficient for failure to include
18 credible evidence that the waste packages could actually be
19 retrieved, and for failing to include actual retrieval plans.
20 And, again, this keys into also our contention relating to
21 the timing of drip shield installation.

22 As I indicated, all these contentions were
23 admitted, in fact, virtually all of Nevada's contentions were
24 admitted.

25 There was a process for appealing the admission of

1 those contentions to the Commissioners themselves. DOE filed
2 no appeal, and, therefore, from not doing so, it has forever
3 given up its right to complain about this particular Board
4 ruling.

5 The NRC Staff did file an appeal. It implicated a
6 number of Nevada's contentions, although it really only
7 attacked and supported the rejection of a few of them. In
8 any event, we filed an opposing brief before the Commission,
9 and I think we expect the Commission decision under its
10 decision schedule sometime toward the end of this month.

11 So, that concludes my presentation.

12 GARRICK: Thank you. Well, let's see, I'm sure we have
13 some questions, so we need to have you up there, both of you.
14 Yes, David first.

15 DUQUETTE: Duquette, Board.

16 I found it interesting that you, of course, have 34
17 contentions that deal with corrosion, and corrosion has been
18 a major issue for this Board for a very long time, as you're
19 aware. Do you think that you've lost some credibility by
20 having to go abroad for your single corrosion consultant,
21 especially since you had someone in your employ for a very
22 long time who supervised the Catholic University work, as
23 well as having outsourced the work to China. Certainly, from
24 my point of view as a corrosion scientist, there were
25 certainly other competent corrosion scientists and engineers

1 in this country who could have represented the State. I
2 don't know if they refused to or you just couldn't find
3 anybody who wasn't tainted by having worked with DOE before.
4 But, I could name a half a dozen just sitting here without
5 even doing much work on it.

6 I certainly was amazed at the fact that you used a
7 single corrosion consultant for 32 contentions. And, while
8 Dr. Cottis is a competent corrosion scientist and engineer,
9 in my opinion, he tested on a lot of things where you could
10 have gotten some other expert input. Could you comment on
11 why you felt you had to go to Brittan for a corrosion
12 scientist to represent the State?

13 GILINSKI: Well, I didn't do that, so I can't give you a
14 specific answer. But, I know in general, in many of the
15 areas, people you would normally go to had one or another
16 relationship with DOE. But, I can't--it's a personnel matter
17 and I can't give you a specific answer.

18 GARRICK: Ron?

19 LATANISION: Latanision, Board.

20 Just a follow-up to Professor Duquette's question.
21 I do know the institute in China, the Institute of Metals
22 Research, it turns out that it's led by one of my former
23 students, and, so, while I can't be totally objective, I
24 think it is a--

25 GILINSKI: Is this Professor Hun?

1 LATANISION: But, that notwithstanding, I think there's
2 an area of greater concern to me in terms of the corrosion
3 work, and that is that, you know, we did hear quite a lot
4 about the work that was done at Catholic University. It did
5 create a bit of a stir, and I think ultimately, the state
6 chose to look at a slightly different approach to the testing
7 that was going on at Catholic, and they did move that work to
8 China.

9 We had some very passing comments during previous
10 public meetings about the work in China, and, in fact, at a
11 couple of different junctures, we were told that there were
12 reports available on this work, that it would be made
13 available to the Board. And, we have never seen that, so I
14 really don't know what kind of work has been done in detail.
15 I don't know how thorough it was. I'm not able to judge, nor
16 am I of the opinion that anyone has had that opportunity.

17 So, while I can verify that this institution does
18 have a good staff I think, I can't tell whether or not the
19 work is of value or not. And, I'm wondering why we have
20 never seen it.

21 GILINSKI: Well, were you referring to Professor Hun?

22 LATANISION: Yes.

23 GILINSKI: There are reports of their work on the LSN,
24 the Licensing System Network, in which all of the Yucca
25 Mountain documents are placed. And, I don't think it would

1 be any problem to get those to you.

2 LATANISION: Well, I'd be interested to see them. We
3 were promised them, and I don't recall ever seeing them.

4 GILINSKI: I'm sorry you didn't get them. But, they are
5 public.

6 LATANISION: Mr. Chairman, maybe this would be a useful
7 subject--you know, it may be a moot issue, but there are
8 technology questions that they were addressing, and I'd like
9 to hear them.

10 GILINSKI: No, you should have them, and we'll get them
11 to you.

12 LATANISION: Okay, thank you.

13 GARRICK: Yes, Bill?

14 MURPHY: This is Bill Murphy of the Board.

15 I recognize the challenge of gaining confidence in
16 a model as complex as the TSPA code. It's gigantic and it
17 has--there are a lot of hard issues addressed, and I see in
18 your presentation you note that you can in fact check, and I
19 presume you have checked the individual DOE calculations.
20 And, I wonder if it's fair to conclude that you have come to
21 the conclusion that it is in fact reliable, at least to the
22 extent that you are using it to do your drip shield absence
23 calculation.

24 GILINSKI: No, they haven't made changes in the code.
25 What they've done is basically taken DOE inputs and gotten

1 DOE outputs, and checked it that way. So, they've just made
2 individual runs. What they have done, however, is looked
3 into the code itself, into the structure of the code to try
4 to understand that, and that has influenced their thinking.

5 MURPHY: To the point that you feel confident that you
6 can use it to do your calculations of drip shield absent
7 performance?

8 GILINSKI: I think the answer is yes. I'm not involved
9 with them directly, but they have run the code and I think,
10 in principle, could do that calculation themselves.

11 GARRICK: Yes, go ahead.

12 MOSLEH: Mosleh, Board.

13 I have a question regarding your interpretation of
14 barriers. In two slides, your focus is lack of redundancy,
15 and the IAEA criteria refers to a multi-barrier system, but
16 doesn't say explicitly that those barriers need to be
17 engineered systems. Yucca Mountain, or geological
18 repositories such as Yucca Mountain, will have a natural
19 barrier and an engineered barrier. What is your--

20 GILINSKI: Well, but if you accept the calculation, the
21 extrapolation from the early drip shield failure case, then
22 without a drip shield, you can't meet the EPA criteria. So,
23 there are not redundant barriers. You're sort of piling up a
24 bunch of barriers and getting to the point where you meet the
25 standard. But, if you pull one of those out, you don't meet

1 the standard.

2 MOSLEH: So, it's a probabilistic assessment of the
3 inefficiency of a lack of the barriers that is the question,
4 but the barriers are there--

5 GILINSKI: Well, I mean, multi-barrier can't mean that
6 you've got sheets of paper here, and then, you know, you
7 can't count those as a barrier. They've got to mean
8 something.

9 MOSLEH: No, I agree with you. But, in principle, the
10 question then goes back to whether those perform.

11 GILINSKI: Right. Yes.

12 MOSLEH: There are barriers, but--

13 GILINSKI: That's right. There are barriers, but do you
14 have redundancy. Does the failure of one of those barriers
15 lead to failure of the system in terms of the EPA standards?

16 MOSLEH: Meeting the probabilistic criteria.

17 GILINSKI: I suppose, yes, in the sense that you have to
18 do many calculations.

19 GARRICK: I'd like to follow up on that a little bit,
20 just to illustrate the fact that the opportunity exists in
21 this business to confuse the hell out of the public, and also
22 a lot of scientists and engineers. When you talk about
23 multiple barriers, and I think this is what Ali was getting
24 to, from a risk perspective, and you tell me that, or you
25 suggest that the multiple barrier situation with respect to

1 the repository is inferior to the multiple barrier situation
2 with respect to a nuclear power plant, that's an outrageous
3 observation.

4 GILINSKI: Can you deny that?

5 GARRICK: Pardon?

6 GILINSKI: Can you deny that, that there's a difference?

7 GARRICK: There's a difference, but--

8 GILINSKI: A significant difference?

9 GARRICK: What you're not saying is that in the case of
10 a nuclear power plant, there's tons and tons of TNT
11 equivalent stored energy, which is the driver that we tend to
12 really worry about when we're assessing the safety of a
13 nuclear power plant. In the case of the repository, we don't
14 have that. It's relatively benign, and we have long, long
15 time constants that allow us to deal with issues as they
16 develop. We have the capability to monitor and to observe
17 phenomenon, and there are barriers. There are clearly
18 barriers.

19 And, the other point that's connected with that is
20 that a lot of these dose calculations that you see with
21 respect to removing of a particular barrier are an artifact
22 of the model--an artifact of the model. If in fact the
23 design approach has been to not include a drip shield, there
24 would have been an entirely different model, and that model
25 very likely would have put a great deal more emphasis on a

1 much more detailed characterization and modeling of the
2 source term, for example. And, that was not done. That was
3 not done. A very simple model was employed for the source
4 term, and the models made it increasingly dependent upon
5 these engineered barriers. But, it doesn't mean--it doesn't
6 mean, you said it yourself, you know, that the models have a
7 difficulty representing reality, they tend not to.

8 On the other hand, if you were trying to design
9 this repository without engineered barriers, what one would
10 do, of course, there's a lot more research and development
11 that's been done with respect to the capability of the
12 natural system. And, this has been one of the other issues
13 that this Board has attacked, is that there probably is a
14 great deal more opportunity for attenuation and containment
15 and confinement and sequestering of radionuclides in the
16 natural system, had we performed a much more detailed model,
17 particularly in the near field.

18 So, you know, if you take these issues and isolate
19 them, and isolate them with respect to a particular model,
20 you confuse the issue completely. And, I have not seen, for
21 example, a bottom line analysis by the State or by the UK or
22 by anybody other than DOE. That's what's important. What is
23 the opposing model of the risk of Yucca Mountain? I have not
24 seen that.

25 GILINSKI: You know, you call this an outrageous

1 statement.

2 GARRICK: No, it's not an outrageous statement. All I'm
3 saying is that a lot of these individual pieces are out of
4 context, and they may be relevant and they may not. This
5 Board agrees with you on a lot of them. We agree that
6 corrosion is a major issue. We agree that the drip shield
7 issue is an unsatisfactory one the way it's been handled.
8 But, on the other hand, that may or may not be relevant.
9 That may be--

10 GILINSKI: Look, you are speculating that somewhere out
11 there there's a calculation that if properly performed, would
12 result in a lower source term and more effective barriers,
13 geologic barriers.

14 GARRICK: No, Victor, what I'm saying is the calculation
15 hasn't been done. I'm not speculating on it, but I would
16 like to see that calculation.

17 GILINSKI: Well, sure, let's see the calculation. But,
18 we are dealing with the license application as submitted by
19 DOE, and the standard as set by EPA.

20 GARRICK: Yes, and we're not doing that. We're looking
21 at this system as a technical issue, as a technical problem.
22 We're not experts on the regulations.

23 GILINSKI: Well, if you're just doing research on
24 geophysics, or something, that's another matter. But, we're
25 dealing with a specific project, the Yucca Mountain project.

1 GARRICK: Well, I think we do a disservice when we take
2 these individual issues and we present them as if they are
3 serious issues when in fact from a risk perspective, they may
4 be irrelevant.

5 GILINSKI: You know, you may very well be right, and
6 there may be calculations out there that prove that you are
7 right. But, the fact of the matter is in the United States
8 of America, someone said we're a system of laws, we have to
9 make a decision, and we have to make a decision on the
10 application as presented by DOE.

11 GARRICK: I understand that.

12 GILINSKI: Against the standard as set by EPA, and it
13 doesn't make it.

14 GARRICK: Yes, I understand that. Yes, Andy?

15 KADAK: Do you consider the cladding a barrier?

16 GILINSKI: Everything is a barrier, sure.

17 KADAK: Do you consider the waste package a barrier?

18 GILINSKI: Yeah.

19 KADAK: The canister?

20 GILINSKI: Yeah.

21 KADAK: Do you consider the overpack a barrier?

22 GILINSKI: Everything is a barrier.

23 KADAK: Do you consider the drip shield a barrier?

24 GILINSKI: If it's there.

25 KADAK: Do you consider the geological media a barrier?

1 GILINSKI: Yeah.

2 KADAK: So, there are multiple barriers.

3 GILINSKI: Don't play word games like this. It's
4 ridiculous.

5 KADAK: I'm just trying to clarify the issue.

6 GILINSKI: You know, you put a bunch of sheets of paper
7 in there, you get more barriers.

8 KADAK: These are not sheets of paper, as you know.

9 GILINSKI: But, they've done calculations and they found
10 that those barriers don't meet the standard.

11 KADAK: I just want to make clear that this is a
12 multiple barrier system, which you're not saying.

13 The second question I have for you is you're a
14 former NRC commissioner?

15 GILINSKI: Right.

16 KADAK: You understand the NRC process. Do you think
17 the NRC process is adequate for assessing something like a
18 repository for geological--or would you recommend an
19 alternative process that is perhaps more realistic in terms
20 of getting at a safe solution to disposal of nuclear waste?

21 GILINSKI: You know, we have a system in this country of
22 deciding on questions of nuclear safety, the responsible
23 agencies, the Nuclear Regulatory Commission, we look to them
24 to do a good job. We hope they will act competently and
25 fairly. That's our system. But, getting back to your point

1 about multi-barrier, you're just playing word games, you
2 know. Of course, there are many barriers, but the question
3 is are they effective. Is there redundancy?

4 KADAK: Yes.

5 GILINSKI: And, does the failure of one barrier fail the
6 system, and the answer is yes. Now, how do you deal with
7 that?

8 KADAK: But, again, you're making the assumption that
9 the barrier that's imposed in the design, or included in the
10 design, will not be installed, and I'm saying--

11 GILINSKI: First of all, even if it is installed, it's
12 still not a redundant barrier. But, there's a serious
13 question about whether it will be installed. And, you know,
14 under the rules, you're supposed to look at things as there's
15 a 10 to the minus 4 probability of failure over this period
16 of time. Now, you don't have to take my view of this that
17 it's unlikely the barrier will get in. You certainly have to
18 agree it's not an absolutely sure thing, and there's a 10 to
19 the minus 4 chance that it won't be in. And, in that case,
20 they should be doing a calculation. And, I have to say I'm a
21 little disappointed in the Board, that the Board has not
22 asked for such a calculation either.

23 KADAK: Our role basically is to evaluate what has been
24 given to the Board--

25 GILINSKI: But, you're a technical agency. You're not

1 supposed to work with blinders on. You're supposed to be
2 inquisitive and inquire.

3 KADAK: We are.

4 GILINSKI: Well, why don't you ask for that calculation?

5 KADAK: We can.

6 GILINSKI: Please do.

7 KADAK: Whether it's being done or--

8 GILINSKY: Please do.

9 GARRICK: Okay. I like this kind of stuff. Yes, Thure?

10 CERLING: Cerling, Board.

11 On Slide 8, you comment that the TSPA calculations
12 are biased towards under-estimates in water flow and waste
13 package corrosion, and so on. And, what we've been hearing
14 from DOE all along is that their estimates are conservative
15 and build on each other, so that they in fact over-estimate.
16 So, since water is the principal issue, what is DOE's belief
17 as to the infiltration and the water flow rates in the
18 mountain?

19 GILINSKI: What is DOE's view?

20 CERLING: Not DOE's. But--

21 GILINSKI: Well, I'm just conveying the collective view
22 of the experts that are working for Nevada. If there was not
23 a dispute of this sort, then Nevada wouldn't be involved
24 here, and these are the questions that have to get settled at
25 a hearing through examination by the parties and settling on

1 the answer.

2 GARRICK: George?

3 HORNBERGER: Yes, I'm curious, the question was asked of
4 Russ about DOE and continuing funding given the
5 Administration's standpoint. So, do you still have full
6 funding, the State of Nevada, to support the consultants that
7 you used for this work?

8 GILINSKI: In the appropriation is some amount of money
9 set aside for Nevada. I'm not the right person to ask about
10 that. I think it's been reduced from previous years, but I'm
11 not sure.

12 GARRICK: Yes, Howard?

13 ARNOLD: Arnold, Board.

14 I'm going to partially repeat a question I think
15 that Andy asked, and it relates to this process. Are you
16 comfortable that the NRC process is the adequate--will
17 adequately resolve these issues, and win or lose, you'll
18 agree that they're settled at the end of the process?

19 GILINSKY: Well, I think, I can't entirely speak for
20 Nevada, I mean, I think if they lose, they'll be unhappy
21 either way. But, I think we have to rely on the NRC here and
22 look to their, as I said, confidence and fairness and
23 whatever reservations we may have about that, that is the
24 system that we have.

25 GARRICK: Is the State in support of the continuation of

1 the licensing process?

2 GILINSKY: I think the State would like to see the
3 project cancelled and the entire process ended.

4 LATANISION: I'm sorry, I didn't hear that fully.

5 GILINSKY: I think the State opposes the project, and
6 would like to see it cancelled.

7 GARRICK: Yeah. Okay, any other questions from the
8 Board?

9 (No response.)

10 GARRICK: How about the staff? Yes, Carl? Carl
11 DiBella.

12 DI BELLA: This is Carl DiBella. I have two questions.
13 One for Dr. Gilinsky and one for Mr. Malsch. On your Slide
14 10, at the very bottom, you say, "Disposal in an oxidizing
15 environment violates IAEA guidelines." Can you elaborate on
16 that?

17 GILINSKY: Well, I was referring to the same guidelines
18 in the second bullet, and one of them is that there should be
19 reducing environment. The document, Scientific and Technical
20 Basis for Geological Disposal of Radioactive Wastes. I can
21 supply that for you if you'd like.

22 DI BELLA: We can get it from your reference.

23 GARRICK: But, it has to be remembered that they're
24 talking about guidelines. They're not talking about
25 regulations or rules.

1 GILINSKY: Right.

2 GARRICK: Yes.

3 GILINSKY: I'm not representing this as a law, but those
4 are the international guidelines.

5 GARRICK: Right.

6 GILINSKY: Did you have one for Marty?

7 DI BELLA: Yes, I do. Now, let's see if I can ask this
8 correctly to get the answer to the question I want to ask.

9 Based on your experience, how long and how much
10 effort, or what's the range of duration and effort that it
11 takes to resolve a technical contention once it has been
12 admitted, from just looking at prior experience, not looking
13 at Yucca Mountain, can you pull something out of the
14 experience that might answer that question?

15 MALSCH: You know, the answer depends, so importantly,
16 on the contention. It's hard to give, you know, a general
17 kind of an answer. I would say for a detailed, very specific
18 technical contention, we'd be talking about on the part of
19 all the parties, probably several person years worth of work.
20 I would say that to complete this proceeding, assuming all
21 300-or so contentions go through the entire discovery
22 process, and then the whole hearing process, would take at
23 least three years, possibly in excess of four years.

24 But, there are processes built into the system to
25 short-circuit issues. I mean, there are ways in which you

1 can dispose of contentions purely on the basis of legal
2 briefings and arguments. There are ways you can dispose of
3 contentions just on the basis of expert affidavits and
4 papers, and never go to the hearing process.

5 So, I mean, I have to say I was a part of--I spent
6 most of my career at the Nuclear Regulatory Commission. I
7 was a part of the legal team that constructed these hearing
8 procedures. As hearing procedures go, as government agencies
9 go, they're pretty well constructed and very well designed to
10 make sure that something doesn't actually get to an oral
11 hearing stage unless it's really a big controversy. The
12 whole effort is to get issues resolved on the basis of papers
13 first, the contention stage, for example, or on the summary
14 disposition stage, or whatever. And, so, the process is very
15 efficient.

16 I would say, though, these are probably more
17 contentions than the NRC has ever seen before in a proceeding
18 such as this. They've seen lots of contentions and there
19 have been very complicated proceedings, but this one could be
20 one of the more complicated ones.

21 So, that's the best answer I can give. It's hard
22 to give you, you know, anything more precise.

23 GARRICK: Andy?

24 KADAK: Do you think the NRC process, recognizing that
25 it's going to be fair and objective, for this kind of a

1 facility, is this the right process? Are we really able in a
2 regulatory way to make a finding that would give people
3 confidence that something is a million years good, so to
4 speak? Or, might there be another process in which the
5 regulatory review process allows one to take steps and make
6 judgments according to what the best analysis will show, and
7 yet keep it flexible enough to correct should there be any
8 difficulties. As opposed to getting a license, okay, this
9 license is good for a million years, apparently what's going
10 on now.

11 MALSCH: I think the process as it exists is pretty
12 flexible. I mean, it's just that there are specific hold and
13 decision points. And, I've been a little disappointed in the
14 NRC review process so far, but as Victor said, it's what we
15 have. I'm hopeful it will be very thorough, and I'm hopeful
16 when the result comes down, we'll be able to say, all of us,
17 that it was a very thorough, fair process, and the decision
18 was a fair one. But, we'll have to see.

19 KADAK: I'm going beyond Yucca Mountain in the sense
20 that if this Blue Ribbon Commission comes forth with a
21 recommendation about alternative fuel cycle, alternative risk
22 strategies, might want to also include an alternative
23 licensing process that I guess gives everybody a better
24 feeling about fairness and outcomes and technical
25 credibility.

1 MALSCH: I mean, I have to think about that. I mean,
2 I'm not sure I know what the answer is. It's a good question
3 to ask. Lots of people have asked that question about this
4 facility, about nuclear power plants, for that matter. I'm
5 not sure I have a good answer, but what we have is what we
6 have. It's, for at least the suite of nuclear power plants
7 we have, it's been exercised very well and has produced
8 generally very good results.

9 KADAK: But, this is very different.

10 MALSCH: Well, it's very different, but actually if you
11 break it down into pieces, into individual technical issues,
12 it actually turns out to be very similar. I mean, what is
13 dissimilar about it is because we're talking about such
14 long time frames, you can't do analyses without making
15 assumptions. And, so, hopefully, you've made the right
16 assumptions, and given those assumptions, the result you end
17 up with is actually telling you something that's useful.

18 KADAK: Thank you.

19 GARRICK: Any other questions or comments? Yes, John
20 Kessler.

21 KESSLER: John Kessler, Electric Power Research
22 Institute.

23 This is a comment or question more addressed at the
24 Board and the whole licensing process. It brings to mind
25 this discussion, the earlier discussion about needing to have

1 the licensing process continue. The example here is that
2 EPRI did an analysis last year where we specifically said we
3 don't think that the drip shield is needed because if one
4 did, for best estimate, yet probabilistic analyses, one could
5 find that at least in our case, the doses were still below
6 the regulatory limits without the drip shield, and made
7 arguments why things could be better without it, at least in
8 terms of safety issues that don't necessarily have to do with
9 meeting Part 63 regulations. So, that's certainly one way
10 where it would be great to have a hearing of not only the
11 State's opinion, but EPRI's, as well as certainly DOE's and
12 NRC's on that.

13 The other thing that would be useful about
14 proceeding with the licensing process is the issue of
15 multiple barriers. I believe that NRC Staff, when they wrote
16 Part 63, were very careful in distinguishing between multiple
17 barriers and redundant barriers, and there is some question
18 about what that means and what is adequate. And, I think the
19 licensing process would be helpful there.

20 GILINSKY: But, when you say--I know you addressed it to
21 the Board, but when you say this ought to be studied, you're
22 really talking about an alternative application.

23 KESSLER: No, I'm not talking about an alternative
24 application. I'm talking about the fact that the State has
25 done an alternative analysis, EPRI has done an alternative

1 analysis, other people have done analysis around the DOE
2 analysis. All of that presumably will be part of the
3 licensing process, if the licensing process continues.
4 That's all I mean.

5 GILINSKY: Well, okay, I mean a Board--I mean, the NRC
6 is reviewing the DOE application, and--

7 KESSLER: Sure, and they're reviewing all the input to
8 that application, including the State of Nevada's.

9 KADAK: Just a comment--

10 GILINSKY: Yeah, I think I have a comment I'd like to
11 say--

12 KADAK: Hold on. I just want to respond to his
13 statement. I think what John is saying and what both Johns
14 are saying is that the assumptions and the methodology depend
15 on--in the analysis that DOE did, they were very simplistic
16 in their modeling of corrosion itself. They were simplistic
17 in treatment of the source term because they felt that it
18 didn't matter, which is what EPRI is having to do in terms of
19 their more detailed analysis of how that package fails. And,
20 in their analysis, they show the drip shield apparently is
21 not significant.

22 So, I think what John was saying is if you go to
23 the next level of detail and do a best estimate analysis of
24 what you really think will happen, as opposed to well, let's
25 make a simplifying assumption and then we don't care because

1 the drip shield is there, we get different results. So, it's
2 not surprising that when you do your analysis, using the
3 conservative assumptions of fuel failure, you'll get higher
4 doses than the DOE did. So, this is not a surprise. But, I
5 think what John is saying is in the licensing process, it is
6 hoped that this kind of an analysis will come out.

7 GILINSKY: Well, it would require an amendment on DOE's
8 part to incorporate that, unless EPRI wants to apply for a
9 waste repository license.

10 KADAK: We're talking about what is the safety of the
11 repository, and I think that's what--

12 GARRICK: Okay, yes, quickly.

13 ELZEFTAWY: Very quickly. I just wanted to, number one,
14 commend the Board because this is the first time ever--the
15 first time ever, John, that I saw the Board, and I have
16 attended most of the Boards, that the Board is very active in
17 asking very good questions. And, that's very good. They put
18 you on the spot, they put Russ Dyer on the spot, and from my
19 point of view, I like that. I wish the Board had done that
20 from the year 1987, but many, many, many times it wasn't that
21 way.

22 One other thing I wanted to say, when I went to
23 work for NRC in 1983 to put together 10 CFR 60, I was a very
24 passionate person like the Board people, and I was a very
25 good scientist and I was doing all this. You know what?

1 They taught me to go to the lower areas of the NRC, and I
2 think Galespy was a Commissioner at the time, to learn about
3 what the NRC process--

4 GILINSKY: Gilinsky.

5 ELZEFTAWY: Then, all of a sudden I found out that even
6 though that you have the DNA analysis 100 percent as a
7 scientist, you may lose your case in the court. So, the
8 court, that's why I have two daughters lawyers, so the court
9 is completely different--I have one scientist, too--so, the
10 court is completely different. The licensing application
11 process, here's a person who might be a ticken tote on the
12 Board some day, is going to be finding out what is fair and
13 most of the time that when it went through the nuclear power
14 plants, they found out really what's good and what's bad.

15 So, I think what I'd like to see is to continue on
16 doing this thing, and continue on looking at another
17 alternative. Your analysis doesn't have to be really
18 complicated, Professors. Einstein made his thesis in maybe
19 two pieces, and Einstein was German--he wasn't American, if
20 you understand that. So, you don't have to be an American--I
21 have a (inaudible) in America, too, but I have another one
22 from Egypt. That doesn't mean the first one is gone. The
23 first one is good. The second one is good.

24 So, I think we need to realize that instead of
25 hitting the--I don't get any money from them or nothing--but

1 I read all their, what is it, 1500 pages on the internet, I
2 downloaded and I read it. There are some good things you
3 need to read, and the internet is available. The LSN system
4 is available. So, if you don't have anything, get on the
5 internet and you can read for yourself and educate yourself.
6 It doesn't have to be coming to you.

7 Good luck to you.

8 GARRICK: Thank you very much. We're right on schedule.
9 I want to thank you for your presentations. We appreciate it
10 very much.

11 GILINSKY: Thank you for your patience.

12 GARRICK: And, we'll now take a break until 10 o'clock.

13 (Whereupon, a recess was taken.)

14 GARRICK: Okay, can we come to order, please?

15 Rod McCullum of the Nuclear Energy Institute is
16 going to give us a presentation on the status and projections
17 of domestic commercial nuclear waste inventory. Rod?

18 MC CULLUM: Thank you, Dr. Garrick, and it's a pleasure
19 for being here today to address the Board.

20 I want to start by pointing out--actually, I was
21 going to refer to the title slide. You're seeing a
22 presentation on integrated used fuel management, and on your
23 agenda, it says status and projections of domestic commercial
24 waste inventory. I am going to give you our projections on
25 commercial waste inventory, but I think as has been alluded

1 today, what's really important is the total systems
2 perspective, and that the system is impacted by concerns,
3 both technical and political. And, also because if I just
4 gave you the numbers, I'd bore you to tears. Now, I might do
5 that anyway.

6 Also, before I get into it here, I would like to
7 empathize with some of the comments I heard made this
8 morning, particularly when Dr. Garrick talked about the
9 possibility that we could be making decisions on a 100
10 percent political basis, and that the scientists should just
11 give up. I would urge all of you scientists in the room not
12 to give up, and in looking at the current situation and some
13 of the questions we have with the current situation, I'm a
14 little like Russ, how I view it changes every three hours.

15 But, at all times, I think back to my favorite
16 quote from Winston Churchill, which is--and, he said that,
17 "Democracy is the worst system of government ever invented,
18 except for all the others." So, as I try to figure out my
19 way through what we're dealing with here in used fuel policy,
20 I kind of take shelter in the wisdom of that quote, and
21 figure we will move forward.

22 But, anyway, going to the first slide now? The
23 most important part of the system is the overall implications
24 of nuclear energy, of what we do with this fuel when we put
25 it in reactors and produce electricity on our environment and

1 our economy and our general wellbeing.

2 And, you've seen this sort of thing before. The
3 future for nuclear energy is very bright, and this will be a
4 precursor to some of the numbers I will show you, because we
5 will be looking at the future and projecting in some new
6 plants and growth in the used fuel inventory. The extent and
7 the pace at which that will happen, there are of course
8 uncertainties, but there's a very strong basis for moving
9 forward with new nuclear energy. You can see by increasing
10 the capacity factors of our plants, and increasing the power
11 rating of our plants, which we have done consistently over
12 the last several decades, we've actually been producing a lot
13 more nuclear energy over the years. You see the top graph
14 there?

15 And, we have of course added the 104th nuclear
16 plant when we brought the one Brownsferry unit back on line.
17 We're going to bring the other Watts Barr unit on line, 105.
18 So, nuclear energy is growing, and with the growth and the
19 dependency on nuclear energy, public confidence is growing,
20 and also what's important about this curve, I always have to
21 mention, is is that the increase in public support for
22 nuclear energy is sustained over several, several years.
23 It's not a blip on the horizon. It's not a fad. It's not a
24 TV reality show. It's something that's been steadily growing
25 and it's based on our record of safety in operational

1 performance.

2 And, finally, I've always found it kind of
3 quizzical that we didn't seem to care about how we were
4 polluting the air until we started to melt the ice caps and
5 the polar bears started to drown. But, now, we do care.
6 And, nuclear is 73.6 percent of our non-emitting electricity.
7 So, there's a very strong basis to believe that we will
8 continue to use more nuclear fuel going forward, and there's
9 17 license applications in for 26 reactors, and 32 total
10 under consideration.

11 So, this is how we view the system, the system in
12 which we are accumulating these inventories of used fuel. We
13 in the industry have developed--and, we began doing this I'd
14 say five years ago, not as a response to the political change
15 that could happen and has happened, but in response to we are
16 a growing industry now. Does, you know, simply looking at
17 disposal, which is part of this, make sense, or do we need to
18 look at it broader. And, the answer is we did look at it
19 broader. We believe interim storage, which is going on now
20 at reactor sites and should be consolidated into one or a few
21 centralized interim storage is the first element of the three
22 pronged approach. We believe that recycling is important,
23 reprocessing, the terminologies that get used, both in terms
24 of the advanced stuff, and in giving consideration to what
25 can we do with the technologies that exist out there in the

1 nearer term.

2 Permanent disposal facility of course is a vital
3 element of this because in any scenario, no matter how
4 successful you are in recycling or how successful you are in
5 storing for however many hundreds of years, you will
6 eventually need, for the longest lived isotopes, a permanent
7 disposal facility.

8 There was a lot of discussion this morning about,
9 you know, what's the basis for where we are now, and I think
10 Dr. Kadak said it best when he brought it back to it it's the
11 law. You know, the Yucca Mountain site was judged suitable,
12 both the 1982 and 1987 amendments to the Nuclear Waste Policy
13 Act, and the 2002 Yucca Mountain Development Act are law.
14 They proscribe that the Yucca Mountain licensing process must
15 continue, and that was explicitly recognized by the
16 Department of Energy.

17 This is their Congressional budget request for
18 2010. This is the one that said they are planning to
19 terminate the program, offering \$197 million, though, to
20 continue the licensing process and the Blue Ribbon Panel.

21 The language here I'm going to read from Page 9 is
22 very important in terms of understanding what the state of
23 play is here today. It talked about that, "OCRWM, to
24 continue participation in the Nuclear Regulatory Commission
25 license application process, consistent with the provision of

1 the Nuclear Waste Policy Act." So, the Administration, in
2 this budget, recognizes that yes, Yucca Mountain is--the
3 licensing process is still the law.

4 And, then, it went on further to say, when
5 addressing the Blue Ribbon Panel, it said, "The Panel will
6 provide recommendations that will form the basis for working
7 with Congress to revise the statutory framework for managing
8 and disposing of spent nuclear fuel and high-level waste."
9 So, they recognize that it is the law until you change the
10 law. So, that's why we must go forward.

11 And, I think all the other things that were said
12 about this process being instructive, whatever direction we
13 go in, we want these now 299 questions answered. The
14 licensing process is underway. We feel it should be
15 sufficiently funded. I know the folks here today from the
16 DOE, they have to defend the request of the Administration.
17 We believe that request is low. If you really want the
18 licensing process to be a fair fight, we think a number like
19 \$340 million, not \$297 million, is more appropriate.

20 It would be a shame to have DOE's ability to answer
21 these questions, since we have to answer them by law, and we
22 want to answer them to inform our path forward, to not be as
23 well or thoroughly answered because of under funding. And,
24 we get this 340 number from looking at what DOE had planned
25 to do prior to the plan to terminate. We can't reconcile 197

1 million with what DOE had historically said would be
2 necessary to adequately prosecute the licensing process.

3 We have intervened. We are one, NEI on behalf of
4 industry, is one of the eight parties that is in the
5 licensing process. And, also alluding to a previous
6 discussion--I promise this is the last time I'll do this, and
7 I'll get to your numbers--but, on the drip shields, the
8 analysis that Dr. Kessler alluded to earlier, that is the
9 basis for NEI's Safety Contention 6, which makes the point
10 that even without the drip shields, you would meet the EPA
11 standard. We would love to have our analysis compared to
12 Nevada's analysis and DOE's analysis in an objective, fair,
13 impartial hearing. We're looking forward to that, and would
14 not understand why Nevada would not want that to also be so
15 concluded.

16 The purpose of this slide is to illustrate that
17 once you take the first bullet on the Obama Administration
18 side as a given initial condition, which again it's only a
19 given initial condition once they change the law, but they've
20 laid out a plan to do that. The industry position, the
21 integrated used fuel management approach that we are working
22 towards, and that is how we are managing the fuel within the
23 constraints of that approach now, is fairly well aligned with
24 the Obama Administration approach. We believe that until we
25 figure out a Plan B, we should reduce the nuclear waste fee

1 so that we're commensurate with what we're spending. We
2 think they should spend more on licensing, but that you're
3 bringing in 800 million into the waste fee every year now,
4 plus interest, which is even more than that, you know, about
5 a billion in interest, stop collecting more than you're
6 spending until you figure it out, is what we're saying. And,
7 you'll see continued action from industry on this.

8 We think that a Blue Ribbon Panel should look at
9 this, and that they should be objective and fair and
10 unconstrained. We'll talk about that. We think, and we
11 haven't heard from the Administration on centralized interim
12 storage, we'd like to hear more from that, and we've heard
13 the administration, particularly Dr. Chu in his most recent
14 testimony talk about recycling. We're glad to hear that.
15 Dr. Chu has a lot to say about research. We agree with that.
16 We'd also like to see some additional consideration given to
17 present day technologies as well.

18 Going on, so, this is what I have tended to show
19 you in the past, and I think what I was asked to do today is
20 to get into a little more detail into these numbers and to
21 project them forward. So, we are at the 60,000 metric ton
22 level. We've just past that. And, as you can see, a
23 significant fraction of that, 12,000 metric tons, is in dry
24 cask storage there. And, it's in dry cask storage in a lot
25 of places, 44 plant sites in 31 states.

1 We have a tremendous history with this. This goes
2 back, and I know Tom Brookmire of Dominion is in the
3 audience. Dominion is 1982, 1983--'86, okay, early, you
4 know, mid-eighties that we began this, so we have a very
5 strong history and over a thousand casks. This is very well
6 proven technology, and we feel it can continue as long as it
7 takes. And, I think the waste confidence proposed rule of
8 NRC reflects this, that we can continue to rely on dry cask
9 storage. Also noted that DOE has continued to sign new plant
10 standard contracts, based again on this same confidence.

11 So, future dry storage by 2020, we'll see that this
12 number will more than double. So, it's definitely a growth
13 industry, and it will be at virtually all the plant sites.

14 Now, a couple things here. There's also a certain
15 amount of greater than Class C waste. I know that the Board
16 asked me to look at waste. I'm looking primarily at fuel.
17 I'm not looking at low-level waste at all. You know, there
18 are four low-level waste sites in the country, and there's a
19 whole other policy system there. But, there's a small amount
20 of greater than Class C waste. And, for the purposes of the
21 projections I'm going to give you, I am not including the 313
22 metric tons at Morris, Fort St. Vrain, or Idaho National Lab,
23 not because they're not as important as all the other wastes,
24 just because they're hard to categorize. In order for me to
25 give you the projections that I'm going to give you, I had to

1 fit things into categories, and it would have just--the math
2 would have started to disconnect, so out of tens of
3 thousands, you're going to be 313 off.

4 But, anyway, go ahead. This is the objects in the
5 mirror are closer than they appear slide. I do not know with
6 absolute certainty what the future is going to be, so we had
7 to make quite a few simplifying assumptions here. We're
8 going to assume that all the current plants operate for 60
9 years. We think that a lot of them are going to operate
10 longer than that. There's already a life beyond 60
11 initiative going on in the industry, which, you know, as I'm
12 starting to get up there in age, that might be a good thing.

13 And, we're assuming a measured pace for reactors,
14 new reactors coming on line, and we're only assuming that the
15 32 that are currently under consideration come on line, and
16 you will see in a future slide that we sure hope that's not
17 true. We sure hope once you start building these few per
18 year that we're assuming in this analysis, that things would
19 accelerate based on the fact that you've established the
20 process, and it's become more routine.

21 We're assuming nuclear reactors operate 15 years
22 before dry storage is necessary, the new reactors. People
23 aren't designing huge pools trying to guess when DOE is going
24 to pick up the fuel. They're designing in right at the
25 beginning of the new reactors. I think actually the AP-1000

1 is an 18 year dry storage facility. So, that's a slightly
2 conservative number, 15 years.

3 You know, we assume that--I'm going to give you a
4 TAD scenario and a no TAD scenario--we'll assume that TAD
5 loading does begin on schedule in 2013. We feel it is
6 important that DOE continue the TAD program, just as it's
7 important and required by law that they continue the
8 licensing process, because the TADs are integral to the
9 license, not that it would necessarily be the optimal system,
10 but even if you were not going to build Yucca Mountain, DOE
11 could still go forward with TADs. Then, you'd have an
12 initial condition for the next repository. I mean, you would
13 have a standardized cask around which you could design the
14 repository.

15 Certainly, that's not the business model we'd favor
16 in industry, but then again if DOE showed up with a TAD,
17 whether or not it had Yucca Mountain, and said we're going to
18 load it and take it off your site as soon as it's loaded for
19 free, I don't think too many of our companies would fight.

20 You know, we assume that--also, there's a trend in
21 industry of DPC capacity, dual purpose canister, the non-
22 TADs, vendors are going to ever greater capacities. We
23 assume that trend will continue. Up to all the vendors will
24 reach what is today's highest capacity.

25 This is a really bad assumption, and I really,

1 really, really hope this is not true, but we're assuming in
2 this that there's no DOE waste acceptance before 2040. I'll
3 call that conservative.

4 We've got data based on information from plant
5 owners up to 2008. After 2008, we've assumed a ratio of, you
6 know, the rate at which fuel is coming out of the reactors to
7 the rate at which it's going into dry storage, in 2010, you
8 know, for every two assemblies coming out of the reactor,
9 you've got one going into dry storage. By the time you get
10 to 2026, you'll basically be loading dry casks as fast as
11 you're unloading reactors. Now, of course it won't be the
12 same fuel because it has to go into the pool first.

13 And, I've got to give props to Brian Gutherman at
14 ACI Nuclear Energy Solutions, who crunched all these numbers
15 for us. Brian does a great job of staying in contact with
16 all the companies out there, and keeping us in the know about
17 where all the fuel is.

18 This is the only slide I'm going to show you the
19 data in both metric tons and number of assemblies. It gives
20 you a basis to do the math. It also shows the trend pre-2000
21 system capacity, and now we're up to bigger systems, and,
22 future systems. I want to be especially clear here that I'm
23 not showing favoritism to any one particular vendor. I'm
24 just taking as a marker what the biggest cask is out there
25 current day, and I'm assuming we continue to go in that

1 direction.

2 Of course, the TADs would represent a reversal of
3 that historical trend. And, as I've said before this Board
4 many times, that's fine with industry as long as DOE gives us
5 a rational business reason to do that, if DOE shows up with
6 TADs and pays for them. Otherwise, we're going to continue
7 down the road you see in the first three rows there.

8 Going on. So, there's a lot of columns in this
9 because, you know, there are a lot of different types of
10 casks out there. You're going to see, this is the scenario
11 where we begin loading the TADs in 2013, and there's another
12 assumption in here that for some of these lesser loaded
13 casks, you know, people keep loading what they are loading up
14 until the TADs become available, and that may be an arbitrary
15 assumption. They may change the systems, or whatever.

16 So, you can see the 2040 number down there, and
17 that's pretty consistent with DOE's number that they got to
18 in their EIS if you keep running all the plants to the end of
19 their life. You can see with the impact of the TADs, you've
20 got the older bare fuel, the older non-transportable casks,
21 you've got transportable bare fuel casks, which again, are
22 less in vogue these days, and then the more modern DPCs.

23 Now, you have two categories of each there. These
24 all have obviously been licensed for storage because they're
25 loaded. They also have been designed for transportability.

1 They may not have been licensed--they may not have received
2 their transportation licenses yet, but there's a presumption
3 that they would get them before we'd have to move the fuel
4 off the site.

5 You can see that, in this scenario, you know, the
6 TADs would grow to a significant proportion of the cask
7 inventory, 6,000 out of 7,000. I'll allude to another NEI
8 contention in the licensing process. Again, this is why
9 we're in the licensing process, and NEI's safety too where,
10 you know, we're taking on DOE's assumption of 90 percent of
11 the fuel coming in TADs. We'd like them to use the 75
12 percent assumption that they've analyzed in the EIS. You can
13 see 75/25 works here. 90/10, they're going to have to reload
14 some things if they really want to get that, or you could
15 also increase the capacity of Yucca Mountain, and if it's 10
16 percent of a bigger number, you're fine there. But
17 otherwise, you'd either need a license amendment or a change
18 in law to get to DOE's current design assumption.

19 Going on. Now, this is throwing in the new plants.
20 Really, the only thing to say about this is you can see that
21 between the 2030 and the 2040 time frame, the number of casks
22 starts to become somewhat bigger because the new plants are
23 starting to play a role. But, again, you see a lot of casks
24 in a lot of places. A pretty similar scenario, again, the
25 same type of ratios with the 90/10, 75/25.

1 Continuing on. Now, here it is without TADs, and
2 you're looking at 8,000 casks. So, you are looking at a lot
3 fewer casks if you don't use TADs. You know, is that a
4 problem? I mean, you're starting to see all these numbers
5 and the thousands of casks and the tens and hundreds of
6 thousands of metric tons. Keep in mind all the fuel we've
7 discharged today, if stacked on a single football field,
8 would still be less than 10 yards deep. You're probably
9 getting 15, maybe 20 yards deep, not even there, and, so,
10 you're still talking about a relatively small amount of
11 material.

12 You know, when you're looking at only 10, 15 metric
13 tons in a cask, it's a sign of how well protected these casks
14 are. You have relatively large casks for not that much fuel.
15 And, again, having already loaded over a thousand of these
16 things, postulating that we'd safely load 5,000 to 8,000 or
17 4,000 to 7,000 more in the next 30 years is not unreasonable.
18 I mean, the base of experience supports this basically being
19 a fairly routine iteration.

20 You know, we have, and I know there's people in the
21 audience who can speak to this better than I can, you know,
22 we have aging management programs in place. I know Tom has
23 extended the license of some of his casks out there. We can
24 continue to do that. NRC's Waste Confidence rulemaking
25 that's pending recognizing the experience and the expectation

1 that these things are good for at least a hundred years.

2 When you look at the way a dry cask is designed,
3 and you compare it to steel and concrete structures in places
4 like Washington, D.C. and New York City, they weren't
5 designed quite as sturdily and have still stood up for
6 multiples of 100 years, 100 to 200 years, it really becomes
7 apparent that as they're working on Plan B, dry cask storage
8 can continue to go forward and continue to support a growing
9 nuclear industry. And, that's one point I'm going to leave
10 you with here. Even when you start to put the new plants in,
11 you know, we're still in a reasonable scale in dry cask
12 storage.

13 Going on to the next slide. So, those slides all
14 said what? These slides kind of say where. And, there's one
15 thing in here that's the artifact. It makes an interesting
16 point, it's an artifact of the model and that's why I have,
17 again, the assumption the plants operate 60 years. You
18 notice between 2030 and 2040, all of a sudden, the number of
19 operating plants drops dramatically. That's because we've
20 assumed that the existing ones shut down after 60, and we've
21 only assumed 32 new ones. That will be a great tragedy for
22 America if that really happens, and I'm presuming that we
23 will either extend a lot of the plants beyond 60 years and
24 build a lot more than 32 of them at some point. But, it does
25 give you pause to see how important all of this is.

1 But, as you can see, the number of sites where we
2 have dry cask storage is again, you know, a fairly stable
3 number, and the thing that might also open your eyes is we
4 have more of these shut down plants as we get into that time
5 frame where we do start to shut down the plants after 60
6 years. These are sites, we have a few of them in the country
7 now in places like Maine and Oregon and Michigan and
8 California, where there's no reason for the site to be a
9 nuclear site other than the fuel has no place to go. So,
10 that's again, you know, if we're going to slow the project
11 down, an argument for interim storage, and that we should
12 start to centralize and consolidate the material.

13 Going on. So, I was asked in preparing this what
14 the technical issues are, and I think I've said, and I think
15 there's some people in the audience here, Tom and Tara and
16 John, who can answer the questions better, but we don't see
17 this as a technical issue as much as we see it as a
18 commercial issue. And, that's why there's litigation with
19 DOE, and that's why a number of companies have settlements
20 with DOE, whereas they continue to incur costs for continuing
21 to have to hold onto the fuel. DOE reimburses them with the
22 taxpayers money. It's a huge liability for the taxpayers,
23 and it's getting bigger, and if we have in fact made a
24 decision to slow the process down further, that liability
25 grows dramatically. So, it's an issue for our companies, a

1 commercial issue. It's an issue for the taxpayers of
2 America.

3 And, the outcome of the Blue Ribbon Commission will
4 be absolutely key to our success. We don't just need great
5 thinking here. We need an implementable and a sustainable
6 plan. If for some reason the plan we developed in '82,
7 solidified in '87, ratified in 2002 was not sustainable, then
8 we need to figure out why not, and set up the next plan so it
9 is.

10 Again, we're confident that while that's happening,
11 and the NRC is confident, if you look at the proposed Waste
12 Confidence Rulemaking, which I think should be finalized
13 sometime this summer, they too are confident, and, in fact,
14 they envisioned the specific scenario where the country walks
15 away from Yucca Mountain and starts over, and they still said
16 that they'd have confidence in dry cask storage. And, I
17 think as you've seen, with 1,000 casks over 20 years, we have
18 a basis of experience that supports that.

19 Going on. Yes, so as for the Blue Ribbon
20 Commission, again, it has to be sustainable, unbiased, it
21 needs a well defined path with firm milestones for recycling
22 decisions. Recycling has to be, we believe for a growing
23 nuclear industry, you have to look at this--you're always
24 going to be disposing of a lot of stuff, the defense stuff,
25 probably some commercial fuel, and, of course, the residual

1 from recycling. But, you can't just look at recycling. You
2 need to look at recycling, but you can't just look at it as
3 some notion that's out there in the future, like fusion
4 energy. You've got to have something that marches forward
5 down a path and down a believable path.

6 You do have to address eventual geologic disposal,
7 which is why it's critical we learn from the Yucca process,
8 why we carry the Yucca process forward to a logical and I
9 would say adequately funded conclusion. And, this is
10 something that was unveiled in the same budget request. DOE
11 is creating these energy innovation hubs. Secretary Chu
12 called them "Bell Labslets," mini "Bell Labslets." And, of
13 course Bell Labs is taking advanced technologies quickly to
14 marketplaces, those type of things.

15 Two of these innovation hubs will be placed under
16 the Office of Nuclear Energy, one in Extreme Materials, which
17 will specifically look at waste forms, and then one on
18 modeling and simulation, among other things, but that's one
19 of the extreme materials that we're looking at is waste
20 forms, modeling and simulation will look at the overall
21 assessment of fuel cycle scenarios.

22 So, if the Board's charter includes looking at
23 areas where DOE is doing new technical work, we would think
24 that these energy innovation hubs might indeed be an area of
25 focus, and we would hope that the Boards would encourage them

1 to move smartly and jointly forward on these things. Because
2 when it talks about having actionable, sustainable, real
3 plans, real things happening in the integrated use fuel
4 management, in DOE, the way it's presently configured, we see
5 these as maybe one of the best opportunities we have for some
6 real progress and some innovative thinking about how we do it
7 differently this time.

8 So, going on. One thing that should not wait for
9 the Blue Ribbon Commission is centralized interim storage.
10 If, in stating their intent to terminate the program, at
11 least stating their intent to have a Blue Ribbon Commission
12 study what we really should do, the Administration is going
13 to slow down the already long delayed acceptance of used
14 fuel. There's really no excuse for not looking at some way
15 that DOE can meet its obligation, begin consolidating
16 inventories, begin turning over shut-down plant sites in the
17 meantime, while these Plan B things are being worked out.

18 So, we do not believe the Blue Ribbon Commission
19 should look at interim storage. We believe interim storage
20 should move forward. We know there are already some private
21 sector things bubbling out there. There's some communities
22 and industry interests that are talking about this, and we
23 expect to see those move forward. We'd like to see--of
24 course, they have to be volunteer sites. We'd like to see
25 DOE become a customer of these sites, DOE show up with

1 whatever, you know, just take your existing cask, show up
2 with a TAD, whatever, and move, you know, buy space at this
3 privately, NRC licensed privately constructed interim storage
4 facility.

5 We feel that would demonstrate a lot of things
6 towards the larger objective, which is of course facilitating
7 our economy and our environment with clean, safe, nuclear
8 energy.

9 So, in conclusion, we would encourage the Board, in
10 looking at the growth of inventories and all the other
11 aspects, to take a systems approach. We believe to take a
12 systems approach, you have to look at the whole integrated
13 picture, which is storage, recycling and disposal.

14 Absolute certainty, you know, I'm looking at Tara
15 over there, the best business to be in, dry cask storage,
16 guaranteed growth industry. And, we believe that the
17 technology is well established to accommodate that growth for
18 several decades, hundreds of years.

19 We know that the nation needs nuclear energy and
20 wants more of it. And, it really is again about
21 sustainability, a federal plan that embraces an integrated
22 approach, and we can have confidence in going forward.

23 So, thank you.

24 GARRICK: Thank you, Rod. Andy?

25 KADAK: Thank you. A couple of questions relative to

1 TAD versus DPC. You stated this time and last time, as well,
2 that DOE makes a good case, an economic case for it.
3 Clearly, the utilities are loaded with bigger and bigger
4 casks.

5 MC CULLUM: Right.

6 KADAK: How is that going to be managed in terms of
7 repackaging, retransfer, where is this going to happen if
8 TADs, even if they are available in 2013, your kind of stuck
9 with a lot of already dry cask systems that you can maybe
10 ship to Yucca Mountain, but it's a big problem.

11 MC CULLUM: Well, I think that's a great lead-in for me
12 to again talk about why industry is participating in the
13 licensing process. We have two contentions, actually three
14 contentions in this area, two of them are twins, it's the
15 environmental side and the safety side. But, on one
16 contention, we have an analysis performed by EPRI which
17 indicates, we believe, that a large number of these dual
18 purpose casks could be directly disposed of in Yucca
19 Mountain, would not have to be reloaded. Our contention
20 would seek to compel DOE to build that into their licensing
21 basis to directly dispose of some of these DPCs.

22 We also believe that DOE has--we know that DOE has
23 an analysis in the EIS of taking 25 percent of the fuel in
24 DPCs as opposed to 90 percent--well, 25 percent in DPCs, 75
25 percent TADs. We'd like them to make that their design and

1 licensing basis as well because that's less canisters
2 reloaded on plant sites, which some plant sites, the shut-
3 downs, can't reload, and it's more effective, from the dose
4 and the cost standpoint, it's more effective to reload them
5 at the repository.

6 We'd have one facility, that's all it does, as
7 opposed to a reactor where it would be a very unusual
8 operation if you were going to reload a cask at a reactor,
9 even if you had the capability to do so. So, we are hoping
10 through the licensing process to be able to accommodate the
11 DPCs that we are loading, and even planning to load today.

12 Now, of course, another solution to this would be
13 to license and commit again to Yucca Mountain and start
14 actually loading TADs in 2013. We're getting close to the
15 point where that assumption, too, may have to go away. And,
16 then, these numbers would all start to shift more towards
17 DPCs if you slipped this to 2014, 2015, 2016, you'd see the
18 TAD numbers go down and the DPC numbers go up, of course.

19 KADAK: For the disposal, what is the industry doing to
20 help justify a direct disposal of DPCs vis-à-vis the burnup
21 credit question, and--well, I'll just leave it at that.

22 MC CULLUM: Oh yes, that is really the major question,
23 and we're working with NRC to establish a consistent approach
24 to burnup credit. You know, to us, in the reactor, you
25 understand fission reactions, you understand what fission

1 products you get. You have reactor records which allow you
2 to operate the reactors very precisely. It's not like you're
3 surprised by what control rod positions give you criticality,
4 and then all of a sudden, you have to pretend like some of
5 these fission products don't exist when you're, you know,
6 trying to license dry cask storage. So, we think we'll
7 prevail. It's an issue we're working with our regulator.

8 KADAK: Just one follow-up.

9 GARRICK: He didn't quite answer the question about the
10 DPCs.

11 MC CULLUM: Oh, yes. That's what we're working with the
12 regulators, is trying to get more--

13 GARRICK: I mean not so much just the burnup credit, but
14 what to do with them, what do with direct disposal
15 alternative for dual purpose containers.

16 MC CULLUM: Well, other than the burnup credit issue, we
17 feel that because DOE's analysis doesn't take credit for the
18 inner canister that is the TAD, it only takes credit for, you
19 know, the waste package outer barrier and the drip shield,
20 and we feel, with the analysis that EPRI has shown in terms
21 of how these things would fit in the mountain, we feel we
22 don't have to modify DPCs to make them disposable, you know,
23 other than the burnup credit issue.

24 KADAK: Then, why don't the TADs become DPCs? I was
25 always confused by the limitation on size of the TAD, being

1 much smaller than a DPC, which arguably is also suitable for
2 disposal.

3 MC CULLUM: Well, I would say that's a very good point,
4 and I would say that this contention is intended to head us
5 down the road where we get there. That is exactly why
6 industry has intervened in this licensing process, and it's
7 exactly what we're seeking to accomplish. We want to drive
8 DOE's design in a way that more effectively integrates the
9 system.

10 GARRICK: Bill, did you have a question?

11 MURPHY: Bill Murphy, Board.

12 On your recommendations for the Blue Ribbon Panel,
13 you suggested that they address eventual geologic disposal
14 and learn from the Yucca process. And, I'm curious from your
15 perspective, or industry's perspective, what can we learn
16 from the Yucca process?

17 MC CULLUM: Well, I think there's two things there. We
18 can learn from the site selection process. I think the Blue
19 Ribbon Panel, again, if the law is going to be changed, you
20 know, '82, '87, also '92 with the Energy Policy Act, and then
21 2002, and it didn't stick, so how do you establish a site
22 selection process that will stick? I would suggest more
23 incentives on the front end, you know, and if you look at
24 Sweden and Finland that have been very successful, they will
25 probably now beat the United States. I think we were running

1 slightly ahead of them, but now we're not.

2 You know, you begin with a strong principal of a
3 volunteer site, and this is the principal we're hoping to
4 demonstrate with interim storage, by the way. And, volunteer
5 site doesn't just mean the locality, because there's a lot of
6 people from Nye County who would tell you Yucca Mountain is a
7 volunteer site. But, you're building state-wide support
8 early in the process.

9 And, then, the second aspect is the licensing
10 process. If you go all the way through the Yucca Mountain
11 licensing process, we will have tested all those questions we
12 asked in many meetings like this about can you really
13 regulate for a million years. And, when you're looking
14 probabilistically as opposed to deterministically with these
15 types of analysis and mean doses, what does that mean in a
16 regulatory context. We will have tested all those things,
17 and then we will be able to, you know, remember Part 63, it's
18 an excellent regulation, but it's Yucca specific. There's
19 the old style Part 60 that would presumably have to be
20 revised to facilitate the next repository, and the Blue
21 Ribbon Commission should look at this licensing process and
22 ask what, I don't know, Part 63 and a half might look like.

23 GARRICK: Howard?

24 ARNOLD: Arnold, Board.

25 Rod, I want to ask your vision about recycling.

1 But, first, let me lay out a couple of concerns on my part.
2 One, recycling once and getting plutonium out, and then
3 making moxes is a small step. You haven't done anything with
4 all the uranium, which is most of the bulk of it. And, of
5 course, at the end, you're going to have fission products
6 that are unaffected by recycling.

7 Do you see multiple recycling of the plutonium and
8 the uranium, or do you just see a one-shot deal which gets
9 you a little ways down the road?

10 MC CULLUM: I think you probably have to start with a
11 little ways down the road approach. You know, we can
12 postulate what might be possible decades down the road, but I
13 think we're expanding the nuclear industry now, we need to
14 continue to grow the nuclear industry in a steady pace. And,
15 I showed you that one slide of what happens if you don't keep
16 building new plants.

17 I think there needs to be a progression in
18 technologies, and I agree with you, there's going to be
19 things that--you're going to need a repository, and you don't
20 necessarily, you know, there was a lot of talk years ago
21 about how if you recycle, you can make the repository just
22 like almost simple. And, I don't think it's quite that easy,
23 but I think you need to progress.

24 ARNOLD: Just a follow-up. You know, the material gets
25 pretty ugly after two or three cycles. It's really not very

1 useful, in my opinion.

2 MC CULLUM: Right. And, that goes to, at some point,
3 there are things you want to dispose. I think of the
4 existing commercial used fuel inventory where you really want
5 to go back and reprocess every assembly? Or will it make
6 sense to put some with the defense wastes directly into the
7 repository? I mean, that goes to how you want to lay out
8 your facility, what types of things you want to do. But,
9 you're right, I mean, there are choices to be made, and I
10 think starting with either the technologies we have today, or
11 maybe just slight modifications of those technologies to
12 build in more proliferation resistance is probably good, and
13 keeping the research programs always looking can we make it
14 less ugly in the future.

15 ARNOLD: Just for the audience sake, by ugly, I mean
16 isotopes of uranium and plutonium that aren't very useful in
17 a reactor.

18 MC CULLUM: Right.

19 GARRICK: Ron?

20 LATANISION: Latanision, Board.

21 I've been following the evolution of the
22 Administration's proposal on innovation hubs, energy
23 innovation hubs, and it sounds very interesting, my reading,
24 and I'm just wondering if I haven't read everything. But, my
25 reading of what's intended for the one bullet that is

1 identified as I guess what I understand it to be as more
2 materials for extreme service, is that correct? I think of
3 next generation plants, and so on, and I'm wondering--

4 MC CULLUM: Yes, that's what I said, among other things,
5 I don't want to say that this is entirely focused on waste
6 form, but I know that when the Secretary of Energy unveiled
7 it in his budget briefing, he mentioned waste form.

8 LATANISION: Yes. Well, does it go as far as to suggest
9 aging of materials over very extended periods, or is it
10 looking at waste forms, materials needs for the next
11 generation, plants and so on?

12 MC CULLUM: I think it's open for business, and I think
13 if this Board had ideas about what it might want to look at,
14 I would get those on the table.

15 LATANISION: I'll write that down. I think that's a
16 good suggestion. All right, thank you.

17 GARRICK: Has the input on the Blue Ribbon Panel from
18 NEI been voluntary or have you been requested by Congress or
19 some other agency, the DOE to--

20 MC CULLUM: It's been voluntary. We haven't really been
21 directly consulted, but we've provided our input.

22 GARRICK: One other thing. When you talk about the
23 Yucca Mountain lessons learned, is NEI doing anything
24 specifically in that regard? Are they doing any work or
25 contracting any work to capture from the perspective of the

1 institute lessons learned from Yucca Mountain?

2 MC CULLUM: Only that we're just very carefully
3 following and tracking the whole process. I think the time
4 to--we're not losing what's going on, but yes, we want to see
5 the process be fairly prosecuted so that you get accurate and
6 fair answers to the questions.

7 GARRICK: One of the frustrations the Board has had in
8 many of its meetings is making the connection between the
9 analyses that are performed, and the site characterization
10 work. I would think that one of the most important lessons
11 learned would be a site characterization program that is
12 better defined and more likely to be of greater use when it
13 comes times to do the actual site analysis. Given the
14 capital intensiveness of site characterization, it seems to
15 me this is very important.

16 MC CULLUM: Yes, I'd certainly agree with that. I think
17 that goes to the notion of making sure the decisions stick.

18 GARRICK: Yes. Yes, Andy?

19 KADAK: I've been trying to track down the basis, the
20 technical basis for 140 year lifetime of the storage system,
21 which includes wet and dry storage. And, as best I can tell,
22 it's based on MRS design of the late Eighties. Do you have
23 any evidence or any document that you could share with us
24 about the storage capacity, and the technical basis for
25 having these dry casks last for, say, 50, 60 years in

1 storage?

2 MC CULLUM: Well, I think obviously, there have been
3 some licensed for 60 years already, and I know that Tom can
4 speak to that, as Tara can as well, probably better than I
5 can. The 40 years, the pool is licensed for 40 years, so
6 they say 140 years, and NRC has made several statements about
7 100 years. And, again, Tom is probably the guy who most
8 knows about the aging management programs that are helping us
9 look into that. I think really to answer that question,
10 rather than take up too much time, I'd like to invite the
11 panelists this afternoon to address it.

12 GARRICK: Okay, any other questions from the Board?

13 (No response.)

14 GARRICK: The staff? Okay, we've got a couple of
15 questions. Gene?

16 ROWE: Rowe, Staff.

17 If you look at one of your scenarios, like Scenario
18 3, you're showing like 5,100 storage casks, but you're still
19 showing like 65,000 MTU in wet storage. If you carried that
20 out another ten years, a lot of those plants, existing
21 plants, are going to be shut down, and that 5,000 casks would
22 probably go to 10,000 to 15,000, depending on the type of
23 storage casks that you're going to use. And, if the plant is
24 shut down, or if you have an interim storage site, you know,
25 the chances of one of those 15,000 casks having a problem is

1 probably not unrealistic, and without a pool, what is the
2 contingency plan for dealing with off-normal events if one of
3 those dry storage casks does develop a problem?

4 MC CULLUM: Well, I think first of all, we stay ahead of
5 the problems, we stay ahead of them with design, and we stay
6 ahead of them with monitoring. And, these are problems that
7 don't happen on the order of seconds, like you do when you're
8 operating a reactor. I mean, you would have to--again, what
9 you're making is a powerful argument, by the way, for central
10 interim storage. For whatever mitigating capability you'd
11 want to have if you developed a problem, having it at only a
12 few places in the country makes a lot more sense than having
13 it at a lot of sites. But, you'd have to engineer a
14 solution, and again, I think there's some people here, like
15 Tara, who could speak to the possibilities there. If you
16 want to get up, Tara, and talk, you can.

17 NEIDER: That's been handled in a lot of different ways.
18 First of all, most of the sites do depend on going back into
19 the pool to do any refurbishment that's needed. However,
20 there are some sites which have taken the welded canisters,
21 and for their mitigation plans, put it into their transfer
22 casks, or into their transport overpack. And, other sites
23 have had actually oversized canisters to put them in, and put
24 them basically in a secondary container.

25 ROWE: Did they do that because the original cask

1 developed a problem, or just as a safety measure in case?

2 NEIDER: The only casks that I'm aware of that developed
3 a problem were at the Dominion sites, which was a metal seal,
4 and those seals, it's a double sealed structure with an
5 overpressure system in between those two seals, and the outer
6 seal was exposed to the weather, and what happened was there
7 was an indication of low pressure, so that went back into the
8 pool and the sealed material was changed out.

9 ROWE: Yes, but again my concern is if you have a pool,
10 there's no concern, you obviously can handle it. But, if you
11 don't have a pool, then I think there's some issues
12 associated with that.

13 NEIDER: Right. And, for long-term storage, very long-
14 term storage, you would have some sort of extra overpack,
15 you'd have to have that on site if you're going to shut down
16 your pool.

17 GARRICK: Tara, would you give your full name and
18 affiliation?

19 NEIDER: Oh, I'm sorry. Tara Neider, Transnuclear.

20 GARRICK: Thank you. Yes, David?

21 DIODATO: Diodato, Staff.

22 I'll be assisted in asking this question by Dr.
23 DiBella.

24 DI BELLA: This is Dave's question. Does industry
25 support--you are the industry, so the industry supports

1 recycling.

2 MC CULLUM: The answer is yes, we support recycling.

3 DI BELLA: Go to Slide 10. Can you go to Slide 10, the
4 Conclusion slide. I think that's longer than 10.

5 Does the industry support recycling?

6 MC CULLUM: Yes.

7 DI BELLA: Okay. What level of expenditure is required
8 for achieving the industry goal?

9 MC CULLUM: That is being looked at. There's an MIT
10 study underway that I know Dr. Kadak is very familiar with,
11 is looking at that. Perhaps the Blue Ribbon Commission would
12 want to look at that, and then if the Blue Ribbon
13 Commission's recommendations end up in a legislative
14 proposal, it would have to address a funding scenario. I
15 know I've heard some discussions that if you wanted to embark
16 on an aggressive recycling program, you'd have to increase
17 the one mil per kilowatt fee to two or three mils per
18 kilowatt. There are varying views in this industry as to
19 whether or not that's okay. Some would say sure, that's a
20 small price to pay. Some would say I don't know. But, that
21 has to play out through that process that would lead to, you
22 know, the Blue Ribbon Panel and litigation studies that are
23 going to come out.

24 DI BELLA: Okay. The level of expenditures, what sort
25 of order of magnitude are we talking about, one billion?

1 MC CULLUM: Oh, these are multi-billion dollar
2 facilities, yes. I mean, there's no question there. And,
3 the question is how do you pay for them.

4 DI BELLA: And, you're thinking maybe user fee would be
5 the way to do it?

6 MC CULLUM: Perhaps. But, there's also the issue of the
7 DOE obligation, if DOE is deploying recycling, to enable
8 itself to meet its obligation and the extent to which, you
9 know, so on and so forth. Again, that all has to be played
10 out, and I can't stand here today and tell you I have all the
11 answers.

12 GARRICK: Very quickly?

13 KADAK: The expectation basically is if it goes to
14 reprocessing in the first instance, it would be a commercial
15 decision, and let's just argue for a moment that mixed oxide
16 fuels would be the choice. There are some commercial
17 companies that believe that for an additional two-tenths of a
18 mil per kilowatt hour, that they could handle the
19 reprocessing creation of the mox fuel, and the vitrified
20 waste. So, they're looking at this as a commercial venture,
21 not a DOE venture. But, our studies basically say the
22 deployment of this, if you wanted to do it, and it will have
23 to be a national policy decision, would not happen for at
24 least 10 to 15 years at the earliest.

25 GARRICK: Okay.

1 MC CULLUM: Thank you.

2 GARRICK: All right, well, thank you very much, Rod.

3 Our next speaker is Gary DeLeon, Office of Nuclear
4 Materials Disposition, Environmental Management, DOE, and
5 he's going to talk to us about the status and projections of
6 DOE waste inventory, spent nuclear fuel and high-level waste.

7 Gary?

8 DE LEON: I thank the Board for the opportunity to talk
9 to you about EM spent nuclear fuel and high-level waste.

10 My plan is to give you an overview. First, my
11 office is responsible for management and oversight and
12 integrating our plans for disposition, surplus, special
13 nuclear materials, and also spent fuel, but I'm going to do
14 my best to give you also an overview of our high-level waste
15 program, even though that program is not directly under my
16 purview.

17 Next slide?

18 As far as our high-level waste, we're managing our
19 high-level waste at four sites, at the Hanford site, Idaho,
20 West Valley, and Savannah River site. Most of the high-level
21 waste that we have is located at the Hanford and Savannah
22 River sites.

23 The high-level waste program is probably a large
24 cost element in the clean-up program. As far as our life
25 cycle cost, the Department issued a report on what our life

1 cycle cost is. It ranges up to upwards in the \$300 billion
2 estimate, and almost 40 percent of the cost for the EM clean-
3 up program is attributable to the high-level waste program.

4 Our current strategy for the high-level waste
5 program at the Hanford and Savannah River site is basically,
6 our plan is to separate out the liquid waste that's stored in
7 underground storage tanks at the Hanford and Savannah River
8 site to a high activity fraction and a low activity fraction.
9 And, the high activity fraction would be vitrified and would
10 be sent for disposal in a geologic repository, while the low
11 activity waste would be treated on site and disposed of--
12 treated and disposed of on site.

13 I mentioned about the West Valley facility. We
14 have vitrified the waste there into 275 canisters. The
15 Environmental Management is responsible for providing
16 surveillance and maintenance of that waste. And, Idaho waste
17 is in a different form. It's in a dry form known as calcine.

18 We estimated that if we were to vitrify all the
19 waste, it would be somewhere around the order of 23,000
20 canisters total.

21 Next slide?

22 At the Savannah River site, the defense waste
23 processing facility has been in operation since '96, and I
24 actually have a little bit more of an update. As of last
25 week, the DWPF has produced about 2,721 canisters. It's

1 about over 40 percent complete. That facility is expected to
2 operate through 2030. We are storing the high-level waste in
3 glass waste storage buildings. We currently have two at the
4 Savannah River site. Glass waste storage building Number 1
5 is full. It's storing a little bit over 2,200 canisters.
6 And, the glass waste storage building is about 20 percent
7 full. That's close to having about 500 canisters, and we do
8 have plans to construct a third glass waste storage building.
9 We're expecting to start construction around the 2015 time
10 frame, and have that operational by 2018, is when we expect
11 the second glass waste storage building to be full. That
12 should house all of the canisters that we expect to have
13 produced at the Savannah River site.

14 KADAK: Excuse me. Is this borosilicate glass, and can
15 you describe the size of these canisters?

16 DE LEON: The answer is yes, and the size of the
17 canisters is roughly about--I don't have exact dimensions--
18 about two feet in diameter and about ten feet high. The
19 Hanford ones are going to be, I think, a little bit taller.
20 They're around 14 to 15 feet high.

21 GARRICK: Why aren't they the same?

22 DE LEON: That's a good question. I think it was when
23 the DWPF was designed and infrastructured versus what they need
24 to do for the Hanford site.

25 For the Idaho National Laboratory, we have 4,400

1 cubic meters of dry granular calcine stored in stainless
2 steel tanks, and they're within six shielded concrete
3 structures, and they're referred to as bin sets. We do have
4 a seventh one, but it's empty. We do have a calcine
5 disposition project. It's at the conceptual design phase,
6 and it's looking at potential alternative treatment methods
7 for that waste.

8 What's in the license right now assumes that the
9 calcine would be treated by separations, and that we vitrify
10 the waste. But, we are looking at current alternatives. We
11 do have obligations under the Idaho Settlement Agreement to
12 issue a record of decision, and the plan is that by the end
13 of this calendar year, that we would issue a record of
14 decision looking at treatment options for the calcine. And,
15 the bin sets are stored under a RCRA Part B permit and that
16 we do have a requirement by 2012 to submit a Part B
17 application if we are to retrieve and package or treat that
18 waste in another manner.

19 I am told that this calcine waste will outlast
20 myself and most everyone else here in the room. So, right
21 now, we don't--this material is being stored safely.

22 Next slide, please?

23 For Hanford, we have 177 underground waste storage
24 tanks. There's about 53 million gallons of liquid waste. We
25 do have the waste treatment plant under construction. It is

1 expected to start operations in year 2019. This is the
2 world's largest radioactive waste treatment plant. It
3 consists of several facilities. There's going to be a pre-
4 treatment facility, which the primary purpose is basically to
5 separate out the low activity fraction and high activity
6 fraction. And, then, we do have plans to--it would have a
7 low activity plant that would vitrify the low activity waste,
8 and would be disposed of on site, and a high-level waste
9 vitrification facility to vitrify the waste that would go off
10 site to a geologic repository. There is also a lab and other
11 facilities to support the plant.

12 We also have cesium and strontium capsules.
13 There's about 1,929 capsules. They're stored in the waste
14 encapsulation storage facility. They were separated in the
15 early Seventies to basically remove the cesium and strontium
16 to requirements in the tanks, in our waste storage tanks.
17 Right now, we are looking at what options we can do to
18 disposition the cesium capsules. They estimate 122
19 canisters, is basically if we were to pack them in the
20 standardized canisters, that's about the estimated number of
21 canisters that we would produce if we were to directly
22 dispose of these capsules.

23 Next slide?

24 At West Valley, I mentioned that we've already
25 vitrified 275 canisters. They're being stored right now in

1 on-site hot cell, and one of the things that's being
2 evaluated by the Office of Environmental Management is to
3 look at can we move this to an alternative on site storage so
4 that we could move forward with decommissioning the hot cell,
5 and also doing the clean-up, associated clean-up with those
6 facilities, basically.

7 So, the alternative analysis is expected to be
8 completed sometime late this summer or early fall, so what we
9 will do and whether or not we will relocate the canisters
10 into alternative storage on site.

11 Next slide, please?

12 As far as EM spent fuel, we have about 2,400 metric
13 tons of spent fuel. The majority of that is at the Hanford
14 site. They are stored mainly in the multi-canister
15 overpacks. They're reactor fuel that was used in the
16 production days. We do have also fuel being managed at
17 Idaho. The Fort St. Vrain fuel is being managed by the Idaho
18 site office, and we also have some fuel at the Savannah River
19 site.

20 We listed our other domestic sites because there
21 are some small quantities of fuel at domestic research
22 reactors in universities that DOE is in the process of
23 receiving and accepting at either Idaho or Savannah River
24 sites. Now, these quantities do not include the Navy or any
25 inventory, but it's much smaller quantities. This is just

1 the EM quantity that we're showing here. And, we estimated
2 about 2,400 standardized canisters would have to be packaged
3 for disposal of all our fuel.

4 Next slide, please?

5 For the DOE inventory, we have a wide variety of
6 types of fuel. We have from production reactors, research
7 reactors. We have the core debris from the TMI that's being
8 stored at Idaho. We have the commercial power demonstration
9 projects, and then we have the DRR and FRR program that is
10 ongoing right now as far as receiving that fuel.

11 Next slide?

12 At the Savannah River site, we've consolidated all
13 our fuel in the wet storage basin. It's referred to as the
14 L-Basin. That is also where we are continuing to receive
15 aluminum clad foreign research reactor and domestic research
16 reactor fuel. Our current plan is to recycle or process the
17 aluminum inventory, and basically, we would recover the
18 uranium, down blend that and have that for use for commercial
19 power.

20 In order to do that, though, we would have to plan
21 for an exchange, called a swap, sometimes referred to as the
22 swap with Idaho, where basically, we would consolidate all
23 the aluminum fuel at the Savannah River site, and then the
24 non-aluminum clad fuel would go to Idaho. That's because we
25 have the capability, and that picture right there is the H-

1 Canyon facility. We have the capability at the Savannah
2 River site right now to process that fuel and basically reuse
3 that for commercial power.

4 One of the things that the Department is doing is
5 that we are also evaluating on whether or not it makes--we
6 should continue with our plans, because it is very costly to
7 operate the H-Canyon facility, and we do expect to generate
8 some revenue, but the cost right now, the estimated cost for
9 that facility runs about \$250 million a year to operate.
10 And, if we were to process the fuel, it would start around
11 the 2011 time frame, and will do so for about another eight
12 years, or so.

13 So, we are looking at whether or not--what's more
14 beneficial, whether or not we would just dry store that, or
15 should we reprocess that. And, just for our perspective, and
16 this inventory of fuel, aluminum clad fuel is less than 10
17 percent of the total DOE inventory.

18 Next slide, please?

19 At Idaho, we have the most diverse range of spent
20 fuel within the EM complex. We're storing it in wet and dry
21 storage facilities, but we've been moving forward with moving
22 our spent fuel from wet to dry storage. We do have an
23 agreement, referred to--it's called the Idaho Settlement
24 agreement that requires us to place all our fuel in dry
25 storage by the year 2023, and have all the fuel out of Idaho

1 by 2035.

2 Right now, EM has been moving its fuel into dry
3 storage, and we're expecting to complete that by sometime
4 next year, towards the end of next year in 2010.

5 The fuel from the Navy and NE would also be placed
6 in dry storage, but the current projections for that would be
7 around 2013 for the Naval reactor fuel, and the NE fuel would
8 be around the 2023 time frame, if not sooner.

9 I mentioned about the exchange planned with the
10 Savannah River site. We are planning on doing that. It's
11 somewhere in the 2012, 2013 time frame that we would probably
12 have to start the exchange in order to make sure that we have
13 sufficient inventory that's being processed in the H-Canyon
14 facility.

15 Also, for the Fort St. Vrain, we are planning to
16 submit a license renewal in November of this year. I think
17 the license for that is running out in the year 2011. And,
18 then, we're also looking at treatment options for the sodium
19 bonded spent fuel at Idaho.

20 Next slide, please?

21 For Hanford, we have completed transfer of all the
22 spent fuel from wet storage in the K-Basins, down into the
23 what we refer to as the 200 area at Hanford is called the
24 canister storage building complex. The fuel there is stored
25 in multi-canister overpacks, and we do have some dry storage

1 casks also for the other types of fuel that we have at the
2 Hanford site. And, our plan is to have some capability at
3 some point to repackage the spent fuel that's not in multi-
4 canister overpacks into the standardized canisters so that
5 they could be off-loaded and disposed of on site. That's
6 sometime in the future. We don't really have a specific date
7 of when we will do that right now.

8 As far as our path forward, I mean, we've talked
9 about the Blue Ribbon Panel right now to investigate
10 alternatives. EM right now, our main focus is to get our
11 high-level waste, basically get that in vitrified form
12 because of the risk being posed right now by the waste being
13 stored in liquid form in the underground storage tanks, and
14 also for our spent fuel, to put them in dry storage.

15 At Savannah River, I mentioned that we currently
16 don't have--our current plan is to process the fuel, so we
17 figured that by within a decade, that we would get rid of all
18 our inventory at the Savannah River site. And, so, right
19 now, the current thing is that we don't need to have dry
20 storage, but by the time we do that--but, at the same time,
21 we are taking a re-look as to whether or not that makes
22 economical sense on reprocessing versus putting it in dry
23 storage, given the cost associated with that program.

24 In the near-term, we see minimal impact to EM
25 because we're continuing with our current plans to move the

1 fuel in dry storage. We can safely store our fuel and our
2 high-level waste for quite some time, but we're certainly
3 awaiting any outcome from the Blue Ribbon Panel, and will
4 revise our strategies accordingly on what we need to do.

5 Summary, basically, I think I just stated that
6 we're going to continue to manage our spent fuel and high-
7 level waste safely. We don't see any significant near-term
8 impacts to EM. And, the outcome from the Blue Ribbon Panel
9 we're going to--we'll see what the outcome comes from that,
10 and then we will revise our strategy accordingly.

11 Thank you.

12 GARRICK: Okay. Howard?

13 ARNOLD: Arnold, Board.

14 Gary, those glass logs that are being generated at
15 Savannah River and that will be made in Hanford and have been
16 made at West Valley, the specifications for those with regard
17 to leachability, and things like that, which have a lot to do
18 with the design of the plant that makes them, were I guess
19 generated sometime back on assumptions having to do with how
20 they would behave in a repository. Do you see any--have you
21 looked again at the question of the specs for those glass
22 logs, as to whether they should be changed, tightened up?
23 Should the ones at Hanford have a different spec than the
24 ones at Savannah River?

25 DE LEON: Well, we think the current spec is adequate.

1 But, one of the things that we may be looking at is that can
2 we--we're trying to minimize the amount of logs that we would
3 produce. So, one of the things that we are looking at and
4 will continue to look is are there ways that we could
5 increase the amount of material we can load in the canisters.

6 ARNOLD: And, in doing that, you make assumptions about
7 the repository, I presume? I mean, that's where the specs
8 originally came from.

9 DE LEON: Right. Our current specifications right now
10 are to meet what's been submitted in the license application.
11 So, that's our current plan. But, what we are going to look
12 at are there things that we could do that may make sense for
13 a more efficient or optimum production rate of glass logs.
14 But, that's part of our kind of looking at alternatives and
15 options. But, right now, our current plan is to meet what's
16 in the license application, and, if necessary, we'll submit
17 an amendment to that.

18 ARNOLD: But in the license application for Yucca
19 Mountain, do you see any difference if there's a different
20 repository?

21 DE LEON: I couldn't speculate on that right now.

22 GARRICK: Gary, can you indicate what the magnitude of
23 the operation is of the exchange between Idaho and Savannah
24 River? How many shipments are we talking about, and what
25 kind of shipments?

1 DE LEON: Well, we're looking at about--we estimated
2 roughly it will take about ten years, or maybe less, and
3 we're looking at I think a total of about 200 shipments
4 cross-country between Idaho and Savannah River. So, it's
5 going to be a substantial amount, and, so, we're in the
6 planning stages right now, and we'll try to optimize that.
7 One of the things that's going to drive that is, you know,
8 the H-Canyon facility, and that's going to be a more costly,
9 I mean, as far as if you look at the total cost, that's going
10 to be the major cost element. So, the exchange, it would
11 cost some money, but we think right now, we need to--we don't
12 want the exchange to be on a critical path for processing in
13 H-Canyon.

14 GARRICK: I assume the trade-off costs of these have
15 been done between doing that and building a packaging
16 facility at Savannah River?

17 DE LEON: Well, we've looked at some of those trade-off
18 studies. One of the things that we were assuming in those
19 trade-off studies was that we would use a facility similar to
20 what's planned at Idaho, that we would put it in dry storage
21 and we're going to have to repackage that fuel, and it would
22 go into standardized canisters, and if we're--disposed in a
23 repository, and those studies indicated that the costs in
24 very rough terms were equivalent as going to the processing
25 route. Because one of the things, if we process it in H-

1 Canyon, is that it would generate some additional high-level
2 waste, about somewhere around 250 or 300 additional
3 canisters, but the amount of spent fuel would be, as far as
4 canisters, would be reduced by 800. So, there's sort of a
5 net reduction in that.

6 So, those costs were roughly the same, but one of
7 the things why we, you know, when we looked at this initially
8 when we were still looking at planning for processing the
9 fuel, is that we have higher certainty in our costs for
10 running and operating H-Canyon because we've been operating
11 that since the 1950's. So, we have a higher degree of
12 certainty in that cost as opposed to building a new packaging
13 and repackaging facility, where we have a cost rate. So,
14 from a cost standpoint, there's a little bit more risk in
15 doing that.

16 Now, one of the things that we are going to look at
17 this year is to, well, you know, maybe put it just in dry
18 storage similar to what we're doing at, or what the
19 commercial industry is doing, or what we've done at the Idaho
20 site, and maybe leave it there for many decades. And, then,
21 at some point, we're going to have to figure out what to do
22 with that. So, we're looking at that. But, the answer is
23 yes, we've looked at it, and the costs were roughly the same.

24 GARRICK: How about the operational and safety risks,
25 you certainly would seem to have a greater safety risk of

1 implementing this exchange than you would if you--

2 DE LEON: That is another consideration as far as I
3 know, there's going to be a significant amount of fuel that's
4 going to be moved across the country between Idaho and
5 Savannah River. I know that that was one of the criteria
6 that was looked at, and I don't quite remember how the
7 safety, but my recollection on the study was that it wasn't a
8 major discriminator for us. It was more of a--it was more
9 the cost certainty was a major discriminator when we looked
10 at it.

11 GARRICK: So, it's more a matter of getting the plate
12 type fuel in Idaho that they're very familiar with, and have
13 handled for many, many years, and getting the oxide and other
14 reactor fuels to Savannah River because they have much more
15 experience with that.

16 DE LEON: Right.

17 GARRICK: Okay. Andy?

18 KADAK: Kadak, Board.

19 A couple of questions. First of all, your progress
20 is very impressive, and your challenge is enormous.

21 DE LEON: Thank you.

22 KADAK: On what you've been able to accomplish so far.
23 But, it's obviously a very big job. My question is if Yucca
24 Mountain is not available, let's just say either not licensed
25 or not used, what state agreements will you be in violation

1 of if you can't move stuff from wherever these wastes are
2 located?

3 DE LEON: Well, part of that, you know, I guess depends
4 on your assumption of when is it, you know, it's a timing of
5 when, because like I mentioned like with the State of Idaho,
6 we do have to get our fuel off site by the year 2035. So, if
7 we're looking at a several year delay, we think we may have
8 some time to still meet that requirement. If we're looking
9 at a couple of decades, then obviously we would have to enter
10 into discussions with the State of Idaho as to what is
11 available.

12 At the Savannah River site, I don't think, I'll
13 have to double check, I don't think we have a similar date by
14 certain that we have to get it out of the site. And, at the
15 Hanford site, we have a tri-party agreement that says we have
16 to get our stuff road ready, but I don't think it's the same
17 also. I'd have to double check that.

18 KADAK: Could you check that for us?

19 DE LEON: Sure.

20 KADAK: Because that's obviously a key factor in how
21 things happen relative to the repository, or some other
22 place. I can't imagine you'd move stuff from Idaho and say
23 okay, let's send it to Livermore for storage. That would not
24 probably be an acceptable solution.

25 DE LEON: Yes. I'm sorry, I should also add we also

1 have an agreement with the State of Colorado. It's the same
2 time frame, the 2035. Basically, the fuel from the Fort St.
3 Vrain would be moved to Idaho for repackaging, just
4 repackaging, it also has to be out by 2035.

5 KADAK: Now, relative to your waste forms, you have
6 many, and in answer to Mr. Arnold's question, you said that
7 those were in compliance with DOE co-disposed package
8 requirements.

9 DE LEON: Yes.

10 KADAK: In terms of heat source, heat load and all the
11 activity as well for shielding, and so forth. We had not
12 looked at those kinds of analyses. Our focus has been
13 largely on the commercial spent fuel and waste package
14 degradation, and so forth, and I'm not aware of anything that
15 the Board has looked at relative to source term, and so
16 forth. But, as I understand it, the source term, the driver
17 for source term comes from DOE wastes, not necessarily from
18 commercial waste. Is my understanding correct? Co-disposed
19 package source term is DOE waste?

20 GARRICK: It's not driven, but it's a disproportionate
21 contribution.

22 KADAK: Okay. So, how do you react or interact with the
23 DOE OCRWM people, or whoever it is that's worried about your
24 waste, to make sure that everything is consistent and in
25 concert with Mr. Arnold's question about waste form and

1 suitability for the repository?

2 DE LEON: Well, we have documents called the--it's
3 called the Waste Acceptance Product Specification, and
4 through that document is how we interact with them. As far
5 as to what is, like for example, for the Vit. Plant at
6 Hanford, that document is going to drive what is acceptable
7 and what we can, you know, what basically the specification
8 is for those glass logs.

9 KADAK: Well, as I recall as well, the canisters are
10 thinner as well than the typical TAD, the waste overpack
11 package. So, I think, you know, it's a question I think the
12 Board should take a look at as to whether or not some changes
13 need to be made relative to the DOE waste stream, since it is
14 arguably a dominant contributor to dose.

15 GARRICK: Any other questions from the Board?

16 (No response.)

17 GARRICK: Staff? Carl?

18 DI BELLA: On that same slide, I'm wondering if you
19 could give a little bit in the way of characteristics of the
20 aluminum clad spent nuclear fuel, particularly how much U235,
21 U238 is in it?

22 DE LEON: In terms of heavy metal, it's about 19 to 20,
23 around there, metric tons heavy metal, and it is mainly in
24 the form, or it is in the form of HEU, and it's about 13, or
25 so, metric tons of highly enriched uranium.

1 ARNOLD: Arnold again. Those are driver assemblies;
2 right? Those were not targets.

3 DE LEON: I think it may be both. And, then, we also
4 have--I'll have to get back to you just to double check on
5 that.

6 ARNOLD: But, if it's HEU, they were drivers.

7 DE LEON: Yeah. And, then, also from FRR fuel, that's
8 also HEU that we've been returning from all over the world,
9 yes.

10 ARNOLD: Have they reprocessed all the old targets?

11 DE LEON: They have completed, right now, we are
12 processing some unirradiated material, so I think they've
13 completed that as part of a Defense Board recommendation, 94-
14 1, I think we've completed all that.

15 ARNOLD: But, this is SNF, it has been irradiated;
16 right?

17 DE LEON: Yes.

18 ARNOLD: Okay. Because I remember some of that driver
19 fuel is pretty degraded in the sense it's got a lot of U236
20 in it. They're using it to generate electricity. It might
21 not be as good as you think.

22 DE LEON: I mean, basically, we're expecting to recover
23 out of that, about, like I say, I mentioned there's about 13
24 metric tons of HEU that we plan to recover. Some of it does
25 have, you know, other impurities, but we plan to recover

1 about that much.

2 ARNOLD: What I'm saying is HEU may be a catch-all
3 phrase that includes a lot of U236.

4 DE LEON: Right.

5 KADAK: Just a quick question on transportation. I know
6 DOE has been struggling to get approvals to ship spent fuel
7 from various locations to, say, Yucca Mountain. How are you
8 going to do your shipments of essentially the same type of
9 material to Idaho and back?

10 DE LEON: Well, I mean, one of the things that we have
11 an office of transportation that deals in work with the
12 corridor states. We have begun some discussions with them on
13 how will this work, and we're going to have to basically work
14 more closely with them on doing that. We haven't really
15 engaged with them very aggressively yet because we're not at
16 that point yet, because we're still in the planning stages of
17 just what shipping casks we're going to use, how many, and
18 all that. So, we're still in the planning stages.

19 KADAK: By truck or by rail?

20 DE LEON: It will be by truck.

21 KADAK: By truck.

22 GARRICK: Okay. Gene?

23 ROWE: One quick one. Rowe, Staff.

24 Have you established a schedule for the
25 construction of the Idaho spent fuel facility?

1 DE LEON: We have, we're thinking right now it will be
2 somewhere--we need to have this facility somewhere in the
3 late teens for it to be operational, in order to be able to
4 package the spent fuel. But, we don't have a firm schedule
5 at this point.

6 ROWE: Does the construction authorization from the NRC
7 have a time limit on it?

8 DE LEON: You're talking about the Foster-Wheeler?

9 ROWE: Yes, the Foster-Wheeler one, yes.

10 DE LEON: Right now, we have submitted an application so
11 that it could be transferred over to the Department. I don't
12 recall the specific time frame for that. But that may have
13 to be augmented to include all the fuel types at Idaho.

14 ROWE: The original license only included like two waste
15 posts?

16 DE LEON: I think three.

17 ROWE: Three? Okay, thank you.

18 GARRICK: Questions from the audience?

19 MC KENZIE: I'm John McKenzie. I'm the director of
20 regulatory affairs for the Navy's Nuclear Propulsion Program.
21 I just wanted to correct one fact from Gary's presentation
22 about the movement of spent fuel by the Navy from the NTEC
23 water pool into dry storage. I think Gary represented that
24 that would be completed by 2013. The correct date is 2017.

25 DE LEON: I think it's still well ahead of schedule.

1 GARRICK: Thank you. Okay, thank you, Gary, a very good
2 presentation.

3 That means we have time for a nice lunch, so we
4 will recess until 1 o'clock. Thank you.

5 (Whereupon, the lunch recess was taken.)

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 AFTERNOON SESSION

2 GARRICK: All right, I wonder if we can come to order,
3 please?

4 Our next speaker, and we're very pleased to have
5 him, is Mark Holt from the Congressional Research Service.
6 Mark is going to talk to us about nuclear waste disposal, and
7 alternatives to Yucca Mountain.

8 HOLT: Thank you. I'm glad to be here today. We can
9 start, just keep it on the opening slide for a second. I'm
10 just going to take a few seconds to talk about what is the
11 Congressional Research Service. I did get that question
12 today. We're not a real high profile agency, but we are part
13 of the Library of Congress, and we provide analysis and
14 information to Congress for the purpose of legislation,
15 constituent service, anything that members of Congress need
16 to do, and committees.

17 The key factor about my presentation is that the
18 Congressional Research Service does not make policy
19 recommendations. So, you will not see any recommendations in
20 here. But, we do provide the information that we believe
21 will be required by Congress to make policy decisions.

22 So, what I want to talk about, of course, everybody
23 is fully aware of the Administration's policy, and that was
24 the reason for our work, was when the new Administration came
25 in, well, after the election, before the Administration came

1 in, the policy had been pretty well telegraphed, and, so, we
2 wanted to be prepared with the information that Congress
3 would need. So, I'll talk briefly about the redirection,
4 what we know about it, but, of course, that's been covered,
5 so we won't go into that in too much detail.

6 The rest of the agenda items are really things that
7 we believe are important for Congress to understand in
8 considering this issue. One being what is the baseline under
9 current law, you know, what does that mean, and in order to
10 change it, what would they be considering. In that case,
11 what are the options for changing the policy? What are the
12 potential consequences?

13 And, of course, one of the implications is if Yucca
14 Mountain is not to be considered, that a new waste site, or
15 sites, would have to be found, and we believe that the
16 experience in pre-1987, in searching for sites, would be
17 instructive for Congress in formulating a new policy.

18 So, I'll start with the redirection. We have
19 talked about this quite a bit. This came up I think at
20 lunch, how direct was the Obama-Biden campaign statement.
21 And, they specifically said on their campaign literature that
22 Yucca Mountain is not a suitable site. There was no mincing
23 words about that. So, we certainly were well aware that
24 there would be a policy change.

25 And, of course, as we've discussed quite a bit, the

1 2010 budget would "terminate the Yucca Mountain program while
2 developing nuclear waste alternatives." But, of course,
3 continuing the licensing process. Congress, of course, has
4 not weighed in fully on this yet, and we've mentioned that a
5 little bit, that of course under our system of government,
6 the Administration, the Executive Branch, can't change policy
7 entirely on its own in most cases, and, so, obviously
8 Congress will at some point need to weigh in.

9 And, so far, on this specific question of
10 terminating Yucca Mountain, which is of course a change in
11 law, Congress has not directly addressed that. The fiscal
12 year 2010 budget debate will be watched very closely to sort
13 of get signals of where Congressional sentiment might be.

14 Congress did address this a little bit in the 2009
15 budget, of course, as we know, which cut the program budget
16 by about \$100 million. That was--I would not call that a
17 full debate--that was in the midst of a giant omnibus
18 appropriations bill, very, very fast moving and sort of
19 chaotic situation. So, I don't think that--but, it certainly
20 showed that Congress was willing to cut the program, which it
21 did.

22 This is just what we've seen already, the key
23 points being, you know, no transportation, that's gone, and
24 of course the bottom line, another big cut, but as was
25 discussed, that cut of course still leaves close to \$200

1 million for DOE, OCRWM, and of course another \$59 million for
2 NRC. So, there's still quite a bit of money to move forward,
3 and my understanding, as was discussed earlier, is that this
4 is basically, even though it looks like another big cut, is,
5 as of now, sort of a steady state budget.

6 So, what should Congress be considering in crafting
7 a new policy, if that ends up being the direction? Of
8 course, the parameters for a new repository site search. You
9 know, how broadly should that site be done, what should be
10 the method of selection, that type of thing. Congress, of
11 course, will also need to look at what indefinite on-site
12 storage might mean, since that is essentially the default
13 option under current law. Is that an acceptable policy to
14 continue on-site storage indefinitely? And, that will be a
15 lot of people wondering about that.

16 Implications for new reactor licensing. Without a
17 path forward on nuclear waste, what does that mean? The
18 potential for centralized interim storage, that's been
19 brought up quite a bit as a possible alternative. Waste
20 treatment technology mentioned prominently in the
21 Administration's 2010 budget request. And, then, federal
22 liability under the disposal contracts, potential cost to the
23 government.

24 So, this is the baseline, what I'm calling the
25 baseline program. You notice the very first line is not too

1 many people would consider that the baseline anymore, but the
2 latest DOE goal of course was waste shipments beginning in
3 2020. So, I've continued to use that because most of the
4 calculations and things are based on that. At this point,
5 it's considered highly optimistic that even if there were a
6 complete sudden change, and Congress were to come in and
7 reverse all the cuts and want to go full speed ahead, it
8 would be very hard to still make 2020. So, it probably is
9 delayed and very very most optimistic for Yucca Mountain at
10 this point.

11 But, based on that, and this is all from the recent
12 DOE reports, as we've seen, commercial on-site storage would
13 peak, and the reason this is important for Congress is to see
14 even under the current program, you're talking about a long
15 time, 85,000 metric tons in 2023 from existing reactors,
16 which is DOE's assumption. And, of course, all the waste is
17 emplaced by 2066 from existing reactors, assuming no new
18 reactors. Obviously, a pretty long time frame. That's sort
19 of the bottom line, the earliest that the backlog of waste
20 could be removed.

21 Annual funding would have to raise to \$2 billion,
22 ten times the current proposal, during the construction
23 period. Total cost \$96 billion through 2133. And, there is
24 no alternative under current law to Yucca Mountain.

25 Here is the graphic of the baseline funding

1 profile, to some degree, and this is from a DOE chart. I
2 think it's from the Total System Lifecycle Report. So, this
3 I think started a few years ago. As of right now when they
4 made the report, and corresponding to make the at that time
5 2017 deadline, was going to rocket upward. Of course, what
6 really happened is this. Obviously, we're way off the path
7 at this point, and of course this jump was the--this is the
8 operational period, and then of course the closure period.

9 So, how could the change be made, and what are the
10 major options that are under consideration that Congress
11 would want to look at? Withdrawing the license application,
12 right after the election, that was the question everybody was
13 asking is are they going to withdraw the license application,
14 because it appeared that under NRC rules anyway, the
15 applicant did have the right to withdraw the application. It
16 wasn't really clear whether that would work under the Nuclear
17 Waste Policy Act. So, that has never really been analyzed.
18 It hasn't been done yet, so it hasn't come up, but
19 presumably, Number 1 and 2, withdraw the license application
20 and find the site unsuitable, would have to be done in
21 tandem, because once the site is found suitable, under the
22 law, the license is supposed to be submitted.

23 And, that raises questions if you pull that back,
24 you know, in the interim of course, there was the 2002
25 Congressional endorsement of Yucca Mountain. So, the

1 question is can you back up and undo that. And, so, there's
2 a lot of legal questions that haven't been really answered as
3 to how easy it would be to take that step. Other steps of
4 course can be taken and have been taken to reduce the program
5 funding. That has already taken place to some degree, and
6 may go further. Of course, the new Administration has the
7 right to make policy appointments to key positions. Of
8 course, we have a Secretary of Energy and Environmental
9 Protection Agency to make the regulations, and of course the
10 Nuclear Regulatory Commission. The makeup of that is
11 certainly going to change over the, and already has to some
12 degree with the new chairman. So, those are things that the
13 Administration can do to try to implement its program.

14 And, then, the broad review, which later--this
15 report was written before all this happened, but it was
16 pretty obvious that that would be a good way to deal with the
17 program, is to start with a review. So, that's obviously the
18 Blue Ribbon Commission that's been talked about.

19 So, if Yucca Mountain were halted, and of course
20 Congress is very interested in this, without a change in law,
21 I would point out, and that seems to be what the
22 Administration, I don't have any inside information from the
23 Administration, but that seems to be the general thought,
24 that there wouldn't be any unilateral action by the Executive
25 Branch to trigger all these consequences without a change in

1 law to address the consequences at the same time. But, this
2 is what could happen.

3 Of course, the first point is almost certainly
4 going to happen. Any alternative to the existing program
5 would almost certainly be a longer period of interim storage,
6 or a longer period of time before the waste gets removed from
7 existing waste sites. And, of course, as we saw, the
8 baseline was 2066. So, we're getting to push into a long
9 period of time, maybe a very long period of time.

10 Nuclear waste contract repudiation and the federal
11 liabilities that would result from that, it could be
12 interpreted that the withdrawal of the license application
13 would be tantamount to repudiating the contracts, the
14 standard disposal contracts between DOE and the utilities.
15 And, this issue has already come up over the years in some of
16 the courts of claims that has repudiation already taken
17 place, in which case, it appears that under repudiation, that
18 would trigger the much speculated about potential total
19 repayment of all funds that have been paid by the utilities
20 as nuclear waste fees, either all the funds that haven't been
21 spent, or even all the funds that have been spent, plus
22 interest and penalties. That's the speculation.

23 The effect, of course, what does that mean for new
24 nuclear power plants? There's a couple of things that new
25 nuclear power plants have to have. They have to have, under

1 the Nuclear Waste Policy Act, they have to have disposal
2 contracts with DOE, which the new ones have been signing.
3 But, of course, if there's contract repudiation, what would
4 that do to that? And, then the Waste Confidence Decision,
5 NRC has to, under its policy, has to have confidence that the
6 waste from a new power plant, a new reactor, can be dealt
7 with and disposed of satisfactorily, and that's underway.
8 We've talked quite a bit about that already.

9 I didn't mention in the slide, but of course state
10 laws, there are several states that have similar laws that a
11 nuclear power plant can't be licensed without some way to
12 deal with waste. That has never been tested. There's been
13 no order for a plant since these laws were passed. So, the
14 question of federal preemption in that case is a little bit
15 unclear. There's obviously areas where the states do have
16 control. They can't regulate nuclear safety, but they can
17 regulate--they're in charge of economic regulation in the
18 case of a regulated plant. And, in the case of a merchant
19 plant, there's all kinds of environmental permits and other
20 things that are under state control. So, that could be an
21 issue, aside from just the general issue of political
22 opposition to nuclear power plants, especially at new sites,
23 which we haven't seen yet, based on the potential lack of
24 waste management facilities.

25 We also just talked about the DOE environmental

1 clean-up penalties. That could come into play. And, in the
2 long-term, storage risk is sort of the big picture questions,
3 since on site storage is the default option if nothing else
4 happens, the waste just stays where it's generated. And,
5 that, of course, has been the practice throughout the history
6 of nuclear power. How long can that happen? We get a lot of
7 questions about that, how safe is storage. And, of course,
8 it's generally considered to be safe in the near-term, but
9 what is the near-term, is it 100 years. I mean, obviously,
10 the Waste Confidence Decision says yes, or the new proposed
11 one, is about 110 years, 50 years after reactor shut-down.

12 Although, I did see that Nevada is concerned about
13 the emplacement of the drip shields in 100 years. So, that
14 implies a level of discomfort with institutional actions that
15 far in the future. And, of course, DOE has analyzed the
16 long-term consequences to roughly, you know, if you left
17 waste in surface storage for as long as Yucca Mountain, or
18 the repository, of course you would expect quite a lot of bad
19 consequences. And, then, the real question is in the
20 interim, at what point does it become an unacceptable risk,
21 is it 100 years, is it 200 years, is it 500 years, is it 1000
22 years. Most people would agree there comes a point where the
23 risk arises to an unacceptable level.

24 This is the Department of Energy's estimate of the
25 costs of delays based on the standard contracts. And, the

1 way this works, these are based on the settlements that DOE
2 has made so far with utilities, and those settlement costs
3 are calculated every year based on what the utility that has
4 the settlement is paying in addition to what it would have
5 paid had acceptance started in 1998. So, they've got a 1998
6 curve, which note is a lot less steep than these curves, so
7 they cross at some point. This is like a 2,100 metric ton
8 per year acceptance rate, or something. This is done for the
9 purpose of calculating the settlements. And, as far as I
10 know, that's the only purpose of it.

11 So, that at point here, the utility could say okay,
12 you would have taken this much, so we are going to pay for
13 that much. And, of course, when you get to the crossing
14 point, you don't have to pay anymore. But, what's happening
15 is this line is continuing to move out, and the estimate is
16 that every year adds approximately \$500 million to the total
17 cost, which the total costs are, you know, over this period
18 of time when you get to that point. And, those are based on
19 the settlements so far. There's still a lot of court cases
20 that have been appealed. You know, they may very well end up
21 with much higher costs based on those that would then push
22 this whole curve to a much steeper level, and much higher
23 costs overall. This is assuming no repudiation, where
24 everything has to be paid back all at once.

25 The major alternatives that Congress will be

1 considering, those have been talked quite a bit about today.
2 But, as has been noted, there is no alternative under current
3 law. Yucca Mountain is the only candidate site. And,
4 central interim storage, which has also been mentioned as a
5 possible alternative, under current law, according to DOE's
6 analysis anyway, is tied to Yucca Mountain. There is no
7 alternative to the monitored storage facility, under the
8 Nuclear Waste Policy Act cannot move forward without certain
9 steps being taken at Yucca Mountain.

10 So, without Congressional action, basically on site
11 storage or private central facilities would seem to be the
12 main options without a new law. So, new law is required for
13 redirection, which does seem to be the direction that has
14 been going.

15 Institutional change has been a sort of overarching
16 possibility that has been mentioned, a lot of talk about
17 instead of changing, you know, instead of naming up front
18 what option we want to go, will change the institutions
19 involved. So, of course, Number 1 is the Department of
20 Energy is a politically controlled entity, so maybe it should
21 become a government corporation, or independent agency, or
22 something along those lines, to eliminate the perception of
23 political interference, which was especially pronounced in
24 the early years of the program.

25 Private-sector organization, take it out of the

1 government entirely. There's obviously a few problems there.
2 There's no funding available, or you'd have to change the
3 funding quite a bit to make that happen. And, then, the
4 question of permanent title, probably a private organization
5 would not be able to hold the waste forever, the way the
6 government could. So, that could be a problem. Other
7 institutional changes, increasing oversight just to try to
8 solve the problems that way.

9 This is just an example that was in one of the
10 global nuclear energy partnership studies. In fact, if you
11 recall, the four industry studies that were commissioned by
12 DOE as part of that initiative, they all had something along
13 these lines. This is the Energy Solutions, and, you know, if
14 they have a federal corporation, and then they're getting
15 money from the waste fund, the utilities pay for various
16 purposes there. This is the legacy fund here going in. And,
17 then, the federal corporation hires all the facility
18 contractors and basically does everything, and of course all
19 under the oversight of regulators, Congress, et cetera. But,
20 it gives an idea of the kind of proposals that are out there.

21 So, what are the ramifications of extended on site
22 storage? As I mentioned, just all options I'll say likely to
23 result in longer on site storage, so we're pretty much
24 looking at later than 2066, possibly very much longer.
25 Options, if you decide okay, on site storage is acceptably

1 safe, even for that long period of time, it has to be paid
2 for somehow, and of course the various options are there to
3 compensate the utilities for their storage costs. Typically,
4 that doesn't make the Public Utility Commissions happy,
5 although maybe satisfy some utilities. That's sort of what's
6 happening now under the settlements.

7 The option of the federal government taking title
8 at the sites, that's been proposed many times in Congress,
9 and, of course, that would still leave the waste on site, but
10 it would remove the liability of the utilities. And, then,
11 of course the use of the waste fund for on site storage is
12 generally not liked by anybody since it essentially means the
13 utilities paying themselves.

14 Federal interim storage has been looked at a lot.
15 Of course the monitored retrievable storage, the MRS facility
16 is, the prime example of that was, you know, originally
17 authorized and DOE's original decision for the MRS at Oak
18 Ridge was rejected and is part of the '87 amendments. And,
19 the change, because of concerns that the MRS would become a
20 de facto repository, that was the term that was frequently
21 used, and considered to be the main objection to the MRS
22 because at that time, there didn't seem to be any progress on
23 a repository, their concern that choosing, if an MRS were to
24 actually operate, the utilities and anybody in favor of the
25 repository would be satisfied and there would be no longer

1 any political wind behind the permanent repository. And, at
2 that point, the MRS would be the repository on the surface.

3 So, they solved that problem, the '87 amendments
4 said the MRS can't move forward without Yucca Mountain at
5 that point, and limited its size to 15,000 metric tons, which
6 obviously is not nearly enough to handle the waste that's
7 expected to be generated, or even the waste that exists now.

8 A voluntary site selection program for, primarily
9 for central interim storage, I'll talk about that a little
10 later, went forward, and that was ended by Congress in 1993.
11 Since that time, there was the big push in the mid 1990's,
12 the last gasp effort to meet the '98 deadline. Several
13 Congresses in a row worked on the Yucca Mountain interim
14 storage idea, which fell short by either two or three votes,
15 a veto override at one point from President Clinton. So,
16 that was a very very intense debate.

17 And, then, more recently some of the appropriations
18 committees had been putting sometimes fairly detailed interim
19 storage provisions into the appropriations bills, but those
20 have not been enacted.

21 Of course private central storage, that does not
22 have the restrictions that the MRS has on it. NRC can
23 license those, and does, of course, at on site facilities.
24 So, the PFS facility, private storage facility in Utah is the
25 example of that. It took nine years to license, which was,

1 you know, essentially a concrete pad and some casks. But, of
2 course, that was held up by the issue of the airplane
3 crashes. And, they got the license, and as we know, that
4 was, ultimately, the actual use of the license was blocked by
5 the Department of the Interior administrative rulings. And,
6 a private facility does still have limitations. In this
7 case, there was a pretty strict storage limit, and the time
8 period was limited I believe to 20 years, which at the time
9 seemed adequate, maybe in the future would not seem helpful.
10 So, that would be a real restriction. And, then, the
11 ownership of the waste was retained by the utilities. There
12 was no transfer of title. So, if the 20 years expired, the
13 waste would have to go back where it came from. Not solving
14 the problem.

15 Treatment technologies are talked about, again, a
16 lot by the new Administration, and there's a lot of emphasis,
17 which was discussed earlier, in the budget to focus a lot of
18 DOE's R&D work on waste treatment technology, that in the
19 budget are largely unspecified, is exactly what those
20 technologies would be. I don't think they use the word
21 "reprocessing," but essentially that would be along those
22 lines, one would think. It would, of course, provide an
23 alternative to direct disposal, and of course reduce
24 potentially the waste volumes, long-term heat and
25 radioactivity.

1 It would possibly have a near-term affect of giving
2 spent fuel a place to go. If you built a reprocessing plant,
3 the fuel could go there, although in if you recall the 1992
4 Energy Policy Act debate, there was a major push by then
5 British Nuclear Fuels to bring spent fuel from the United
6 States to the Fork Plant, which was undersubscribed, and I
7 guess still is, for--they didn't even say they would
8 reprocess it. We'll just store it for you, and it will be a
9 great service. That actually made it into the Senate
10 Committee version of the bill, but was eliminated on the
11 floor. So, that was sort of the high water mark of that
12 idea.

13 And, of course the industry studies that I
14 mentioned have a lot of alternative concepts for such a
15 closed fuel cycle type option. But, still the fundamental
16 obstacles that have blocked the closed fuel cycle,
17 reprocessing, recycling, really since the Ford and Carter
18 Administrations still are there, and that is of course the
19 higher costs that will be involved, and the concerns about
20 nuclear weapons proliferation due to plutonium separation.
21 And, of course, implementation would take many decades.

22 We have a couple of graphics here from the GNEPDS
23 studies again. This is from the General Atomics GNEPDS team,
24 and you can see the dates they're talking about. This is up
25 to 2100 they're going to do this, which is continue with

1 light water reactors, and they go to the UREX process, and
2 the fission products. And, of course, you see they calculate
3 a certain percentage of long-lived transuranics from each
4 process. So, even if the fission products are shorter lived,
5 of course there's still a lot of long-term stuff, let along
6 the long-term fission products.

7 But, their idea, since--of course, General Atomics
8 has been promoting the high temperature gas reactors for a
9 long, long time, is to take the uranium and plutonium and
10 make it into fuel for a deep burn modular helium reactor,
11 which is basically their reactor. The advantage is that it
12 would, since it's a high burnup fuel, it would burn up more
13 of the transuranics than a light water reactor, reducing the
14 volume that would go into a pyro processing facility, and
15 then into fast reactors to finish the job and make a loop for
16 indefinite recycle.

17 So, here's Part 2 of their proposal after 2100.
18 So, the main purpose is just to show the very long time
19 frames we're talking about implementing these technologies,
20 and just the complexity. At that point, they've eliminated
21 the light water reactor portion and it's just a gas reactor,
22 fast reactor loop, but still producing of course the fission
23 products and a certain amount of transuranics. Obviously, a
24 very complicated and long way from implementation proposal.

25 Here's the Administration's--we've talked about

1 this, the budget went up for this area. This used to be the
2 advanced fuel cycle initiative, which was the R&D portion of
3 GNEPDS. So, GNEPDS is no longer mentioned. The website is
4 gone. And, the advanced fuel cycle initiative is gone, but
5 this continues, and it's targeted at waste treatment. And, I
6 think we actually went over some of these earlier, all aimed
7 at various aspects of waste. So, there's quite a bit more
8 money actually for the waste research area.

9 Non-repository options. Everybody has, you know,
10 if we can't find a repository, we'll find something else, and
11 these are always out there, the subseabed. The U.S. was
12 involved for many, many years in the international program,
13 although it is now prohibited by the London Dumping
14 Convention. Space disposal, I mean, this is all out of the
15 1980 PEIS, you know, pictures of the space shuttle taking the
16 waste up. We actually had to analyze--there was a professor
17 who wrote to a member of Congress and had an idea for
18 shooting small packets of waste with an electromagnetic rail
19 system to be on a mountain, and it would shoot these little
20 packets, one a minute, because they were so small, they
21 wouldn't be dangerous, so we had to analyze that. So, the
22 ideas are definitely out there. Deep boreholes is certainly
23 still out there. Ice sheets, maybe less so. Volcanoes, I
24 didn't see a lot of support for the volcano option, but it is
25 mentioned. I'm not really sure what they meant by that.

1 So, the search for new waste sites. Assuming that
2 none of the non-repository options are selected, would imply
3 that a new repository site search will be needed if
4 indefinite, meaning forever, on site storage is not
5 considered an option. So, as far as I know, at this point, a
6 repository, there's very few technical experts who believe
7 that a repository of some sort is not necessary, whatever
8 option is chosen, except for the non-repository options.

9 And, the lessons here of course are important from
10 the past as to how we would structure such a search for a new
11 repository, or obstacles, pitfalls, other things that might
12 be a problem because most members of Congress were not here
13 in 1987, nor their staff. But, luckily, the Congressional
14 Research Service was there, so I personally witnessed this,
15 so that hopefully gives Congress the institutional memory
16 that it needs to avoid, or at least learn from the past, and
17 move forward instead of repeating the problems, the ideas
18 that didn't work before.

19 So, of course, lessons, we know that a lot of
20 opposition, clearly Yucca Mountain did reduce the
21 Congressional opposition and allowed the program to move
22 forward in '87. But, of course, a new search would then
23 maybe reopen that and many parts of the country that were off
24 the table in '97, would suddenly be back on the table again.

25 So, let's just briefly review the history of the

1 site search, and this was the original concept, if anybody
2 remembers, and this is a little different from the latest
3 OCRWM director, Ward Sproat's analysis of how the program
4 actually played out. The technically driven process that
5 would be considered fair by everybody, including the selected
6 site, the process would be designed so that even if you
7 didn't like the outcome, you would accept that it was
8 scientifically and objectively and in a balanced way carried
9 out.

10 Two repositories were envisioned, in the East and
11 the West, to try to create some regional equity. The first
12 repository, because there was a concern that the program
13 needed to move rapidly, they wanted to start with sites that
14 had already been identified, so among those sites then the
15 Department of Energy was supposed to choose a first
16 repository site. And, then, the second repository site was
17 going to be basically a search from scratch, a nationwide
18 screening, or at least screening of certain crystal and rock
19 bodies.

20 And, this next map gives a little hint of what was
21 to come. People may remember in I guess it was '86, yes,
22 January '86 when this report came out, and the operative
23 information is all these dots all over the upper Midwest, New
24 England, you know, Southeast Atlantic Coast, suddenly all of
25 these spots were being considered for nuclear waste sites.

1 So, that's when things really started to happen.

2 The first repository candidates, at that time, it
3 had been narrowed to five. If you remember, the multi-
4 attribute utility analysis that was conducted, and ranked the
5 sites, and of course one of the things that the five sites
6 immediately noticed was that the results of the analysis were
7 not necessarily what the final ranking was, so they didn't
8 like that too much. But, DOE said no, that this black box
9 analysis is only supposed to be a decision aiding tool and
10 not supposed to be the decision, but that message didn't
11 really resonate.

12 And, in the midst of all this, the DOE then
13 cancelled the second repository, which if you recall, was the
14 key compromise in the Policy Act to make sure that one region
15 would not take all the waste. The justification being that
16 nuclear power had not grown as fast as had been thought that
17 it would and, therefore, a second repository would not be
18 needed.

19 And, then, Tennessee, it was at this point very
20 upset about having been chosen for the MRS. And, at that
21 point, there was so much opposition through so much of the
22 country that the program was essentially paralyzed. The
23 budget was cut. They couldn't really move forward.

24 And, this next slide shows Congressman Udall's
25 fairly bitter summary of what had happened. He was one of

1 the prime authors of the original Nuclear Waste Policy Act.
2 He was the Chairman of the House Interior Committee. "We
3 created a principal process for finding the safest, most
4 sensible place to bury these dangerous wastes. Today, just
5 five years later, this great program is in ruins." And, he
6 went on to say, "The potential host states no longer trust
7 the technical integrity of the Department of Energy's siting
8 decisions."

9 So, what was when--he was actually I believe, this
10 happened in conference, but I believe based on his--he was
11 just so unhappy with what had happened, that he didn't want
12 to play anymore games, is the way I interpreted it. The
13 conference at that time, everything was pointing toward Yucca
14 Mountain. The '87 amendments were being drafted so that that
15 would be pretty much the obvious choice. And, he said look,
16 let's just name it and, you know, quite playing around. So,
17 that's what happened.

18 KADAK: Udall didn't say that.

19 HOLT: Well, it was in conference.

20 KADAK: He may have said that, but he didn't say what
21 you just said.

22 HOLT: I thought in conference later, he was the one,
23 but somebody, if it wasn't him, it was that that was the
24 driving factor, because they were not naming Yucca Mountain
25 until--I thought it was him that had said no, let's not beat

1 around the bush, let's just name it, and they did. And, so,
2 it's specifically named as the site.

3 Congress thought at that time that Yucca Mountain
4 seemed to be the best site and probably would have been
5 selected, so they were trying to, you know, move things along
6 faster that direction. But, of course, the naming of Yucca
7 Mountain did eliminate all other areas of the country for
8 consideration.

9 The '87 amendments also eliminated the second
10 repository program. And, then, of course, we talked about
11 tying the MRS to the repository, so there would be no more
12 concern about the de facto repository as an MRS. Monetary
13 benefits, specific statutory benefits were offered to host
14 states. The Nuclear Waste Negotiator was established, so
15 this was definitely Udall's idea. The Nuclear Waste
16 Negotiator was charged with finding voluntary sites, and
17 actually was empowered to offer literally any inducement.
18 But, of course, the inducements would have to be approved by
19 Congress, but there was no limit on what the negotiator could
20 offer.

21 And, of course, the Nuclear Waste Technical Review
22 Board was established to address the issue of the lack of
23 trust over DOE's technical decisions, and it was thought that
24 an independent board of technical experts would serve as a
25 check and be a trustworthy source of information for Congress

1 and the public, you know, in case it appeared DOE's decisions
2 were being driven by politics, that this technical body would
3 point that out.

4 So, here's where we're at, various ideas that have
5 been tried. Of course, in the early days, remember the
6 Lyons, Kansas site, AEC tried to choose a site on its own.
7 That did not work out. DOE's selection administratively of
8 an MRS site was unsuccessful. The site ranking process for
9 the first repository was unsuccessful. The screening process
10 for the second repository was unsuccessful, and the benefits
11 agreement for the host states, no interest was ever expressed
12 in those. The negotiations for the voluntary sites did not
13 work. And, now, we're at the Congressional designation of a
14 site, which is Yucca Mountain, and it should have a question
15 mark there, that we don't know yet. But, we do know that
16 nothing has succeeded. The Congressional designation is
17 still active, which is not to say that a repository can never
18 be found.

19 And here's of course an example, the WIPP site, the
20 Waste Isolation Pilot Plant was sited. Of course, it's a
21 bedded salt site, originally was intended as a high-level
22 waste site, volunteered by the community of Carlsbad for
23 economic development, was switched to transuranic waste at
24 the behest of the state. So, Congress then authorized it in
25 1979 as a defense transuranic waste site, but the waste,

1 anybody following that program, knows that was certainly not
2 easy either, and the first waste did not get shipped to the
3 site until 20 years later. But, of course, it is operating
4 successfully today.

5 There is some highly publicized local support for
6 taking other types of waste at WIPP, but my impression is
7 that the state as a whole is still strongly opposed, the
8 state delegation is strongly opposed. I would guess that
9 they're at least as strongly opposed as the State of Nevada
10 is to Yucca Mountain. So, it seems like a tough idea to
11 implement.

12 So, although we don't make policy recommendations,
13 we can at least make a few observations. It would appear
14 that based on the record, that long-term repository site
15 studies, as opposed to the original concept of a purely
16 scientifically driven objective site that everybody would
17 accept as fair and unbiased, involve a level of uncertainty
18 because of the long time periods involved, and just knowledge
19 of geologic processes in general are so great that public
20 concern is going to be present in any case.

21 And, this difficulty of siting is likely to mean
22 without Yucca Mountain, there's going to be a lot longer
23 period of on site storage, and we've seen that the
24 alternative technologies are not technically quite ready yet,
25 or they face other serious obstacles that have blocked them

1 throughout our history. There is no legal framework for
2 selecting new sites under current law, no legal framework for
3 moving forward with an alternative disposal policy under
4 current law.

5 So, as a result, Congress is certainly the key to
6 this. The upcoming Congressional debate, the most immediate
7 upcoming debate, of course, is the 2010 budget. Whether that
8 will be a full-blown debate is unknown. I'm guessing there
9 will be a lot of commentary and discussion, not necessarily
10 the big debate on Yucca Mountain yet, but that of course is
11 coming down the road.

12 And, if you want to contact me, feel free. Thank
13 you.

14 GARRICK: Any questions?

15 KADAK: You're--

16 HOLT: Well, it's very difficult. Certainly, anybody
17 following this program in '87 can see why that was done, and
18 in the report that this is based on, I didn't say that none
19 of these other alternatives couldn't work. They haven't
20 worked, and certainly some would say well, if we did it
21 right, if we offered bigger benefits, if we did things a
22 different way, implemented the program better, had more
23 oversight, maybe some of these tasks could work. So, I'm not
24 going to say that it's impossible. But, it certainly would
25 not be easy.

1 ARNOLD: Arnold from the Board.

2 I was very impressed with your report. I thought
3 it was an excellent summary.

4 HOLT: Thank you.

5 ARNOLD: The one thing you don't talk about, and I
6 wonder was that deliberate or you weren't asked to, is a
7 survey of what other countries are doing.

8 HOLT: We do have, I won't say the report is in the
9 works, we have talked about it a lot. We do plan to do
10 something like that because we do believe that would be
11 another area that Congress would be very interested in, and
12 of course the Swedish apparent success just recently
13 announced would be of great interest. So, yes, we do want to
14 do that. And, we also, you will notice completely lacking is
15 any discussion of the technical merits of the Yucca Mountain
16 site, we do want to do something like that, too. We have one
17 of our earth scientists on our staff is planning to do a
18 report on that.

19 GARRICK: Questions? Yes, Andy?

20 KADAK: You've written a lot about Yucca Mountain and
21 the whole waste program, sort of checked some of your other
22 writings, and you're a very close observer of the process,
23 and in listening to your remarks, I get the sense that it's
24 not so much the DOE that's the problem, it seems that the
25 Congress when it tries to fix the problem becomes the

1 problem, with all the changes in laws, prohibiting an MRS, or
2 linking it closely, avoiding the use of Tennessee, avoiding
3 the use of--as a repository location, all in legislation. Do
4 you think anything has changed that would make this process
5 go forward since the years you've been following this?

6 HOLT: Well, Congress is the place where the political
7 issues come together, and of course that will be the focus,
8 and that is--part of the problem is when you set up a
9 technical process in an agency that is supposed to be outside
10 of politics, politics is still going to be present, and you
11 could argue that the program did become overwhelmed by
12 politics. There's two ways of looking at it. One is the
13 Department of Energy, as Congressman Udall said, itself
14 became subject to politics within the Executive Branch, and
15 that undermined support. Or, you could look at it as
16 basically anybody, any area that the finger started to point
17 to was going to pull out all the stops, and use any tool that
18 it could to fight this, and number one is to raise of course
19 political alarm and get the public to put pressure on its
20 elective representative to do what they can to stop it.

21 So, I guess the question is there a way to get
22 around that, it would be difficult since to totally isolate
23 this process from any politics whatsoever, I mean, I guess
24 you could try to design something like that. It would be
25 hard.

1 KADAK: I'm really asking do you see anything
2 politically that has changed that would help in solving the
3 problem?

4 HOLT: It may be more the opposite, that, you know, has
5 the well be poisoned at this point, that we've tried all
6 these methods and everybody now sees what it takes to stop
7 it. So, you know, anything that you propose, any state that
8 is selected has a play book, and knows how to go out there,
9 so it would be maybe even harder politically now than in the
10 past. I'm not sure that there's, you know, I don't see any
11 other big change in the acceptability, political
12 acceptability of nuclear waste sites at this point that
13 changes the fundamental political dynamic.

14 ARNOLD: Any state can have a look at the play book, but
15 only one can have the Senate Majority Leader--

16 HOLT: Well, remember, in '87, it was a junior senator,
17 brand new, and he was of course thoroughly defeated at that
18 time, so I guess patience is one of the key parts of the play
19 book.

20 GARRICK: David?

21 DUQUETTE: Duquette, Board.

22 Perhaps I'm reading something into your writings
23 and into what you've presented here that isn't there, but it
24 looks to me like your group, your study group hasn't totally
25 written off Yucca Mountain as an eventual alternative. I

1 understand that politically, both Biden and Obama have said
2 that Yucca Mountain is not a viable site. But, can you
3 imagine or picture something that would come out of, say, the
4 Blue Ribbon Commission that says Yucca Mountain is fine,
5 especially if your earth scientists says there are no real
6 problems with it, could you see it coming back into the
7 picture again?

8 HOLT: Well, my understanding is that in fact the
9 question was put to either the Secretary or others in the
10 Administration as to whether the Blue Ribbon Commission would
11 consider Yucca Mountain, and I don't have it here in front of
12 me, I thought they said no, that the Blue Ribbon Commission
13 would not be considering Yucca Mountain. Now, it doesn't
14 mean that I don't think that--do I think that Yucca Mountain
15 is really off the table? Clearly, the licensing process is
16 still going forward. As was discussed, that process carries
17 well beyond the current Administration, and many intervening
18 elections, so as long as the licensing process is going
19 forward, it certainly does appear that the project is still
20 the current law.

21 DUQUETTE: I can't imagine how any Blue Ribbon
22 Commission could completely ignore Yucca Mountain. They
23 would have to know something about Yucca Mountain to move
24 onto--

25 HOLT: Well, that is my impression. Maybe that's going

1 to change, because it would possibly make it--I could imagine
2 it would make it harder to recruit a commission if they were
3 told that they had a preordained decision in some parts of
4 what they were looking at. But, I thought that was the
5 direction that they were going. I don't know for sure.

6 DUQUETTE: They'll come up with a decision that's
7 putting it in an oxidizing environment in tuff is probably a
8 good idea, but Yucca Mountain is not.

9 GARRICK: Bill Murphy?

10 MURPHY: Bill Murphy of the Board.

11 You mentioned that a number of states have
12 precluded development of nuclear power plants in the absence
13 of a solution to the waste problem. I know California is one
14 of those. How many states have such restrictions, and is
15 there a tendency for now that plants are being built again,
16 or proposed again, is there any move of other states to
17 implement such limitations, or is there a movement in the
18 other direction?

19 HOLT: I think it's about six to eight states, I don't
20 remember the exact number, and some of the laws are a little
21 vague as to their exact applicability. And, of course, I
22 won't say they do block it. The laws say that they can't do
23 it. As I mentioned, there's a question about what the state
24 can prohibit and what it can't. I don't know if anybody
25 would want to move forward with a nuclear power plant project

1 in a state where, you know, officially, legally, and
2 everything else opposing it. I don't think they probably
3 would. I haven't seen any efforts to pass any additional
4 such laws. I have seen a number of efforts, and of course
5 California being one, in the state legislatures to repeal
6 those law or modify them. But, I don't think any of those
7 have succeeded yet, so the status quo is still, you know, a
8 handful of states do have these laws in place.

9 KADAK: I think it's 13.

10 HOLT: I think it might be in my report.

11 GARRICK: Let me follow up with a question that David
12 Duquette was skirting around. Is the Congressional Research
13 Service able to write a report that ends up with a position
14 that's different from the Administration?

15 HOLT: Well, we don't make policy recommendations, but
16 we could certainly--we certainly in many cases have written
17 reports that take issue with facts or just sort of sub-
18 analysis that was presented by an administrative agency, and
19 basically criticizing their methodologies and things like
20 that. But, we wouldn't, in the case of nuclear waste, we
21 certainly wouldn't make a policy recommendation that current
22 policy should continue or change or anything like that.

23 GARRICK: What if you call it a technical
24 recommendation?

25 HOLT: Well, it would be more along the lines of we try

1 to set the record straight on the facts that are being
2 presented. Of course, a lot of the facts are based on
3 analysis, so at that level, we would reach conclusions, but
4 we wouldn't reach the broader policy conclusions. And, we
5 try to represent all reasonable points of view, so if
6 somebody is out there, we wouldn't say the Administration is
7 wrong without presenting their view also.

8 GARRICK: It seems to me I've read some Congressional
9 Research Service reports on terrorism that do make, at least
10 imply recommendations or actions that are either not being
11 taken by the current Administration at the time, or haven't
12 been considered.

13 HOLT: Yes, and those are probably carefully worded. I
14 think they're probably worded in a way that says this is pros
15 and cons, or this is options, something like that. It does
16 become a fine line, are you listing options because they're
17 options, or are you listing options because you think they're
18 a good idea. And, we do have an office of high-level
19 reviewers who do nothing but attempt to scrub the reports to
20 make sure that it doesn't appear that we are favoring one
21 side or the other.

22 GARRICK: So, what's the primary mandate of the service?
23 I'm trying to relate it also to the National Academies, which
24 are there to review projects at the request of the
25 government, and offer findings, conclusions and

1 recommendations. How does your role differ from that?

2 HOLT: Well, part of the reason that we have to be
3 objective and not reach policy conclusions is because we have
4 to serve all members of Congress and all their staff. So,
5 the minute we made a policy recommendation, we've immediately
6 lost half the members, who won't trust us anymore on that
7 issue. They'll say, okay, these guys are on the other side.
8 But, typically what happens is if there is a big debate, we
9 are supporting both sides of the debate equally. They call
10 us. We're totally confidential. We're just like an
11 extension of their personal staff or the committee's staff,
12 that if they're talking strategy, if they're talking, you
13 know, what I need to do to implement this, they know we will
14 not even mention that or even mention that we've talked to
15 them to the other side, and vice versa. So, that's why they
16 trust us. We don't take sides. They know that we will
17 support them to the best that we can.

18 GARRICK: So, Congress is the mechanism by which you
19 decide what you do, in other words, what they ask you to do?

20 HOLT: They either ask us or we anticipate what would be
21 useful, or we just know that there's certain things that we
22 do automatically that are used by Congress. But, we don't
23 recommend policy.

24 GARRICK: Yes?

25 KADAK: The Government Accounting Office also does

1 studies and report?

2 HOLT: Yes.

3 KADAK: They are pretty much, I guess certain
4 Congressmen ask the question that he kind of knows what he
5 wants as an answer. You don't do that?

6 HOLT: Well, we have a form called directed writing.
7 So, if they do have a preordained conclusion they want us to
8 reach, it gets a special form and it says right across, you
9 know, in giant letters right across the text "Directed
10 writing. This document was prepared at the direction of the
11 requestor with the preordained conclusion." So, we will do
12 that. People typically don't want those because it doesn't
13 really help them that much. If they want a CRS product
14 because they know it's fair and unbiased, and GAO would
15 probably greatly take umbrage at the idea that they do that.
16 GAO does reach conclusions, GAO is also not supposed to be
17 making policy recommendations either. Now, they'll make
18 recommendations on government process and government
19 operations. There's certainly some reports that we would
20 think maybe get close to the line. But, they do make
21 recommendations. They're not supposed to come out and say we
22 think nuclear waste should be put at WIPP, or whatever.

23 KADAK: It's a little bit more inflammatory than--

24 HOLT: Yes, they'll get pretty heated up about, you
25 know, somebody is not running a program right, or something

1 like that. But, if you look at their reports, you usually
2 won't find heated rhetoric on the substance of the policy
3 that much. It's more on how the program is being run.

4 GARRICK: Yes, Ron?

5 LATANISION: Just to be clear, on this particular
6 report, was this written in an anticipatory sense, or did a
7 member ask--

8 HOLT: We'd gotten a lot of questions after the
9 election, and I had given some briefings, which essentially
10 this was the briefing, and I thought, well, this should be a
11 report because everybody is going to want to know about this.
12 So, I wrote the report as quickly as I could, because I was
13 hoping to get it out before the Administration took office.
14 I got pretty close. And, it would be ready for when this
15 policy change came down, which it did, and we did indeed get
16 a lot of questions about it. So, there's a lot of
17 Congressional interest.

18 GARRICK: This report was not a particularly good report
19 card for Congress. What's been their reaction?

20 HOLT: Well, I mean, they weren't here, and so they
21 probably don't mind too much. But, I mean, everybody knows
22 the legislative process is very difficult, and prone to, you
23 know, political forces.

24 GARRICK: Okay, yes, George?

25 HORNBERGER: I was interested in your recounting the

1 events of the Eighties and what not, and certainly that's all
2 well known now, although I sometimes think that we look back
3 with rose colored glasses. I think Luther Carter, for
4 example, was suggesting that Nevada was the--

5 HOLT: Yeah, that was actually his book was very
6 influential and did actually, I think, sort of tilt key
7 members of Congress toward Yucca Mountain.

8 HORNBERGER: Of course, he later changed the tune. But,
9 I'm curious because at the time that it happened, my
10 recollection of events, things were getting pretty hot in the
11 east with people looking for granite sites.

12 HOLT: Yes, I mean, I did not go to those meetings, but
13 in talking with people who did, it was I think considered a
14 very unpleasant assignment to go to these community meetings
15 in the east. I mean, I don't think it was as bad as in
16 France where they literally were running people out with
17 pitch forks, but they were outraged and they just thought it
18 was crazy. They thought there's too much rain here. You're
19 putting it like in Maine under a lake, and all this stuff.
20 They just didn't accept it at all.

21 HORNBERGER: And, so, I mean you can see that even
22 though it violated a primary agreement, you can see
23 politically why--I'm just curious again to relate it to
24 currently, you say we have these lessons and we want to have
25 Congress have these lessons to go forward, and yet the events

1 surrounding these political decisions are--

2 HOLT: Well, the main lesson would be be careful
3 choosing a new policy, that you don't put yourself back in
4 that position. If you choose a new policy, you've got to
5 somehow think it through, and think of all these factors, and
6 see if there's some way you can try to structure the policy
7 so that maybe you mitigate some of those problems. I don't
8 know exactly how you do that.

9 GARRICK: You often hear that one of the reasons the
10 United States has such difficulty with this problem is that
11 there has not been cultivated or created a national will to
12 solve it, as in Sweden, Finland, and maybe France. From your
13 perspective, and having gone through this exercise so
14 systematically and deliberately as you have, and if you were
15 put on the spot to make some recommendations on how to create
16 a national will, have you got any comments?

17 HOLT: Well, a national will presumably would start with
18 the existing on site locations, because they are presumably
19 the ones that are going to bear the consequences of the
20 default policy. And, you know, we haven't seen huge amounts
21 of local outcry, it's more like a low level of unhappiness,
22 you know, if you ask people, they say yes, we think the waste
23 should go away, there hasn't been a big outcry. Of course,
24 we haven't seen too many new sites chosen yet that might
25 raise this problem with the local opposition. But the Public

1 Utility Commissioners had been one of the biggest forces,
2 because they were very upset, mostly because they felt that
3 they had been approving rate payers' money for this and not
4 getting anything for it, so that they were sort of being put
5 in a bad position, because their mission is to make sure that
6 the rate payers only pay what is necessary. So, they
7 typically were very unhappy with the lack of progress. I
8 hadn't seen too much else, but that would seem like that
9 would be the place for the national will issue to germinate.

10 GARRICK: Well, I don't know, I might challenge that. I
11 might say that the national will has to start at a more basic
12 level than that, that it has to start from the point of view
13 of understanding the problem. If you talk to the average
14 citizen about nuclear waste, obviously they don't think in
15 terms of technology and the kind of science and analysis
16 that's involved. It seems to me that we have really failed
17 with respect to educating people on what this is, and we have
18 allowed the stigmatizing of the waste to come about by
19 referring to it as a dump site, and what have you, when in
20 fact it's a pretty high tech business. So, is there any
21 feeling among the Service that the industry and the business
22 has been deficient in that regard?

23 HOLT: Well, we probably wouldn't say that anybody
24 wasn't doing a good job, or doing what they're supposed to
25 do. But, obviously, that would certainly seem to be a

1 reasonable strategy if one wanted to build a national will.

2 I mean, that seems no doubt about it.

3 GARRICK: Yes. Okay, Andy?

4 KADAK: I'm curious as to your ideas about why
5 reprocessing got resurrected so quickly from being really not
6 a very viable alternative, such that even the current
7 Administration is talking about it. Is it just an
8 alternative to Yucca, or how do you see that playing into
9 this discussion?

10 HOLT: Well, the reprocessing of course was--I mean, the
11 vision of the closed fuel cycle never went away. It was
12 always out there, even during the Democratic Administrations,
13 of course, there were many many people who were pushing for
14 that and thought that was the right way to go, and of course
15 when the second Bush Administration took over, they didn't
16 just invent that out of nowhere. That was part of their
17 policy, and the people that they brought into the
18 Administration wanted to do that. One of the reasons they
19 wanted to be elected was to do this exact thing. So, that
20 was a big part of their energy policy.

21 Now, the Obama Administration, of course being a
22 Democratic administration, it is a little different from the
23 past patterns, which when a Democratic administration comes
24 in, typically, they don't want to pursue reprocessing and
25 these technologies, and of course it's all being discussed in

1 terms of waste treatment and waste processes and improving
2 the waste disposal methods. It doesn't really talk about
3 closing the fuel cycle and producing more energy and that
4 side of it. But, also, I mean, usually the non-proliferation
5 community weighs in very very strongly on this issue, and I
6 sort of get the impression from talking to some people
7 involved in that area that it's partly because there's not
8 that many of the political positions have been filled yet,
9 and there's nobody that they really can weigh in on yet. So,
10 it may still come to pass that the non-proliferation issue
11 will become a bigger part of the debate.

12 KADAK: It would seem that if you think about the 1987
13 Waste Policy Act as the governing law, it was intact for 15
14 years, perhaps even longer, and you almost can kind of
15 consider that to be a success. And, where it got tight was
16 when they were close to a solution again, as they sort of
17 dropped the MRS when the Mescaleros and the Goshutes proposed
18 something, Congress said oh, no, no, no, not in my backyard.
19 Are we in the same pattern again, or not?

20 HOLT: Well, I think in the case of Yucca Mountain, it
21 may be more just a confluence of political tides that
22 happened, and just happened to happen at this time when the
23 application had already been submitted. But, yeah, one could
24 imagine that instead of becoming discouraged when the site
25 gets close that maybe the opponents just fight harder, and

1 that could be part of it, too.

2 GARRICK: Okay, any questions from the Staff? Yes,
3 Dave?

4 DIODATO: Diodato, Staff.

5 First, I want to thank you for a very interesting
6 and compelling presentation. We appreciate it to have the
7 CRS come present before us.

8 Dr. Arnold brought up the idea of international
9 programs. You mentioned Sweden. As a point of information
10 Torsten Carlsen, who was the mayor of--came some years ago to
11 our Board meeting held. He reported that the local candidate
12 communities at the time would have an opportunity during the
13 characterization and evaluation process to have veto
14 authority at any point where they could back out. So,
15 there's one key difference that may give them some
16 confidence. So, that's one of the Swedish things that--

17 HOLT: I don't think the local communities as opposed to
18 a larger entity such as a state, because typically here, the
19 pattern has been the local communities are supportive, and
20 the state as a whole is being the sovereign entity as opposed
21 to local communities is the one that successfully stops the
22 project.

23 DIODATO: That's correct, yes.

24 ARNOLD: Besides, there's a structural difference
25 between Sweden and the U.S.

1 DIODATO: Of course. Now, I thank you for that
2 observation. I do have a question about your Slide 21, this
3 is the General Atomics proposal before 2100. So, here, it
4 shows 1,540 tons per year of uranium coming into the system,
5 going on to the UREX process, and then 1,498 tons per year
6 coming back out. So, where does that 1,498 tons per year go?

7 HOLT: Well, they may say in the report. I think they
8 intend for it to be either re-enriched to the extent that it
9 can, or made into breeder fuel, or whatever. I mean, a lot
10 of it just says storage for future use, although this is, of
11 course, after 2100, you would think they would have figured
12 out the future use by that time. But, usually it's something
13 like that. But, you're right, the use of the uranium is
14 always a big question mark. It's another of the technical
15 issues that hasn't been solved.

16 DIODATO: The other part of it is so there's a 50 ton
17 per year delta there, so do you have a--did GA produce a cost
18 estimate on what that 50 tons per year would--what it would
19 cost to--

20 HOLT: I think it was mentioned earlier, some of the,
21 you know, a few mils per kilowatt hour, essentially a
22 doubling or tripling of the waste fee they thought would pay
23 for all this. Of course, it doesn't seem like much, only,
24 you know, a tenth of a cent per kilowatt hour, but you're
25 talking maybe one or two billion dollars per year, it's a

1 pretty significant income flow. And, of course, we haven't
2 even been spending what comes in. So, it would be a huge
3 expense increase for the United States.

4 DIODATO: Thank you.

5 GARRICK: We've got time for one more question. Go
6 ahead, Gene.

7 ROWE: Okay. I'd like to follow up on that a little bit
8 and just get an opinion from you. When I talk to the man on
9 the street, if you will, about the waste problem, they go
10 well, why don't we reprocess because that will get rid of it.
11 And, my question is does Congress understand that
12 reprocessing does not get rid of all of the waste?

13 HOLT: Probably not. I mean, we get a lot of questions,
14 I mean, not that many members have focused intensively on
15 this issue. Obviously, the ones that have do understand
16 that. But, most have not even focused on it, so, yeah, they
17 would really not probably venture much of an opinion. But,
18 you do hear occasionally people discussing isn't there a
19 technical solution to this problem. Shouldn't we be pursuing
20 that, because they've heard from a constituent or from, you
21 know, some outside interest group that this is the way to go
22 and this would really solve the problem. We should do that
23 right away. That's one of the purposes of CRS, is when they
24 hear that kind of information, they hopefully will check it
25 with somebody they trust, and see if it's the straight story

1 or not.

2 ROWE: It's not plastic water bottles that we're
3 recycling here, I don't think.

4 GARRICK: Very good. Very good. Thank you very much.

5 All right, we'll take a break until 2:30.

6 (Whereupon, a recess was taken.)

7 LATANISION: All right, let's begin. My name is Ron
8 Latanision. I'm going to serve as the moderator for this
9 afternoon's discussion on very long-term dry storage.

10 We have a group of distinguished speakers to join
11 us this afternoon as part of this panel. But, let me first
12 add a few words of perspective before we begin the
13 conversation.

14 We all know that Secretary Chu has said that Yucca
15 Mountain is not an option, and that there are better ways of
16 managing spent fuel and high-level waste. And, the fall-out
17 to that is that he intends, the Administration intends, to
18 convene a Blue Ribbon Commission to examine alternatives and
19 to make recommendations to him and to the Administration.

20 Clearly, one of the recommendations that we've
21 heard mentioned several times already today is the concept of
22 dry storage. This is a relatively young technology that my
23 impression is continues to innovate and improve frequently.
24 But, the question is from our perspective today what do we
25 mean by very long-term dry storage. And, for our purposes,

1 we're going to choose as a time element 120 years and up, and
2 we do that for two reasons. First of all, while dry storage
3 in the context of a decade or decades has been--we have
4 experience with that to some extent in this country, and
5 particularly in France. The question of what happens beyond
6 when we're talking about periods of 100 years and more, 230
7 years and more is something in which we are uncertain as to
8 the nature of the research that might be needed, and data
9 which might need to be collected that deals with the question
10 of issues that may arise during that very long-term period.

11 There's a second reason, and that is that the NRC's
12 proposed revision of the Waste Confidence Rule is still in
13 the middle of Administrative rulemaking, and we have chosen
14 not to become entangled with that, so we set our lowest
15 limit, higher than the highest limit in the proposed Waste
16 Confidence Rule. That explains the origin of the 120 year
17 time period for the purpose of today's discussion.

18 What we want to look at is the entire system. We
19 want to look at the canister that holds the spent fuel, or
20 high-level waste, if it's canisterized. But, we also want to
21 look at the structure that houses the canister, the entire
22 dry storage system from the pad on which these structures
23 sit, to the change in the character of the fuel as it ages.
24 And, to all of those kinds of issues which we believe need
25 some form of consideration.

1 We have three panelists, and the approach that
2 we're going to take is to ask each of the panelists to make
3 an opening statement. That will be followed by a dialogue
4 between the panelists and the Board. There will be time for
5 questions, of course, from not only the Staff, but also from
6 the audience.

7 The topics of conversation can range as you wish,
8 from questions associated with repackaging, some of which we
9 heard a little bit of conversation about this morning, to
10 degradation of the fuel over a period of time, to degradation
11 of the concrete and other structural materials, to, dare I
12 say it, corrosion of any of the elements of these systems.
13 So, that's sort of the framework in which we'll conduct this
14 afternoon's conversation, or dialogue.

15 Let me introduce the panel. John Kessler from the
16 Electric Power Research Institute, is the manager of the
17 high-level waste and spent fuel management program. John has
18 had a presence at Board meetings in the past, given his
19 interest in TSPA and colloid induced contaminant migration,
20 and so on. So, John is certainly known to the Board. To the
21 point of today's conversation relating to storage, he manages
22 a jointly funded project which investigates issues for the
23 purpose of independent spent fuel storage, installation and
24 licensing questions. So, we're looking forward to John's
25 comments.

1 Tom Brookmire from Dominion Resources is the
2 engineering supervisor for spent fuel storage at Dominion.
3 Dominion owns and operates four nuclear plants with spent
4 fuel storage installations on all four sites. So, we're
5 interested in getting Tom's perspective from the point of
6 view of an operator.

7 And, finally, we'll hear from Tara Neider from
8 Transnuclear, Incorporated. Tara began her career at
9 Westinghouse Nuclear Services as a design engineer. She
10 joined Transnuclear in 1986, held various positions, left for
11 a time between 2001 and 2004 to work with Constellation
12 Nuclear Services, and then rejoined Transnuclear in May 2004
13 as senior vice-president for engineering, and was promoted to
14 president and chief operating officer in January 2006.

15 So, we have a panel that has a wide base of
16 experience in topics of interest to us today, and I'm going
17 to ask, we'll just do this in turn, John, you're first in
18 line, so we'll just turn the floor over to John Kessler.

19 Thank you.

20 KESSLER: Before we go onto the next slide, some of the
21 discussion today I can't help but smile as we're talking
22 about, you know, an alternative to Yucca Mountain might be
23 let's keep this stuff at sites for a long time. Well, I
24 think that one of the main reasons why that is being even
25 considered is because we have an extremely good track record

1 of safety. And, that is because of the hard work both the
2 industry and NRC does at maintaining a safe system.

3 I would argue that we can keep things--there was a
4 discussion earlier about when the risk gets too high of
5 interim storage, or storage on site, then we'll do something.
6 My feeling is we can keep the risk acceptable. It depends on
7 what you want to pay. It depends on what you want to do to
8 do it. We can keep that risk low. And, if that's what
9 happens, for good or for bad, that will be part of the
10 equation, I think, is that we will continue to have on site
11 storage that's safe for as long as we need it, for whatever
12 reason.

13 Now, let's go on to the next slide.

14 My outline, I'm going to talk a little bit about
15 dry cask storage system functions. Let's just start there.
16 What is it that the systems are asked to do at the very
17 highest level that's defined by NRC? I will talk next about
18 a program we did about ten years ago that we called the Dry
19 Cask Storage Characterization Project. And, that was to
20 provide some technical basis to extend, or have increased
21 confidence in the longevity of some of these systems. I'll
22 talk a little bit about some potential long-term degradation
23 mechanisms, and EPRI's plans for future work.

24 Next?

25 At the highest level, NRC's NUREG-1536 identifies

1 these functions that are important to safety, and they must
2 maintain thermal performance, radiological protection,
3 confinement, sub-criticality, and retrievability. The last
4 one is NRC wants to make sure that the industry has a way of
5 retrieving spent fuel as long as the spent fuel is in
6 storage. All of those functions need to be demonstrated for
7 however long the license is, that NRC won't grant a license
8 extension unless they're confident that these functions can
9 be maintained.

10 Originally--let's not go onto the next slide quite
11 yet--originally, as was discussed earlier, the understanding
12 was is that 20 year licenses were going to be plenty long for
13 interim storage, and while the vendors did analysis, this
14 terrible talk about that looked at periods longer than that,
15 there wasn't the need at the time to do the heavy lift to
16 allow for licenses to go beyond 20 years, and so they
17 weren't.

18 So, as Tom will talk about, the first licenses were
19 now more than 20 years ago, and something needed to be done
20 to provide a basis to go to NRC to ask for license extensions
21 without having to repackage and start over again.

22 And, so, what happened--next slide--is in about
23 1999, we, EPRI, along with NRC Research, DOE RW and DOE EM
24 co-funded a study where we actually took a canister that was
25 sitting at Idaho National Lab that had spent fuel that had

1 been sitting there about 14 years, and took a look at that
2 cask. And, I'll show you a couple pictures from that work.
3 But, the idea was was to see over that, what was essentially
4 kind of a lead cask demonstration at the time, were there any
5 aging issues, at least over those 15 years.

6 In EPRI reports, there are also NRC reports that
7 document this, I've got the three listed there, all three of
8 which are publicly available.

9 What do we do from that study? We reopened this
10 Castor V/21 cask, or 521 cask at Idaho. We took a look to
11 see if there were any fission products or any kind of gas
12 release from the cladding into the gas cavity. We looked at
13 external dose rate measurements. We were trying to determine
14 if there was any degradation of the neutron or gamma
15 shielding that occurred over that period of time. There was
16 a visual inspection. I'll show you a picture or two of both
17 the cask internals, externals, as well as every single
18 assembly. And, we removed some rods for destructive testing.

19 That was followed up by rod testing at what was
20 ANL-West, where they did some measurements to determine what
21 the cladding looked like, whether there was any changes to
22 that, along with fission gas release measurements, and then
23 destructive exams were done at Argonne-East.

24 Next picture?

25 This is just one picture of the Castor 521 cask

1 being moved into the INL hot shop for opening and inspection.

2 Next slide.

3 These are a couple more photos that were taken
4 during that inspection process. The upper left one shows the
5 Castor cask with the lid off. You can see the assembly
6 sitting down in there. The upper right one gives you an idea
7 of one of the assemblies being lifted out, where we had
8 recorded visual inspection of what all those assemblies
9 looked like. We had people that were taking a look to see
10 what those assemblies looked like. Bob Einziger in the
11 audience did some of that work for NRC at the time, taking a
12 look at that.

13 The picture in the bottom left is essentially
14 taking a look down one of those channels at the bottom to see
15 whether there's any kind of indications of corrosion. The
16 bottom of the channel shows a little bit of staining that was
17 done at the time that the internals were put in, and you can
18 still see some of the machine works in the bottom right-hand
19 corner of that one. The bottom right figure is where we took
20 one of the assemblies, drilled out part of the top nozzle to
21 get to some of the fuel pins, and what you see there is one
22 of the fuel pins being extracted for subsequent examination
23 at the two Argonne locations.

24 LATANISION: Just a point of information. What are the
25 materials of construction that we're looking at here?

1 KESSLER: This is stainless, internal stainless. Tara,
2 what's the 521 body made out of?

3 NEIDER: Nodular cast iron.

4 KESSLER: Thank you. Sorry. Okay. So, this particular
5 picture is the stainless internals, but the outer body is the
6 nodular cast iron. Thanks.

7 Next?

8 This is just one example of the kind of study that
9 was done. This gives us an idea of the dimensions of the
10 cladding relative to the as fabricated, which is the 10.72.
11 And, what you see is the red lines being a measurement of the
12 cladding diameter. This essentially shows the collapse down
13 during the high pressure, high temperature part of the
14 reactor operation, and what we would think is that if we had
15 any kind of cladding creep due to high temperatures and
16 internal pressures during storage, we might see some of these
17 average diameters to be increasing up over that. And, we
18 don't really see any evidence of creep, or at least when we
19 took a look to try to figure out how much creep there might
20 be, we really couldn't quantify it because it was essentially
21 below what we were able to reasonably accurately determine.

22 Next slide?

23 Another issue is the hydrides in the cladding.
24 What you're seeing here are some cross sections after we
25 sliced up one of these rods to look at how some of the

1 Zirconium hydride has precipitated in the Zircaloy cladding.
2 The idea is is that if it's in the circumferential direction,
3 the zirc hydride is fairly brittle, such that if it was a lot
4 zirc hydrided, you would get more brittle behavior of the
5 fuel, and it could more easily break. But, as long as it's
6 in the circumferential direction, the ductility of the
7 cladding stays pretty much intact. And, one of the big
8 issues now, especially for high burnup spent fuel is are
9 those zirc hydrides, when they precipitate, going to stay in
10 the circumferential direction, or is there something that's
11 going to happen that will make them in the radial direction.
12 And, you can see that for these couple pictures, they're all
13 staying pretty much circumferential for this particular fuel
14 under these conditions.

15 Next?

16 So, the bottom line on that four year cask effort
17 was that we saw no cask functional degradation that was
18 observed. The assemblies still look the same as they did
19 when they were put in there. We didn't see any sticking,
20 bowing upon removal. There were no visual signs of
21 degradation. There was some oxidation there, maybe a little
22 bit of crud spalling, but essentially no visual signs of
23 degradations. The cask gas, the cavity gas didn't show any
24 release of fission gases. There was no significant hydride
25 reorientation, very small amount of creep. We did some

1 analyses to show that the cladding actually wasn't imminently
2 in failure of breaking due to creep. And, the result was
3 that this work formed part of the basis for the license
4 extensions that are out to 60 years now that Tom and Tara are
5 going to talk about in a little bit.

6 KADAK: John, what was the inert gas used there?

7 KESSLER: Helium. There were a couple other tests that
8 were done back in the Eighties that included nitrogen and
9 air, but this was helium.

10 And, the other thing I want to note is that the
11 most severe conditions are generally at the higher
12 temperatures, and the higher temperatures occur during the
13 first 20 years, and things just get colder after that.

14 Next?

15 ARNOLD: Could I ask--

16 KESSLER: It's one of Tom's. Surry reactor. The burnup
17 was about 33 gigawatt days per metric ton, which was typical
18 of the fuel at that time that was being put in in storage.

19 ARNOLD: Arnold, Board

20 There was some work done out here at the Test Site
21 in the Seventies with some fuel from Turkey Point under then
22 an AEC program.

23 KESSLER: Well, I don't know. Okay? The short answer
24 is I'm not aware of that. What we were interested in is what
25 had actually been put in commercial type spent fuel casks,

1 and essentially under those conditions. Somebody else in the
2 audience can probably provide a lot more detail on those
3 particular tests. My guess is again Bob Einziger could
4 probably help you out there.

5 Some examples. While we looked at a lot of issues,
6 we didn't look at all of them, and there are still some
7 things out there. For example, as I just mentioned, we
8 looked at fuel with a burnup of about 33 gigawatt days per
9 metric ton. NRC has regulations or interim staff guidance
10 that talk about spent fuel over about 45 to 50 gigawatt days
11 per metric ton because of their concern that some of the
12 properties of that fuel could be different than lower burnup
13 properties. Well, we only had low burnup fuel at the time,
14 so that's one issue that we didn't really look at.

15 Long-term concrete degradation. Some of the spent
16 fuel cask designs are concrete based. This was a metal
17 canister system, and while we did look at the concrete pads
18 sitting under the container for damage to it, we obviously
19 didn't look at a concrete based system itself.

20 KADAK: Is it reinforced concrete or just concrete?

21 NEIDER: Reinforced.

22 KADAK: Reinforced.

23 KESSLER: These are all reinforced, yes.

24 One other issue that came up that originally the
25 Japanese did some work on was the effect of marine

1 environments on stainless. We have a couple reactors here,
2 and almost all the reactors in Japan may have some of these
3 storage systems next to the ocean, or near the ocean, and the
4 question was the salt spray, how might that affect the
5 longevity of stainless steel. The Japanese did some work
6 that we reviewed and did our own work, and we looked at the
7 effect of marine environments, and our result was essentially
8 we can't rule out the possibility of localized corrosion due
9 to the effect of marine environments. So, some more work
10 could be done there.

11 One of the reports that we did in December of 2002,
12 with again I'm grateful that the primary author of that
13 report, Bob Einziger, again, is here, and what we did was we
14 essentially did a lessons learned from the dry cask storage
15 characterization project, along with earlier work on data
16 needs that, again, Bob had a hand in writing. And, what I've
17 circled there in red are some of the things I want you to
18 focus on. We looked at both the initial properties and what
19 kind of degradation mechanisms we thought would occur during
20 the first 20 years, and what degradation mechanisms might
21 continue to occur, or might crop up that didn't occur beyond
22 20 years, in the extended period.

23 And, I've got really three that show up, of which
24 two may be of the most relevance in terms of designing cask
25 systems for the long period. One was the hydride

1 embrittlement that we did identify as something that would
2 continue in the beyond 20 year time frame. Another was
3 oxidation due to air ingress. If you have air ingress,
4 you're going to continue to get oxidation, albeit maybe at a
5 somewhat slower rate than you had during the first 20 years.
6 Nevertheless, it would continue. And, then, if you've got an
7 accident or fire pre or post-20 years, you still have the
8 same potential mechanisms there. So, that's what we came up
9 with in terms of what we thought the main degradation
10 mechanisms were.

11 Next?

12 Okay, a lot of the degradation mechanisms tend to
13 be temperature related. I mentioned fuel cladding creep is
14 caused by increased cladding ductility and increased stress,
15 and the stress is due to higher internal pressures which of
16 course you have higher pressures when you go to higher
17 temperatures. The hydride reorientation in the spent fuel
18 cladding. If we have a high enough pressure and a high
19 enough temperature, we will get some of those hydrides that I
20 showed you that were mostly circumferential to go essential
21 radial right through the cladding, which would really
22 embrittle the cladding if that were to occur in a gross
23 fashion.

24 Corrosion, obviously, we all know that temperature
25 generally increases corrosion. Degradation of the neutron

1 shielding. The neutron shielding in many of these designs is
2 affected by high enough temperatures, and you could have some
3 degradation of the neutron shielding, even for concrete
4 systems if you dried it out enough, you might lower the
5 neutron shielding a little bit, although that's not such an
6 issue. And, then concrete dry-out and cracking at higher
7 temperatures. They're all temperature related issues.

8 Next?

9 So, changes as the system gets cooler, because now
10 we're talking about well past 20 years, and maybe
11 temperatures are down to something that--well, they're down
12 considerably from what they were in the first 20 years. We
13 think that it will be mostly good things. We would have
14 reduced metal creep rates. We would have reduced corrosion
15 rates. We'll have reduced gamma and neutron radiation, all
16 of which makes life easier.

17 And, there's some potential negatives related to
18 cladding. We will have additional hydride precipitation that
19 could occur even past 20 years where we have more hydrides
20 coming out of the metal solution, and potentially in the
21 radial direction. And, just as you get metals colder, you
22 decrease the ductility of the metal, and both of those may
23 potentially make the cladding more susceptible to breakage.

24 So, while I argue that the vast majority of the
25 effects of going to cooler temperatures and longer times are

1 good, there's a couple little issues out here that should be
2 addressed for their relative importance.

3 Next?

4 Reduced degradation with time doesn't mean
5 degradation stops. Corrosion in oxidizing environments, and
6 I put that in parentheses to talk about--I'm thinking about
7 the corrosion of the cladding and used fuel, that would
8 require leakage out essentially of the helium that's in the
9 cask body inside the canister. So, we would have corrosion
10 beginning there in an oxidizing environment that may occur
11 later in time. And, then, some have identified helium
12 buildup inside the fuel rods as we continue to have alpha
13 decay over many years might become an issue one day.

14 Next?

15 So, I know that probably Tom, and definitely Tara
16 is going to talk a bit more about aging management options.
17 Okay, so, these systems are getting older, what can we do
18 about it? The initial activities, and I think that the
19 industry has actually done quite a few of them already, are
20 additional analyses to extend the progress of degradation
21 mechanisms such that we can make some sort of analysis and
22 prediction about how well we think these systems will last
23 over decades to come. And, we will also talk about enhanced
24 monitoring and inspection. There are certain monitoring and
25 inspection requirements now that have been alluded to a bit

1 already. Perhaps there will need to be other ones as some
2 degradation mechanisms may warrant it.

3 Eventually, we could go to something like canning,
4 repackaging, or over-packaging, and I've got some pictures in
5 a second here. And, of course, the question that everybody
6 is interested in, including us, is when is eventually. And,
7 that's something we can't answer today, but we're interested
8 in answering.

9 Next?

10 So, assuming we have to do something, here are some
11 figures that we took again out of an earlier EPRI report on
12 data needs back in 1998, where we can look at normal loading
13 of casks followed by--let's follow the central box there, the
14 normal 20 year operation, after which we could continue to
15 use the same cask, and then continue to store. We assumed a
16 total of 80 years of storage, or a total of 100 years, 20
17 initial plus another 80 just to look at 100. Or, you may
18 need a new cask and then you've got to consider whether
19 you're going to transfer your fuel in dry fashion or wet
20 fashion, how are you going to do that. And, there was a
21 little discussion about that this morning.

22 Next?

23 And, of course, if you've got an accident, how are
24 you going to deal with it when it's in extended storage
25 period. The first thing you're going to do is you're going

1 to do some analysis before you do anything, and if you can
2 convince yourself the accident was minor, you continue to
3 store it, even if it's had some damage after 20 years. If
4 not, you may have to unload it in a pool, if you've got a
5 pool. You may inspect the rods, you may have to can the fuel
6 to put it in essentially an outer can to provide protection
7 if that fuel is now considered damaged. You may be able to
8 reload the rods in an old or new cask. All of this is pretty
9 obvious, but the idea is that one needs to plan all of this
10 out if one is going to manage spent fuel and storage systems
11 over very long periods of time.

12 Next?

13 Okay, in terms of what EPRI is proposing to do, we
14 just got going with this program the beginning of this year,
15 and what we're proposing is a workshop to discuss long-term
16 aging issues of dry cask storage systems that we intend to
17 have sometime in the fall. I'm sure we'll do some more paper
18 analyses. And, depending on what those analyses and the
19 workshop bring about, there may be some opportunities for
20 experimental work that EPRI would either do by itself, or
21 more likely, again, we would be looking for co-funders to do
22 some work if it was needed, to provide technical bases for
23 well beyond 60 years now, which is where we have some
24 licenses. We'll take a look at some of the licensing issues
25 for extended storage, as well as operational issues.

1 And, that's my piece. Do you want to hear all
2 three before you--

3 LATANISION: Yes, what I'd like to do is just have each
4 speaker. Thank you.

5 BROOKMIRE: Let me start off real quickly by stating a
6 little bit what Dominion Resources is.

7 LATANISION: Tom, do we have a handout from you?

8 BROOKMIRE: There's one on the table.

9 LATANISION: There is?

10 BROOKMIRE: Yes. Dominion Resources is based in
11 Richmond, Virginia. It's an energy company, electric
12 generator, utility, and distribution, with natural gas
13 distribution as well.

14 Next slide?

15 When Carl DiBella called up and asked us to put
16 something together on the very long-term data needs of 120
17 years and up, it stymied me a little bit because that's
18 slightly beyond my planning cycle, but I know, though, there
19 are certain elements that we're going to have to address in
20 terms of very long-term storage should that come about. And,
21 certainly I hope we're talking about very long-term storage
22 at a centralized interim storage facility or some other aging
23 facility associated with a repository, and not on the utility
24 side.

25 But, nevertheless, I can start by saying that we

1 have, we own and operate four reactor sites, the Surry power
2 station, two unit PWR, North Anna, again two unit PWR,
3 Millstone in Connecticut, two unit PWR and one boiler which
4 is permanently shutdown, and Kewaunee, which is a single unit
5 PWR in Wisconsin. Then, I'll get to very long-term storage
6 needs, and what I want to do is what I would classify as a
7 pictorial essay of what takes up much of my daily time, and
8 try to thread some of that essay into what I would
9 characterize as very long-term storage data needs.

10 Next slide?

11 KADAK: Could you just define--

12 BROOKMIRE: Well, I'm going by what was mentioned
13 earlier here. My planning cycle usually starts around five
14 to seven years.

15 KESSLER: I think we're talking beyond 60 in the sense
16 that our license extensions go out to 60. So, we're talking
17 about periods essentially beyond 60. When I was thinking
18 about what I put together, I was thinking beyond 60.

19 KADAK: Beyond 60, below 70, or below 100?

20 KESSLER: What I was trying to say is I don't want to
21 put a number on it. If it's eventually, we need to do some
22 more work to figure out when eventually is. When do I think
23 it is? It's probably beyond 100 years.

24 BROOKMIRE: Starting off with Surry power station, which
25 is in Southeastern Virginia near Williamsburg, across the

1 river from Williamsburg, we have three pads, but the first
2 two pads are site specific license. We don't need to get
3 into a lot of detail of site specific versus general. But,
4 nevertheless, when Surry power station was licensed, it was
5 the only licensing option available to us, was a site
6 specific, which basically means we license the facility
7 separately and license--it's used for an NRC reviewed
8 canister, or in this case a cask, which is what we call a
9 storage system.

10 There's two pads with 55 metal storage casks in
11 place that started in July 1986. Surry power station was the
12 first dry storage installation in the country. As of right
13 now, we have 1,470 fuel assemblies. Divide that roughly in
14 half and you have how many metric tons of heavy metal stored
15 there. We did experience some, and I think Tara alluded to
16 this earlier today, some seal failures, secondary storage, or
17 secondary seal, which is the seal between the environment and
18 the first monitored storage space. And, what we discovered
19 was that there was some in-leakage of some water through the
20 environmental cover, which caused this aluminum seal, some
21 galvanic reaction between the stainless steel lids. And, so,
22 you had a galvanic reaction causing a seal failure.

23 We subsequently redesigned the environmental covers
24 to preclude any water ingress, and we also went to pure
25 silver seal systems on that to make it a little more noble.

1 And, so, the galvanic reaction will be slowed down
2 dramatically. And, this began occurring within a couple
3 years of when the casks were first in place, so it was a very
4 quick phenomenon, and taking place in about 1999, 2000, and
5 since we have gone to the new designed environmental cover
6 and the use of all silver on the seals, we have seen any
7 recurrence of that galvanic reaction.

8 These casks are monitored for pressure, and, so, we
9 detected low pressure and couldn't determine it by
10 troubleshooting at the pad. We could not determine what the
11 effect and cause was, so we brought the cask into the plant,
12 removed the lid, and examined the deal and discovered the
13 failure.

14 We do have, as John mentioned, we did renew this
15 license for 40 years, so for these two pads, the site
16 specific license is now licensed through July 2046. I have
17 to admit that it was a very well structured effort between
18 the NRC and utility for working out the license renewal
19 process. I think the fact that a lot of plant license
20 renewals had gone through the system, this license renewal
21 process was modeled very much like the plant license renewal.
22 So, it worked out really very well.

23 And, to touch on really some of the aging
24 management items that we have to continue, it deals largely
25 with corrosion and degradation of the polymer resin shielding

1 which exists on the outsides of these casks. For the
2 corrosion, we have some periodic inspections of the casks on
3 the external, and what we call opportunity inspection, such
4 that at any time they're removed, any of the covers at the
5 pad, we will do a thorough examination to inspect for
6 corrosion. We also have regular interval inspections due
7 after basically every 20 years to examine the casks again for
8 corrosion.

9 And, the monitoring that we do for the degradation
10 of the polymer resin shield, we have what you want to call a
11 routine examination of the dose rates external to the pad.
12 We have monitored dosimeters all around the ISFSI. And, so,
13 we'll take a look at those data on a quarterly basis, to see
14 if there is any anomaly trends that would give an indication
15 that the polymer resin trend perhaps is degrading.

16 Next slide?

17 Recently, in 2007, we transferred to a different
18 type of storage system, which is the NUHOMS. You notice the
19 other casks I showed there were storing vertically. They
20 were heavy walled cask. The NUHOMS system is basically a
21 thin walled canister inside a concrete module. It is stored
22 horizontally, which is quite a bit different than obviously
23 storing it vertically. The white cask you see on this blue
24 transfer trailer is reusable. Inside that white cask is the
25 thin walled storage container, which is pushed into that

1 opening inside the concrete module. And, then, a door is
2 placed on it. So, it was basically a sea change for us in
3 the type of technology we used, but we're implementing the
4 NUHOMS system as part of a fleet at all four of our reactor
5 sites.

6 We're loading at Surry power station, heat loads in
7 excess of 33 kilowatts. It's a 32 element storage system. I
8 believe that's probably close to, if not a routine basis,
9 perhaps the highest heat load canister systems in use right
10 now. And, then, there's a history to that, and what I want
11 to get to at the end here, also with some of the data needs,
12 the reason why we're loading such high heat load canisters
13 now is that Surry started in 1986 when this technology was
14 really in its infancy.

15 And, so, the limitations were, on burnup and heat
16 loads, were very stringent. So a lot of those older casks
17 that you saw on the pad had heat loads that were
18 significantly less than what we're storing now. So, we've
19 essentially depleted all of the cooler fuel within the plant,
20 and now we're using what I would call a steady state type
21 operation at Surry where we're loading as much as we're off-
22 loading. Obviously, this fuel is being cooled for between
23 five to seven years, but it's what we call a steady state.
24 And, that's really true now for all our sites, at North Anna,
25 Kewaunee, and at Millstone. We're basically putting into

1 storage as much as coming out.

2 Pad 3 is designed for 40 modules, and has a
3 capacity to accept fuel storage until approximately 2020, at
4 which time we'll need another pad.

5 ARNOLD: How does the footprint compare with those
6 vertical?

7 BROOKMIRE: It's about the same--it's almost exactly the
8 same size footprint. There's a little bit more footprint on
9 the sides that you need for this type of operation, but it's
10 virtually identical. So, we do get a little bit--the other
11 storage pads hold 28 casks per pad, and this holds 40. So,
12 we increased the capacity a little bit per pad.

13 KADAK: Do those also monitor?

14 BROOKMIRE: No, they don't. They're seal welded and
15 leak tight systems. We do have monitoring of the inlet vents
16 for temperature. We do a 24 hour temperature test, and then
17 a seven day temperature test to make sure they're within the
18 limits, and then we do daily surveillances to make sure that
19 those vents are not blocked.

20 GARRICK: You may have said this, but does this design
21 have a seismic advantage?

22 BROOKMIRE: It's not clear whether or not it does.

23 NEIDER: I can answer that one. It depends on which
24 version you use, but for instance--sorry--he's going to get
25 to Millstone a little bit later, but in some of the designs,

1 we actually tie the modules together, and then you've got a
2 really impressive seismic advantage.

3 GARRICK: Yeah. Okay, thank you.

4 KADAK: I'm thinking more about the horizontal load, if
5 that thing shoots out the tube--they're not attached.
6 They're slid in?

7 BROOKMIRE: They're slid in, but there's also a
8 restraint. After the loading, you have this bar of steel
9 that goes in and restrains it.

10 KADAK: Remember the seismic loading at Yucca Mountain.
11 I think the--is about two vertical, or something; is that
12 right? And, another one was horizontal.

13 LATANISION: Did you have Navy experience, or you're
14 thinking of torpedo tubes?

15 ROWE: I have one question. For the NUHOMS, those are
16 welded cans, obviously. Is there any plan to have any kind
17 of an ISI weld inspection program for those welds?

18 BROOKMIRE: No, it's not required. We do the NDE of the
19 weld as it's established, and we do leak test as it's
20 established for helium leak detection. But as far as a
21 regular frequency, that is not yet established.

22 ROWE: Is there any talk of doing that in the future if
23 you do go to longer storage?

24 BROOKMIRE: I don't know that. I don't know if you have
25 any comment on that, Tara.

1 NEIDER: The modules, you can actually get in there with
2 a boroscope and look around.

3 ROWE: I mean an NDE, you know, a UT, volumetric.

4 NEIDER: No, there's no requirement for that. All that
5 the various--a couple of these systems have gone through the
6 license renewal process as well, and basically, it's a
7 visual, either indirect visual or direct visual from the
8 external.

9 BROOKMIRE: Okay, now I'm jumping back again to the two
10 pads that are site specific at Surry, and the reason is it's
11 just a little bit of eye candy. The purpose of this is what
12 you see right there represents 42 years, 42 reactor years of
13 spent nuclear fuel, and its associated high-level waste.
14 And, that's pretty disburSED when you take a look at, you
15 know, there's about eight feet in between each of those
16 casks. But, that's 42 reactor years of storage.

17 Next slide?

18 Similarly, North Anna power station has a ISFSI
19 license, this is site specific, in June of 1998. The site
20 specific pad is a single pad that has 27 Transnuclear 32
21 storage casks, and 864 fuel assemblies. All of the planned
22 loadings are completed at North Anna, and license renewal
23 application is due in 2016, so we're not actively working on
24 any license renewal aspects yet for this site specific
25 license. But, obviously, we will be within the next five

1 years, or so.

2 Next?

3 Similar to Surry power station, North Anna has
4 switched over to the NUHOMS system. It began a little over a
5 year ago for storage. We right now have four 32 PWR assembly
6 canisters in storage. We'll be loading three more in July
7 here. I should mention that Surry power station is also, as
8 of right now, has loaded its eighth canister. The eighth one
9 will be transferred to the ISFSI tomorrow.

10 This is North Anna. Its Pad 2 is just like
11 Surry's. It can hold 40 modules, has capacity to accept fuel
12 for storage until approximately 2021. These are some rare
13 shots here of looking down the line of the transfer cask and
14 the large blue thing staring at us is the RAM, the hydraulic
15 RAM that actually pushes the canister into the module. And,
16 then, a rare shot of a canister, actual canister loaded into
17 the module. And, the reason we have somebody standing there
18 is because there's no fuel in that can. It was during the
19 dry run evolution. That's why it's a rare shot. Well,
20 actually, you can stand there. We have people working in
21 that area, once it's loaded to put in the seismic restraint
22 device. But, it's a higher dose evolution, so we obviously
23 try to limit the number of people in that area.

24 ARNOLD: What is the dose rate?

25 BROOKMIRE: On the surface, the back end right here?

1 It's probably on the order of 50 to 60 millirem per hour
2 right there.

3 KADAK: And, the cask doors?

4 BROOKMIRE: The cask doors is significantly less,
5 probably around 20.

6 BROOKMIRE: This is Millstone power station. It has the
7 similar NUHOMS type storage. We have two pads that are
8 planned. This is 19 concrete modules installed on the first
9 pad. And, as Tara was talking about earlier, this type of
10 module right here is the same type of module that could be
11 used in a high seismic area, and which these modules are
12 actually tied together. Millstone in Southeastern
13 Connecticut isn't a high seismic activity, so these modules
14 aren't actually tied together, but they have the capability
15 to be.

16 Next?

17 These are some canisters that we're using at
18 Millstone power station. These are under fabrication at
19 Hitachi-Zosen in Japan.

20 Next?

21 And, right now, we have eleven of these canisters,
22 and these are all 32 element canisters also being currently
23 loaded at Millstone. And, these pads are designed to accept
24 fuel from Units 2 and 3 with those units through license
25 extension. There will be enough storage there to store all

1 the fuel from Units 2 and 3, assuming that the licenses will
2 be extended from Units 2 and 3.

3 LATANISION: Tom, once again, the materials of
4 construction are as in the previous?

5 BROOKMIRE: That is correct.

6 LATANISION: Stainless and nodular cast iron?

7 BROOKMIRE: We don't use nodular cast iron. Those are
8 only on the Castor 5's. For this system here, this is a
9 stainless steel with a lead shielding inside. The TN-32's
10 are low alloy carbon steel. The baskets are stainless steel
11 on the inside, the stuff that's actually exposed to the fuel.

12 The Kewaunee power station, the entire ISFSI is
13 under general license. It's all NUHOMS. This is the first
14 pad of two that has been constructed. We've emplaced ten
15 concrete modules and operation will begin in the summer 2009.
16 Again, as we speak right now, they're going through some
17 practice evolutions. Their first storage campaign is to
18 begin in July, last week of July in 2009.

19 So, very long-term storage needs. I mentioned that
20 for 120 years plus, we really don't want the fuel on site for
21 that long. Our sites really weren't characterized for that
22 type of storage. So, one of the obstacles I would see as
23 moving this fuel to a centralized interim storage facility,
24 or some type of aging facility, would be--one of the
25 obstacles is going to be transportation, the technical side

1 of it, and burnup credit. You know, I think we're going to
2 need to get over and resolve the burnup credit issue. It's
3 likely right now that fuel, under the current licensing
4 framework that we have, that some of the fuel that we're
5 currently putting in these canisters for storage may not be
6 acceptable for transportation, because of heat load perhaps
7 one reason, but also for required hold down capacity.

8 So, data are needed to change the licensing
9 structure, and those data may exist right now, but they're
10 not readily available.

11 Review of repository canister heat load. If indeed
12 a new repository comes about and Yucca is completely
13 scuttled, then I would think that really what I would implore
14 the Board to look at is really what are we loading right now
15 in terms of the operating practices currently in place. I
16 mention right now at Surry power station, we're holding 33
17 kilowatts. Well, that type of heat load would be not
18 workable inside Yucca Mountain obviously. So, either you're
19 going to have a long-term aging facility associated with a
20 repository, or a repository design that could handle higher
21 heat loads than what would be proposed, or was actually
22 designed for Yucca Mountain.

23 And, long-term high burnup storage characterization
24 program, this melds very nicely with what John had to say
25 about a similar recent DOE/EPRI program, in that, you know, I

1 think at some point, we're going to need to take a look at
2 fuel, the characteristics and transportation on a real time
3 basis for fuel greater than 45,000 megawatt days per ton.
4 Because right now, we're discharging fuel greater than
5 45,000, up to 60,000. And, so, I think we need to really
6 have a good program to evaluate those effects.

7 We've had a lot of technical analyses, but I think
8 we need to benchmark those analyses with some real time
9 programs. And, of course, it wouldn't be a short-term
10 program. We're talking storing fuel for some period of time,
11 and possibly even storing fuel in canisters that have known
12 cladding defects. The previous program, there were no
13 cladding defects. So, I think we need to understand a little
14 better some of these environmental effects on the inside of
15 the canister with cladding damage. And, the effect on
16 varying storage environments, you know, what does an
17 oxidizing environment, what are the actual effects that we've
18 seen on the fuel, and maybe some simulated transportation
19 incidents to see how the fuel actually does respond within a
20 canister.

21 With that, I'll turn it over to Tara.

22 NEIDER: Okay, although my paper says Research and Data
23 Needs for Very Long-Term Dry Storage, John and Tom and I
24 conferred a little bit before this presentation, and I
25 totally agree with Tom's last page as to what we need in

1 terms of data needs.

2 Instead of requesting that data, or telling you
3 that a second time, what I thought I could do is go through
4 what systems are out there today, kind of discuss a little
5 bit about the evolution of those systems, and what was gone
6 through in terms of what we found during the storage period
7 so far, then what's been done during the license renewal
8 process. And then talk a little bit about the design
9 criteria, environmental conditions, and design life, the
10 analysis performed, the materials utilized for dry storage,
11 do a little bit about what inspection activities have been
12 performed, and what inspection activities are planned, and
13 then conclude.

14 My number is a little bit off. I was a little low.
15 I'm sure that Rod is providing much more up to date numbers.
16 I think I took this from an old presentation. But, we have
17 over, I think from his slide, it was over 40,000 commercial
18 fuel assemblies currently in dry storage in the United
19 States. Most of that spent fuel today is contained in
20 welded, stainless steel canisters, stored within concrete
21 overpacks. They are both vertical and horizontal
22 configurations, and some fuel, as Tom stated, are stored in
23 metal casks. Some of these are transportable and some of
24 these casks are storage only. They have bolted closures
25 using metallic seals and over-pressure tanks to monitor and

1 ensure that in the event of a seal failure, no leakage to the
2 environment will occur.

3 When dry storage started out, we really thought
4 that it was going to be for a short period of time. The
5 responsibility for transport to a final repository was DOE's
6 responsibility. So, a lot of the utilities selected a
7 storage only configuration. So, we've evolved from storage
8 only to storage and transportable systems. Originally, we
9 stored only lower burnup, longer cooled fuel, and now, as Tom
10 mentioned, we've pushed the burnup so we're at higher
11 burnups, and much shorter cooling times because there's no
12 room in the pool to let the fuel cool.

13 We've also originally started with storing only
14 intact fuel, and now damaged fuel, failed fuel, and fuel
15 components are also being stored in these systems.

16 What we have here are both the NUHOMS systems and
17 the concrete, the vertical concrete modules. Both the
18 concrete modules, whether they're horizontal or vertical, are
19 reinforced concrete systems, and inside of that is a welded
20 stainless container. And, then, we have metal systems which
21 are stand alone metal systems. If you were to transport
22 them, you would transport them in that cask. With the
23 horizontal systems, you would take the canister out and put
24 it into a separate transport overpack.

25 These are transfer systems, and this is for

1 transport on the site only. So, there's a variety of
2 different ways to get the casks to the ISFSI location. And,
3 that's a picture of the NUHOMS showing the vehicle pushed up
4 against the concrete module.

5 The license period was based on the Nuclear Waste
6 Policy Act, which initially contemplated availability of a
7 repository for spent fuel in 1998. So, the original license
8 period was 20 years. And, in general the systems were
9 evaluated for a design life of 50 years. In most cases, that
10 design life has been extended up to 100 years. But,
11 originally, the systems were licensed for a site specific
12 license, and then more recently, I believe almost all of the
13 sites have switched to generic licenses unless there is a
14 high seismic requirement where they end up with a site
15 specific license.

16 Utilities have successfully extended their ISFSI
17 licenses for up to an additional 40 years, for a total of 60
18 years. H.B. Robinson and Surry have completed the licensing
19 process, and Oconee and Calvert Cliffs are in the process
20 now.

21 During the Dominion license renewal, the staff
22 determined that the 40 year renewal exemption request was a
23 policy decision and not a technical one, because the safety
24 evaluations have indicated that there was sufficient
25 technical information to extend the life for 40 years. So,

1 it was really a policy decision, and every application since
2 then has gone for the extra 40 years as well, not just a 20
3 year license period.

4 A review of the materials utilized and
5 environmental conditions indicate that the dry storage
6 systems should be capable of lasting 100 years or longer
7 without significant degradation. Beyond the 100 years,
8 there's not really much data out there to determine the
9 effects of the environmental conditions on the storage
10 systems. Some of the ISFSI's, as John had mentioned, are in
11 relatively harsh coastal environments. However, the
12 canisters inside of the concrete modules is fairly benign
13 because it is dry in there. You're not as exposed as the
14 outside of the concrete modules.

15 Typical materials utilized are either stainless
16 steel or alloy carbon steel with low temperature ductility
17 for the containment boundary. Polymer shielding material,
18 that's mostly in the metal vertical casks. Reinforced
19 concrete for shielding, missile resistance, weather
20 protection. Aluminum inside of the canister for heat
21 transfer. And, borated products for criticality control
22 inside of the canister as well, and there's a variety of
23 materials that have been used, including Boral, Borated
24 aluminum, metal matrix composites, and also borated stainless
25 steel. Some of the systems have corrosion resistant coatings

1 inside of the canister as well.

2 With regard to the licensing process, the systems
3 are evaluated for a very rigorous set of criteria. They're
4 designed to withstand seismic events, tornadoes, tornado
5 missile impact, very high and low temperatures, temperature
6 fluctuations. The most credible fire that could occur at the
7 site, the floods and burial under debris. More recently, a
8 lot of the systems have been also evaluated for an aircraft
9 crash based on post-911 activities.

10 Other than the original storage systems, most of
11 the systems are now designed for transport. Some of those
12 systems don't have a transport license for everything that's
13 in storage, but they at least have been evaluated for most of
14 the transport accidents. In a transport, there's a whole set
15 of design criteria special for transportation, which includes
16 a 30 foot drop onto an unyielding surface, fully immersing
17 fire, drops onto a puncture bar, and immersion and a few
18 other things. But, it pretty much bounds what you would
19 expect to see in the worst case transport accident.

20 Beyond what the licensing requirements are, some of
21 the systems have also been evaluated by the NRC for worst
22 case scenarios, like the Baltimore tunnel fire, and those
23 things.

24 All of the systems are passive, and they're exposed
25 to very low stresses during normal operation. Generally, all

1 the systems have been designed in accordance with an ASME
2 boiler and pressure vessel code for the steel components, and
3 ACI-349 and ACI-318 for the concrete. So, whenever there's a
4 standard code available, those standards are utilized.

5 All of the safety analyses are submitted to NRC
6 review and approval, and those methods provide sufficient
7 conservatism, and show that there's reasonable assurance that
8 the public health and safety are protected, and the analysis
9 includes structural, thermal, criticality, containment, and
10 shielding calculations.

11 The license review process, renewal process for the
12 ISFSI has followed the process for license renewal of the
13 nuclear power plants. Scoping, aging management reviews and
14 time limited aging analyses are performed. For evaluation of
15 the fuel rod cladding, so far, I think all that's been
16 referenced are the EPRI topical reports, which John talked a
17 little bit about. There will need to be more information
18 when we go to licensing for higher burnup fuel. And, those
19 reports were based on the examination of fuel which was
20 stored in the Castor cask for 15 years. The results of those
21 examinations showed that little, if any, degradation of the
22 fuel occurred during the storage period.

23 In the applications or licenses for the renewal of
24 the concrete systems, the typical degradation mechanisms
25 relate to the HSM itself. There could be loss of material

1 due to general corrosion and pitting of accessible steel
2 surfaces. There could be cracking, changes in materials,
3 properties, changes in color, loss of material or the
4 concrete itself.

5 The aging management programs are put in place to
6 address visual inspection of the accessible concrete and the
7 exposed steel, radiation and contamination monitoring of the
8 systems, and remote inspections of the interior concrete and
9 steel surfaces on a periodic basis. Baseline inspections
10 have been performed on a selected number of the interiors
11 with cameras or fiber optics. So, we know that those
12 inspections can be performed.

13 And, really, there's a fairly frequent surveillance
14 required to maintain the air inlets and outlets are free from
15 obstruction, because that's the primary way to get the heat
16 away from the canister.

17 Metal cask license renewal is really Dominion is
18 the only one who has received a license renewal for metal
19 systems so far, and they have a variety of casks at their
20 sites. So, it's only the metal systems that have undergone
21 the license renewal process because the NUHOMS system is
22 under a generic license. And, as mentioned previously, the
23 metal casks have double seals for each closure, utilizing
24 over pressure system that monitors the pressure between the
25 seals, so if one seal or the other seal is to leak, you will

1 see a reduction in pressure. And, we did see some failures
2 several years after the casks were loaded, but that was a
3 design in a material issue that was changed, and we haven't
4 seen that since.

5 Visual inspections were performed on those casks,
6 and we saw only minor cases of corrosion or coating
7 degradation, and there was no indication of cask polymer
8 neutron shield materials become ineffective.

9 For all of the systems utilized for dry storage,
10 there are ways to perform periodic in-service inspections,
11 and most of those in-service inspections are really visual
12 inspections that I'm talking about. For example, the NUHOMS
13 system is fairly easy to inspect due to a large air cavity in
14 the horizontal orientation which required no lifts for those
15 inspections. So, you can get in there with a camera or with
16 a boroscope and examine the exterior of the canister, at
17 least the parts that aren't on the rails, and you can also
18 look at the steel that's part of the HSM.

19 And, we did have one inspection that's been
20 performed so far, and that was at Oconee, but it was only
21 after five years of storage, and there were no adverse
22 indications noted during those inspections.

23 So, I wanted to turn back to something that Rod
24 McCullum had stated in his presentation, because he had a
25 much better conclusion. What he said was, "Industry is

1 confident that existing dry cask storage technology, coupled
2 with aging management programs already in place, is
3 sufficient to sustain safe dry cask storage for at least 100
4 years, in support of both new and existing nuclear plants."
5 And, I totally agree with what he said, but I also think that
6 to assume that we can just utilize the systems that were only
7 designed for 50 years, for an extended period, up to 300
8 years, is really not the best solution.

9 The interim spent fuel storage facilities were
10 intended to be temporary, and we really need to be looking at
11 beyond 100 years. We ought to be looking at what's the real
12 solution, and that solution should be some combination of
13 recycling in an ultimate depository

14 But, I also know that as long as we keep a watch on
15 things, the systems are okay, and they'll work, and we can
16 always replace the casks or the overpacks or refurbish them
17 as they degrade.

18 I already said that. Thanks.

19 LATANISION: Okay, now I have an opportunity to see
20 everybody, so we'll conduct the dialogue, and let's look for
21 a show of hands. Any questions? Andy?

22 KADAK: I'm still curious. In reading the NRC
23 confidence statements, they basically say the same thing you
24 said, namely that the casks could last say about 100 years.
25 But, I was trying to dig deeper to find out what the

1 technical basis of those conclusions were. And, as best I
2 could tell, it was EPRI work. Do you know of any analysis or
3 studies that show clearly that these casks could last for
4 that period of time? I think they're assuming that they last
5 based on monitoring, we can fix it if something goes wrong,
6 not a big problem, but I have not seen or been able to find
7 an integrated assessment of the fuel behavior over 100 years,
8 the cask material degradation, or the concrete lifetime.
9 Now, do you know of any such studies?

10 KESSLER: John Kessler, EPRI.

11 Any study that looks specifically at 100 years, I
12 think Tara talked a little bit about some of the individual
13 analyses that the vendors have done, so that's part of it.
14 In terms of whether EPRI has looked specifically at 100 years
15 and done all the analysis for 100 years, no, we haven't.

16 KADAK: Okay. The point of reference was the MRS. On
17 the MRS, when they were looking to design it, the DOE
18 claimed, and that was the basis of NRC's decision that 100
19 years was a good timeline, referencing a lot of stuff,
20 referencing a lot of experience. But, does anybody from DOE
21 perhaps know the technical basis of the MRS decision for 100
22 years? Maybe we can track that down, because I think that's
23 very important, particularly if monitored retrievable
24 storage, whether at a utility site or at some central
25 facility, is going to happen.

1 NEIDER: The one thing that's important is that in every
2 one of the storage systems, it is a helium environment. So,
3 inside of a canister, there's really not a mechanism for
4 additional failure of the fuel unless moisture has come--
5 moisture or air has gotten into the system. So, provided
6 that the welds are still in place and working, or the seals
7 have not degraded, there really, for the fuel itself, there
8 shouldn't be much, if any, significant degradation. The
9 canisters, you need to look at the welds, and that would be
10 an aging management process.

11 LATANISION: Well, let's talk about that for a minute.
12 I mean, what do we know about the stability of the seals?
13 What are the seals in general, and, for example, Tom, what
14 was the mode of failure of the seal that you referenced?

15 BROOKMIRE: The failure mechanism we saw was a galvanic
16 reaction between the aluminum and the stainless steel lids
17 that it was pinged in for the seal.

18 LATANISION: The seal was aluminum?

19 BROOKMIRE: The seal was pure aluminum, yes. And, these
20 are--the containers or the protective covers that were around
21 these lids, or the seal components, were air tight, and
22 normally when you store one of these items in the summer
23 months where the humidity is up to 80, 90 percent, and then
24 in the winter, that's going to condense out, so you get a
25 little bit of water in a very highly saturated atmosphere for

1 galvanic reactions to begin, compounded with the fact that
2 this design also had a conex connection system inside that
3 environmental cover, which was not properly installed. Our
4 fault. And, that caused some water ingress, and then we had
5 the water, we had the aluminum, the stainless steel, the
6 perfect world for that type of failure to occur.

7 LATANISION: What about the welds? Let's just follow
8 that up for a minute. Tara, you mentioned the welds. What
9 do we know about weld failures? Any evidence of a problem?

10 NEIDER: There hasn't been any weld failures. I guess
11 the weak link, if you will, is the final closure weld,
12 because that doesn't have the radiographic inspection that
13 you would have in one of the factor produced welds. But, the
14 systems will either have UT or progressive PT examination of
15 that weld, and there's really not much stress on that weld.
16 The pressure inside the canister is fairly small.

17 BROOKMIRE: And, also, you mentioned there's no
18 radiographic inspections performed, but it is a dual welded
19 system.

20 LATANISION: Use the microphone. I'm not sure--

21 BROOKMIRE: I'm sorry. Even though there's no
22 radiographic inspections on the closure welds, it is a dual
23 welded system, so you do have some redundancy in the closure
24 lid.

25 LATANISION: Gene?

1 ROWE: Just the first question is are the canisters N-
2 stamped?

3 NEIDER: Some of them are. Generally, the canisters are
4 designed in accordance with the code, although you can list
5 various exceptions in your application to the NRC. So, in
6 general, an N-stamp has not been required.

7 ROWE: Okay. The second question, if I may. With the
8 stainless steel welds, there's a long long history of IGSCC
9 cracking in those welds, and stainless steel welds, and the
10 way the industry gets by with that is doing an ISI program,
11 which is a periodic inspection, and every few years, the weld
12 is--a couple years, or five years. What's your opinion about
13 the weld integrity over 100 years? Do you have any concern
14 on that? And, you're not able to do a visual inspection of
15 the whole weld because of the configuration, and there are
16 stresses on those welds.

17 NEIDER: I'll answer one part, and then maybe John, if
18 you want to add to that? In regard to the NUHOMS canisters,
19 it's about 15 psi, I think, inside the container, so
20 stresses on those welds are not very significant. However,
21 in some of the other canisters, the pressure is a little
22 higher up.

23 LATANISION: Are the welds stress relieved in any way?

24 NEIDER: No.

25 LATANISION: I think Dave Duquette, and then we'll turn

1 to some other hands.

2 KESSLER: Just the short answer is--

3 LATANISION: Oh, I'm sorry, John, go ahead.

4 KESSLER: We want to look at that. I think it would be
5 a good thing to look at.

6 LATANISION: Okay.

7 ROWE: I just want to point out there's going to be
8 stress from the cooling of the weld. The residual stresses,
9 plus, you've got thermal stresses.

10 KESSLER: Right.

11 DUQUETTE: Duquette, Board.

12 To paraphrase a bad phrase from an old movie, "I
13 love the smell of corrosion in the morning." All of you
14 mentioned corrosion as a potential problem. But, I did have
15 a question, John, you mentioned the possibility of corrosion
16 if you lose the helium. Is there any evidence in the
17 ambient, even at these temperatures, that the Zircaloy would
18 corrode appreciably? It should become passive in an
19 oxidizing environment.

20 KESSLER: You're talking about in ambient temperatures?

21 DUQUETTE: Well, basically, you're going to, the helium,
22 the ambient is going to get into the--

23 KESSLER: There have been cases where casks that lost
24 their helium backfill removed were found to have significant
25 amounts of degradation of the fuel in them. Those are

1 generally at higher temperatures. Bob, do you want to take a
2 shot at that in terms of more worldwide experience. Bob
3 Einziger could probably provide a better assessment of what
4 we know about oxygen and fuel at various temperatures and
5 conditions.

6 EINZIGER: Bob Einziger, NRC.

7 The cladding itself has a very low corrosion rate
8 in oxygen at the temperatures you're talking about. If you
9 get ingress of oxygen into the canister, you're big worry is
10 if you have cladding, the fuel in there that has pinhole
11 leaks in it, or cracks, and then you can eventually get
12 oxygen into the fuel rod and oxidize the UO₂. Depending on
13 the temperature you're at, that oxidation process could take
14 hundreds of years, or if you were up in the 400 degree
15 temperature range, you could get conversion of the UO₂ to
16 U₃O₈ in a matter of 50 or 60 hours. The trouble with that
17 conversion is you have about a 30 percent expansion of the
18 fuel matrix, which puts stress on the cladding, and there's
19 technical evidence that that crack just runs right down the
20 fuel rod.

21 The positive thing is that you really have to get a
22 big enough leak in the canister to have a good supply of
23 oxygen so you're not starving the process. The second thing
24 running in your favor is that, contrary to what people
25 usually think, at the higher burnups, the whole oxidation

1 process tends to slow down considerably.

2 DUQUETTE: So, it's corrosion of the fuel, not corrosion
3 of the cladding, that's the potential problem?

4 EINZIGER: Yeah, I mean, there's a lot of cladding to
5 take up any oxygen, and it's going to compete with the fuel
6 that's really the fuel oxidizing that can go as problems, of
7 course then you're taking the fuel and expanding it. You're
8 going from a fuel pellet to essentially a power of grain
9 sized particulate.

10 ARNOLD: This will only be a few of the fuel rods,
11 though, because most of them don't have leaks.

12 EINZIGER: Right now, the failure rate in fuel is
13 somewhere in the rate of .001 percent of the rods having
14 failures in them, and most of those rods are taken out of
15 service so that the fuel vendors can inspect them and try to
16 improve their product. So, yes, there's very few fuel rods
17 that that could happen. Now, where you might have an issue,
18 should you have an accident, and you open a leak in a
19 canister and you happen to crack rods open.

20 DUQUETTE: I guess my only comment was when I heard the
21 comment, I didn't think corrosion was very much of a problem,
22 and I know it has to be considered, but I don't think it's
23 much of a problem for long-term storage. You have to first
24 of all have a leaky canister. You have to lose the helium
25 that's inside it. You have to admit oxygen into it, and you

1 have to find some cladding that's in bad shape.

2 KESSLER: You got it.

3 LATANISION: Andy?

4 KADAK: Yes. I guess this is a follow-up to Bob's
5 commentary, and that is storage safety for 100 years is fine.
6 But, what happens when you have to ship the fuel after 100
7 years? In other words, what is the condition of the fuel
8 itself in that storage cask relative to its degradation, and
9 does it--you talked about hydriding, and things like that, do
10 we need to worry about transportation after a long storage
11 period?

12 KESSLER: As we just walked through here with Dr.
13 Duquette, if the outer barriers are still intact and you have
14 an aging management program and inspection program to confirm
15 those things, the only thing that's really left out there is
16 this hydride issue. And, my guess is is that by the time you
17 pass through the first 20 years, the majority of your
18 hydrides are going to be precipitated, and you're not going
19 to have too much more of an issue. So, I would guess that
20 beyond 20 years, as long as you've maintained your helium
21 environment, it's not going to change the property of the
22 fuel.

23 KADAK: What is diffusion controlled cavity growth?

24 KESSLER: I could try to explain it, but I'll butcher
25 it, so I'll ask Bob to explain it.

1 EINZIGER: Back about 15 years ago, one of the
2 mechanisms that was proposed for failure of the fuel rods was
3 diffusion controlled cavity growth, and that's basically that
4 you have--you start out with a void on the grain boundary of
5 the Zircaloy cladding, and then you diffuse vacancies to that
6 void, growing the void until eventually it propagates and you
7 have a failure in the fuel rod. The mechanism has been
8 observed in stainless steel. It has never been observed in
9 Zircaloy, primarily because no one's been able to find the
10 initial voids to start the propagation. Should it be found,
11 the problem would be one that would occur during the first 20
12 years or so of storage, because if you do the calculations,
13 and at the time, dropping the temperature, and diffusion
14 being temperature controlled, the amount of diffusion you get
15 after about 20 or 30 years is miniscule for the diffusion you
16 get in the first few years. It's been since dismissed by the
17 NRC as a reactive mechanism.

18 KADAK: Thank you.

19 LATANISION: John?

20 GARRICK: What if the nuclear renaissance was really
21 successful worldwide, and we really saw an almost runaway
22 nuclear power construction program, and that the uranium cost
23 was driven up accordingly, and somebody looked at the
24 scenario that said that, well, with the circumstances as they
25 are, reprocessing really does increase its appeal, and as a

1 matter of fact, maybe if we can hold on with on site storage
2 for 100 to 200 years in some cases, maybe we don't need any
3 interim storage, and we can avoid some of the major problems
4 associated with the repository as well, but not all of them
5 for sure, because we need a repository. Is it possible that
6 with maintenance and inspection, and what have you, that
7 these canisters could last indefinitely?

8 NEIDER: I don't know about indefinitely, but, you know,
9 if we talk about 200 years, I think that might be possible.
10 But, the one thing about recycling, if we go to recycling, my
11 understanding, and I'm no expert in recycling, but you're
12 better off going to recycling early on when the fuel isn't
13 that far from having been taken out of the reactor. So,
14 having it sit in dry storage is probably not the best place
15 for fuel if it's going to be recycled.

16 GARRICK: But it's got to sit somewhere.

17 KESSLER: And, then, there's plenty of economic analyses
18 out there, as I'm sure you're aware of, that talk about how
19 high does yellow cake price have to rise before it becomes
20 economically viable, just on its own merits, a single
21 reprocessing pass-through to mox in a light water reactor.
22 We've done studies like that. I know that Boston Consulting
23 Group, lots of people have done studies like that. I'm
24 guessing MIT has, or is going to. So, those are out there,
25 runaway nuclear production, wow.

1 GARRICK: Well, it was kind of a runaway the first time
2 around.

3 KESSLER: One of the things that we did do, we being
4 EPRI, took a look at this Yucca Mountain capacity issue, and
5 we did look at a scenario which I thought was and still
6 sounds fairly aggressive, which is a 3 percent per year
7 increase in nuclear power production through the end of the
8 century. That's one scenario we looked at. I know that EPRI
9 as a whole has looked at essentially--we've done a lot of
10 work on trying to meet CO2 reduction goals from the entire
11 suite of electric production capabilities out there,
12 including efficiency improvements, and the nuclear build is
13 about at that rate. What EPRI concluded was that you can
14 continue to direct dispose of spent fuel, assuming no
15 recycling at all, through the end of the century,
16 essentially, if the Yucca Mountain capacity were fully
17 realized. Whether you want to do that or not is a different
18 issue. But, that was one of the issues we looked at in terms
19 of what was a reasonable upper limit on nuclear build rates.
20 Because we've got a lot of infrastructure to rebuild to get
21 much beyond that.

22 GARRICK: When you say Yucca Mountain capacity fully
23 realized, you mean the capacity that could be created there?

24 KESSLER: Yes.

25 GARRICK: You don't mean the 70,000--

1 KESSLER: I don't mean the legal limit. I'm talking
2 about technical capability.

3 GARRICK: Okay.

4 ARNOLD: What's your figure for that technical
5 capability?

6 KESSLER: We've got two reports we did on it, and in
7 fact I've given a talk to this Board before.

8 ARNOLD: I remember that. I just didn't remember the
9 number.

10 KESSLER: Yes. If you want copies of the reports, we
11 can get them to you.

12 ARNOLD: What was the number?

13 KESSLER: Four to nine times the legal capacity.

14 ARNOLD: Okay.

15 LATANISION: Bill?

16 MURPHY: Perhaps on the flip side of the nuclear
17 renaissance, I wonder if in these analyses, it's required or
18 considered or even possible to take into account the
19 stability of society for such time periods? I saw missiles
20 mentioned. One of the principles of geologic disposal is
21 that ultimately, people will have to walk away, society can't
22 be stable for as long as wastes are hazardous. Has that been
23 studies? I'm not a sociologist.

24 KESSLER: That was a question that the NAS Technical
25 Basis for Yucca Mountain standards was asked back in the

1 early Nineties. They weighed in and said that for a few
2 hundred years, you can reasonably count on institutional
3 controls, and that formed part of their basis for their
4 recommendations for the technical form of the regulations.

5 MURPHY: You probably have other problems that are more
6 serious.

7 KESSLER: Probably so.

8 DUQUETTE: Duquette, Board.

9 What you said is perhaps true. On the other hand,
10 I think one of the early sociological concepts, and we're not
11 supposed to deal with sociology, but was that you would not
12 burden future generations with the nuclear waste. They could
13 be burdened with their own nuclear waste, but we shouldn't be
14 burdening them with ours. If you go 100 years, we're talking
15 quite a few future generations that we are leaving nuclear
16 waste to deal with. And, so, I think that part of the
17 equation has been left out, to some degree.

18 I'd also like to express a little bit of cynicism
19 that may not be valid, but when I first joined this Board
20 eight years ago, the nuclear power industry used to stand up
21 and say you'd better get your mountain built because we can't
22 store this stuff on our sites for too long. When the Obama
23 and Biden campaigns came out, all of a sudden I heard that it
24 could be stored for 100 years with no particular problems. I
25 believe that it can be stored for 100 years with no problems.

1 I think the technology is there. So, from a technical point
2 of view, I think you're correct. But, as a citizen, I do
3 express a little bit of cynicism on the part of both the
4 industry and the Department because of what I think is a
5 change in philosophy as to what you do with nuclear waste.
6 It seemed like given the fact that we might have more nuclear
7 reactors, and if we didn't have a repository, you couldn't
8 build the reactors, all of a sudden, a longer tri-storage
9 period became possible.

10 KESSLER: I think we've always been clear. I think all
11 three of the speakers here, as well as others, are saying
12 technically you can store the spent fuel for a long time, 100
13 years, maybe more.

14 DUQUETTE: And, by the way, technically I agree with
15 you.

16 KESSLER: And, so, it's not a technical question at that
17 point. There's other, in terms of where you want to store,
18 it, how you want to store it, there are issues beyond that.
19 What we're concerned about is can we do it technically at a
20 site, at an MRS, at Yucca Mountain.

21 DUQUETTE: Yes, and that's the goal of this Board, is to
22 take a look at the technical parts of it. So, while I can't
23 withdraw my comments, I agree with you that technically, it
24 can be done.

25 LATANISION: Well, just an observation. You know, I

1 think we're still stretching the limits of engineering when
2 we're talking about systems that are maybe not intended by
3 design to serve 100 years, plus, but are perhaps being asked
4 to do that. The longest lasting engineering systems that are
5 typical of our contemporary engineering would be civil
6 structures, like bridges and buildings. You know, the
7 reality is you don't expect them to fall down in 100 years,
8 but you do know that they do age, and they degrade.

9 KADAK: Some of them even fall down.

10 LATANISION: And, some of them do fall down. And, in
11 fact, some fall down a lot sooner than they should have.
12 And, the element I'm getting to is the one of surprise.
13 That's always the uncertainty in this process. And, you
14 know, it is a stretch. I mean, we're asking you a tough
15 question, and I don't think anyone has an explicit answer
16 today. But, we are stretching the limits of what we know
17 about engineering when we talk about dry storage for 100
18 years plus. It's very, I think Dave's assessment from a
19 corrosion engineering point of view, is one that I would
20 subscribe to, take a perfect storm of some pretty unusual
21 events to cause me to be concerned about corrosion of the
22 internals. But, it could happen. We've been surprised
23 before, and I think, you know, if we really want to provide
24 some confidence, either in the context of the public or the
25 NRC or the regulators or anyone else, somehow we've got to, I

1 think, put our arms around some of these questions and get
2 some answers that are in depth and that are defensible.

3 ARNOLD: Ron, I think I heard him say that they could
4 deal with upsets, too.

5 LATANISION: Deal with what?

6 ARNOLD: Upsets.

7 LATANISION: And, I heard that, too, and I'm hopeful
8 that you're correct. You know, I guess the question is do we
9 feel confident that we have a base of information. Andy's
10 first question was what is the technical basis for a lot of
11 what we're talking about, and I'm just concerned that it's
12 not clear to me that we do have that base. But, I do have--
13 did you have a comment, John?

14 KESSLER: I just wanted to say I share your concern.
15 Like buildings and structures, we're talking about generally
16 passive systems here. We're not talking about anything that
17 has an active system. It all sits there, keeps things cool,
18 air passes through it, no active system is required, and in
19 that sense, that increases my confidence, at least farther
20 into the future, that the system continues to function
21 because it's a passive system.

22 LATANISION: That's a fair comment. John?

23 GARRICK: One of the specific things that Tom mentioned,
24 and it was an area for data need, was this business of burnup
25 credit. Can you get more specific and tell us what specific

1 data is needed in that area?

2 BROOKMIRE: Yeah, I think we have some fission product
3 burnup data available, which would help the industry
4 considerably. Now, there are programs in place to evaluate
5 those data and try to get it into the licensing framework. I
6 think, though, that in the long-term, we need to--it's still
7 being a stronghold. But, in the long-term, we need to get
8 over that burnup credit struggle, and use the fission product
9 basis, and that way, we'll set ourselves up in a much better
10 framework for transportation issues.

11 GARRICK: Yes, go ahead, John.

12 KESSLER: You've got some people from NRC who could
13 probably weigh in on this, too. My understanding of the
14 burnup credit issue specifically, at least in regard to spent
15 fuel storage, but especially transportation, is NRC has
16 concerns about the properties of high burnup spent fuel, both
17 during storage and transportation, and they almost all go
18 back to criticality concerns, not all of them, but a good
19 chunk of them.

20 There are several arguments that could be brought
21 to the table and the industry has tried to bring them to the
22 table to say we have confidence that criticality, during
23 transportation or storage for high burnup fuel wouldn't
24 occur. The probability of having the confluence of events
25 such that you could have a criticality is low. The amount of

1 fuel that gets damaged such that you would have a
2 rearrangement of the fuel into some more critical geometry is
3 low. If it did get reoriented, the probability would be that
4 the criticality, the $K_{\text{effective}}$ would go down rather than get
5 worse.

6 And, by the way, one of the other options is is
7 that if we took into credit the fact that we got these
8 fission products that are neutron absorbers, that's yet
9 another reason why we have confidence that the criticality
10 won't happen. And, we also have a lot of confidence that
11 water is not going to get into these containers, and without
12 the water, we have no moderation, and also very low $K_{\text{effectives}}$.
13 So, the suite of arguments are out there.

14 One of the ideas is is that it's generally the
15 industry is interested in okay, we're interested in getting
16 one of those credits. There maybe the general industry
17 interest to say we want the fission product credit, knowing
18 we still have the capability of generally keeping water out
19 of the container, that the probabilities are low, that the
20 cladding is not going to rupture very much, et cetera, all of
21 those things are still defense in depth behind the one
22 request for adding some fission product to the calculation
23 for $K_{\text{effective}}$.

24 ARNOLD: Perhaps we could ask Bob the update on the NRC
25 view of burnup credit, not only for the--

1 LATANISION: Yes, I'm glad you're here today, Bob.

2 ARNOLD: --but also for the transport.

3 LATANISION: Yes, that's a good point, because it seems
4 to me the neutronics are very well known, but the scenarios
5 are not so well known.

6 EINZIGER: First, I want to say that I'm not going to
7 talk at all about the repository. That's a different group
8 of people, and I'm not going to speak for them. And, the
9 second thing is that burnup credit isn't my area of
10 expertise. So, what I'm going to tell you is what I hear,
11 it's through the grapevine during work, is that there's still
12 questions concerning the benchmarking of the codes for high
13 burnup. There's still questions concerning mis-loads of
14 fuels that they're working on. They do have some access to
15 some proprietary data that they are looking at now. The
16 issue is being worked by the NRC.

17 In terms of some of the things that John said, John
18 is right, it may be hard to get water into the canister, but
19 the philosophy has been if you can stay critically safe with
20 the canister flooded, that you ameliorate a lot of potential
21 issues that might come up, because maybe we're just not as
22 smart as we think we are. So, that's defense in depth, and
23 unless Bob wants to say some more, I'm going to leave burnup
24 credit at that, with one more statement. We evaluate license
25 applications when they come in.

1 If a utility or a vendor wants to come in and claim
2 burnup credit, I'm sure we're willing to evaluate that
3 license application. But, the burden of proof to show that
4 they should get burnup credit rests with the applicant, not
5 with the NRC.

6 BRACH: Bill Brach from the NRC. The topic of burnup
7 credit, whether it be in storage or primarily more in the
8 transportation arena for spent fuel, is a topic a number of
9 us have been discussing for a period of time. I can recall a
10 couple of years ago having a conference call with Dr. Kadak
11 and the staff on burnup credit. We have made progress over
12 the past few years on what NRC allows in the way of burnup
13 credit for spent fuel and transportation. We have issued
14 what we call interim staff guidance documents over the past
15 few years that at this point do allow full credit for
16 actinide. With regard to fission products, my glass on this
17 one now is half full and getting fuller, and the staff has
18 had recent interactions, and I say recent, over the last
19 year, with some of our international colleagues who have
20 certain data with regard to fission products, and making
21 arrangements to have the NRC access to that data.

22 Our initial understanding is that that data will
23 couple and fill in some of the voids that Bob Einziger has
24 mentioned that will give us the confidence with regard to
25 some of the total validation that we find necessary before

1 we're able to move to that point in our review guidance of
2 allowing burnup credit for fission products.

3 I would note, too, Bob Einziger made the comment
4 about, and John Kessler as well, raised the comment about
5 moderator exclusion. That's a topic that we the staff have
6 raised with our Commission with regard to moderator exclusion
7 in spent fuel transportation. Our Commission has advised us
8 that in certain, perhaps limited, case by case, such might be
9 considered, but moderator exclusion is a principle on which
10 we should continue to rely on as far as assuring the safe
11 transport of materials, and that is with the assumption that
12 water, in an accident, could get into a package, and, so, our
13 analyses do require examination, and criticality
14 considerations are the main concern, examination of those
15 packages for water ingress, and of course material being in
16 its most optimum criticality shape.

17 LATANISION: Go ahead.

18 KADAK: Bill, are you aware that EPRI recently completed
19 a criticality study for waste packages full of water, without
20 taking credit for any neutron absorbing material? And, as I
21 recall the calculations, even in cold temperatures, they
22 don't go critical. I mean, the margins are not 20 percent,
23 but it's like .98 with, like I said, rigorous analysis based
24 on real spent fuel loading.

25 BRACH: Personally, Dr. Kadak, I'm not familiar with

1 that report. I'm not a criticality expert as well. Maybe
2 after the meeting, you can talk to John to be sure our staff,
3 the staff that work with EPRI and our staff frequently engage
4 and have for some time on this topic, as well as with others
5 in the industry. But, personally, I'm not familiar with that
6 report.

7 KESSLER: That may have gotten cycled through the Yucca
8 Mountain side of NRC, because we did that analysis looking at
9 a dual purpose canister, asking that question that was
10 discussed earlier about could we direct dispose of some dual
11 purpose canisters, and we specifically looked at the
12 criticality issue.

13 KADAK: And, some of the findings, and this is why this
14 is important to settle quickly, is that you can make it much
15 better by advising the utilities about loading patterns, as
16 you load the spent fuel into your DPCs, that would make the
17 reactivity better in terms of the criticality. So, I think
18 if you--I don't know where you are in the review process, but
19 the sooner the better in terms of providing guidance to the
20 utilities.

21 BRACH: That's a very good point. I would add to that
22 as well I looked to the industry, and Tara, representing
23 Transnuclear, one of the main cask designers and vendors, is
24 that preferential loading of casks typically with regard to
25 thermal loading and potential shielding of the hotter fuel on

1 the inside and colder fuel on the outside, for example, need
2 to marry together those different considerations, and I
3 really would look to the industry, too, as well, and engage
4 and consider that in developing your loading patterns for
5 your individual casks.

6 KESSLER: Andy, most of the industry, most of the
7 utilities use one of two different software packages that
8 optimize what should be loaded in there. There's some that
9 use something called Cask Works, others that use something
10 that's an EPRI product called Cask Loader. Both of them take
11 into account the multiple requirements, the shielding, the
12 thermal, et cetera, take a look to see what inventory the
13 utilities have in their pool, and know what's coming down the
14 pike, to figure out what's the most optimal fuel to put in a
15 particular canister at a particular time.

16 KADAK: I would suggest another criteria would be
17 postclosure repository criticality, because if you do it that
18 way, you can potentially dispose of the DPCs.

19 KESSLER: So, you want the industry to worry about Yucca
20 Mountain postclosure criticality for the DPCs?

21 KADAK: Well, I would say that if it's going to happen,
22 it's advisable to look at it from that perspective because it
23 saves eventually the utilities money, because it's their
24 money that's going to be used for disposal.

25 KESSLER: All I can say is that was one of the many

1 purposes of this EPRI report, which admittedly is a very
2 first analysis for a limited subset of the DPCs out there.
3 Did you address that issue? In terms of formally asking the
4 industry to do that, doesn't sound like a good idea.

5 KADAK: I'm not sure why you said that.

6 LATANISION: I put up on the screen Tom's final slide,
7 which, Tara, if I understood your comment correctly, this
8 represents something of a consensus of a panelists.

9 NEIDER: Yes.

10 LATANISION: Do you want to add anything to this? We've
11 been talking about many of these issues in the last few
12 minutes, but are there other, either from the point of view
13 of anyone in the audience, the panel? Yes, go ahead, Bob.

14 EINZIGER: I've been in this game for 30 years.
15 Somebody mentioned the experiments down at--with Turkey Point
16 fuel. I worked on those.

17 ARNOLD: Back in the Seventies.

18 EINZIGER: Yeah, back in the Seventies; right. In all
19 the work that I've done so far, I've seen no data that has
20 indicated that we can't store for an extended period of time.
21 On the other hand, I don't have definitive data testing for
22 extended periods of time beyond the one test we did for 15
23 years. Remember that test for 15 years was low burnup fuel,
24 it wasn't high burnup fuel, it was the old 17 by 17 design.
25 It wasn't the new design. It wasn't mox fuel, which has a

1 whole bunch of different issues, especially since while
2 normally uranium oxide based fuels have a decreased stress
3 with time, the mox fuel actually has an increased stress with
4 time because it has the generation of helium in it. So,
5 that's a little bit different issue.

6 GARRICK: So, what do you mean when you say extended
7 period of time?

8 EINZIGER: Whatever you want it to be. I don't have the
9 data past 15 years, but I don't see anything that, from what
10 I know now, that tells me I can't go out--for instance, when
11 the creep calculations were done, and creep was one of the
12 first mechanisms to be looked at for limiting the temperature
13 for storage, it was basically done by saying, okay, here's
14 the creep equation, here's the temperature decay, what
15 temperature can we go to so that the creep levels off at 1
16 percent and never goes above that for time infinitum. And,
17 I'm not saying that we should store it indefinitely. I'm
18 just saying that was a criteria.

19 There's a number of international programs that are
20 going on. The Japanese are thinking of putting a program in
21 place where they're going to be looking at some high burnup
22 fuel in storage. We're trying to get involved with that.
23 I'd like to see storage a little bit higher burnups, and that
24 they're going for 50 gigawatt days per metric ton, and I'd
25 like to see the situation, not only can we store it for some

1 extended length of time, and this is not the NRC opinion, but
2 that we shouldn't ask the question can we store it for "X"
3 number of years, but rather can we store it for "X" number of
4 years and still maintain the fuel in a transportable
5 condition.

6 GARRICK: Yes.

7 EINZIGER: I think that's important because no matter
8 what circumstances or scenario that you talk about,
9 eventually it's going to have to move unless you want to make
10 the sites at the reactors permanent repositories.

11 I also believe, like in the reactors where they use
12 lead test assemblies to stay one step ahead of the curve,
13 that we should have a lead cask demonstration with high
14 burnup fuel so we're one step ahead of the curve.

15 GARRICK: Now, NRC used to have a research program. Are
16 they doing anything?

17 EINZIGER: NRC does have a research program. We're
18 working with Argonne National Laboratory. Right now, the
19 issue at hand is to look at the hydride reorientation.
20 That's our main concern. I guess it was about five years
21 ago, NRC and EPRI and DOE at least discussed the possibility
22 of getting such a demonstration started, and for whatever
23 reason, because this is before I came to the NRC, that
24 fizzled.

25 LATANISION: I think Andy has a question, and I have one

1 I'd like to ask, too.

2 KADAK: Just give me a quick characterization from the
3 material standpoint of the difference between, from a
4 materials and behavioral standpoint, from a low burnup to a
5 high burnup in terms of degradation of say the clad.

6 EINZIGER: Well, well burnup cladding has 100, 150 ppm
7 hydrogen in it. High burnup cladding may have 700 ppm
8 hydrogen in it. You may have 20 microns of oxidation on the
9 outside of the cladding when it gets out of the reactor.
10 High burnup fuel could be anywhere up to 100 microns of
11 oxidation on the outside of the cladding. The UO₂ pellet
12 pretty much maintains its normal grain size at low burnup
13 fuel. At high burnup fuel, it has a rim structure on the
14 outer surface of the pellet that could be anywhere up to a
15 couple hundred microns thick, where the fuel has
16 restructured, so the grains are essentially submicron size.
17 We don't have any idea how that rim area is going to behave
18 in terms of when the fuel fractures, in terms of what happens
19 in disbursal of that rim area. So, those are some of the
20 differences in characteristics.

21 There is a paper out between myself and Carl Byer,
22 it was a couple years ago, in nuclear technology that
23 basically evaluates high burnup fuel, and indicates the
24 changes in the fuel over time, and what are the pertinent
25 issues with the fuel with respect to storage.

1 ARNOLD: How about the gas pressure inside the--

2 EINZIGER: The gas pressure will go up, too.

3 KADAK: Thank you.

4 LATANISION: Let me ask you a question. You mentioned
5 an evaluation of creep. Creep is a time dependent
6 deformation of a metal, and there are some, given the time
7 frame that we're looking at, this is after 15 years of
8 exposure, was there a metallographic examination done at the
9 level of examining for grain boundary sliding or cavitation
10 along grain boundaries as an early stage indication, or what
11 was the basis for concluding that creep did not appear--I
12 think you said it was not an issue.

13 EINZIGER: There's two different parts, as I interpret
14 your question. One is what did we see when we evaluated the
15 fuel that had been in storage for 15 years.

16 LATANISION: Yeah.

17 EINZIGER: That was a very difficult test to evaluate
18 because we had no baseline on that because the test was never
19 set up for a long-term dry storage test. It was set up for
20 code evaluation, and the temperature was not well monitored.
21 What we were looking at is basically what would be the
22 profilometry that had been done on some rods beforehand, and
23 the profilometry afterwards, and within the scope of the
24 error, we couldn't find any indication of creep. I have to
25 admit that I do not remember to what extent we did the

1 metallography of the cladding, but there is metallography
2 that was done.

3 LATANISION: There was?

4 EINZIGER: Yes.

5 KESSLER: And, the issue is is that at one time, the
6 profilometry of some of these rods before they went into
7 storage were taken, but those data were lost, thrown away,
8 something, after a ten year storage period.

9 EINZIGER: INEL had a ten year data retention period.

10 KESSLER: So, the point is is that we couldn't start
11 from, you know, where the cladding had crept down to to where
12 it is after 14 years. All we knew was where it was after 14
13 years.

14 LATANISION: Well, that's why I think the metallographic
15 diagnostics that I was just talking about would be
16 informative. You know, it may have been done, and perhaps
17 the indications were that it was not an operative process.
18 But, it would be worth examining that, and if it hasn't been
19 examined, I would suggest doing it.

20 EINZIGER: Well, that's something EPRI would have to
21 take up with Argonne where the old photos are residing. I
22 don't think any of the samples are still available.

23 KESSLER: I think we're all--well, we agree that the
24 dominant concern is probably the hydride reorientation and
25 less so, creep. A lot of people have taken a look at the

1 creep issue, maybe not for all the fuel types under all of
2 the conditions, but our feeling is is that creep issues under
3 real storage conditions are not likely to be the dominated
4 one.

5 EINZIGER: The criteria for creep comes from the
6 Germans, who had a 1 percent creep criteria for in reactor,
7 and that came from an insurance regulation. That was just
8 transferred over to dry storage. Things are a little bit
9 different in dry storage since the stresses in the inside of
10 the cladding going outward, as you start creeping outward,
11 you increase the volume of the fuel rod. That drops the
12 stress considerably, and creep in dry storage is a self-
13 limiting mechanism.

14 LATANISION: Why is it self-limiting?

15 KESSLER: As you creep out, you're increasing the
16 volume.

17 LATANISION: So, you're diminishing the stress.

18 KESSLER: Right. So, you're decreasing the net pressure
19 of the fill gas, and that's what causes the stress to
20 decrease with time.

21 LATANISION: Okay. Other questions? Yes, Carl?

22 DI BELLA: Carl DiBella, Staff. I have a question for
23 John. You talked about the experiment that you did at INL on
24 the Castor cask, and I assume the hot shop you were talking
25 about was Test Area North?

1 KESSLER: Yes.

2 DI BELLA: Which doesn't exist anymore, I think.

3 KESSLER: Right.

4 DI BELLA: So, actually, I have two questions for you.
5 There were, for a time, several casks of different
6 manufacturers there. What has happened to them, number one?
7 And, number two, if something, if they're still there, and
8 there's still fuel in them, how, without Test Area North, are
9 you going to respond if there's a problem, not you
10 necessarily, whoever is responsible for it?

11 BROOKMIRE: I believe we saw earlier today that those
12 casks are still there at the facility, and I believe Gary
13 DeLeon probably could address that if he's still here.

14 KESSLER: In terms of what can be done without Test Area
15 North?

16 DI BELLA: Yes, you don't have that hot cell--

17 KESSLER: I know that we did make a plea to EM to keep
18 it open at one time, and--

19 DE LEON: You're referring to the dry storage casks at
20 INEL? They're still there.

21 DI BELLA: I'm the one that asked the question. The dry
22 storage casks that are holding commercial spent fuel at INL,
23 there's two or three or four of them? One of them was taken
24 apart, as John described, in Test Area North, that big hot-
25 cell, which is now gone. If you develop a problem with those

1 other casks of some sort, how are you going to handle that
2 problem? How are you going to--is there a pool around, or
3 another big hot shop that you can just open it up and
4 dismantle it, or are you going to have to build something, or
5 what?

6 DE LEON: I don't know about the hot shop is still
7 around, but we still have the 66 Basin that we could use.

8 KESSLER: That was one of the arguments that was made as
9 to why to go ahead and close it down, was that there was at
10 least some sort of backup plan.

11 LATANISION: Go ahead, Carl, continue.

12 DI BELLA: I have a question for Dave.

13 LATANISION: Wait. Do you have a response?

14 EINZIGER: I just want to say that the one cask they did
15 open, they eventually did move that cask over to the Argonne
16 North Hot Cell and made it up to pull the rods out of it.
17 And, so, it may be still possible, I can't say it is
18 possible, to put a mating collar on the Argonne North Cell
19 and still mate a different cask up to it.

20 LATANISION: Argonne West?

21 EINZIGER: Yes.

22 LATANISION: Okay. Go ahead, Carl. Carl, do you have a
23 follow-up with that?

24 DI BELLA: Yeah, Dave, and this is a question from Dave.
25 The data needs discussed so far focus on engineered systems.

1 Has any thought regarding additional needs for site
2 characterization--actually, Tom might have mentioned
3 something about this--needed for longer storage? You know,
4 instead of 100 years, 500 years. Decades to centuries.

5 LATANISION: Tom?

6 BROOKMIRE: I'm sorry, Carl, could you rephrase that or
7 recharacterize the question?

8 DI BELLA: Well, it's--

9 KESSLER: Are you talking about the pad itself, Carl?

10 DI BELLA: No, maybe what the pad sits on, the ground.

11 KESSLER: Okay, so geotechnical type concerns.

12 DI BELLA: Maybe hydrological, maybe geotechnical, that
13 sort of thing, seismic, volcanic. Presumably, they haven't
14 even looked at these issues for more than 100 years, decades,
15 do they remain unchanged, or does one have to characterize
16 them for longer periods.

17 BROOKMIRE: The pad didn't come up in the process. It's
18 out of scope because it's not safety related. The pad was
19 considered to be out of scope in terms of license renewal
20 because it's not safety related. But, certainly evaluations
21 of the soil structure interaction, and evaluations of the
22 concrete structure, the pad, will have to be conducted at
23 some point.

24 NEIDER: For the Kewaunee license renewal, there was a
25 settlement of the pad to be looked at and cracking of the pad

1 itself as part of the aging management.

2 DI BELLA: Right. But, my question was really about the
3 natural system the pad sits on.

4 BROOKMIRE: I'm not aware of any programs in place to
5 look at that.

6 DI BELLA: Okay.

7 LATANISION: Do you have another follow-up to that?

8 DI BELLA: I'm just sort of thinking out loud, whether
9 this would be necessary.

10 BROOKMIRE: It depends on the site location and the SSI.
11 Right now, the Surry pads are three feet thick and North
12 Anna, I think is two to two and a half. Millstone is four
13 feet.

14 DI BELLA: So, they're not all--

15 BROOKMIRE: Well, it depends.

16 DI BELLA: That's what I'm talking about, they're not
17 the pads, but what the pads are on.

18 KADAK: That's why they make them four feet thick.

19 LATANISION: He's talking about what supports the pads.
20 I mean, you've got a geological issue here.

21 KADAK: That's why they make them four feet thick.

22 ARNOLD: I think the response to this is you in fact do
23 have to be able to move this stuff if you get into a
24 threatening situation.

25 LATANISION: Yeah. We're coming close to the end of

1 this conversation. I just want to get a reaction from this
2 group if there are other items that you think belong on this
3 list. This is a consensus document of our panelists. What's
4 missing? Is anything missing?

5 STAMATAKOS: My name is John Stamatakos, I'm with the
6 Santa Fe Regulatory Analysis in San Antonio, and I agree, one
7 of the things that's underlying your question, and we missed
8 it in the answers, is that a lot of the design bases were
9 originally used to construct those are built on, for seismic
10 in particular, floods perhaps, are built on understandings of
11 20, 40--

12 DI BELLA: Right.

13 STAMATAKOS: And, so, the hazards that drive those
14 design bases will probably change that you're talking about.
15 I think that's--and, so, underlying the design bases for
16 seismic, and as you go to longer performance periods, you're
17 probably looking at larger earthquakes driving the design
18 bases.

19 KESSLER: Well, certainly the easiest thing to do is to
20 go back and look at what the nuclear plants themselves had to
21 do regarding the soil stability issues for license extension.

22 DI BELLA: One more thing in answer to your question.
23 John put up something that in essence said that colder
24 temperatures are your friend, as far as corrosion is
25 concerned. That is true by and large. But, I can think of

1 one circumstance where it isn't. These canisters are, some
2 of them, are protected by the higher temperatures because
3 temperatures keep the outside surface above the dew point for
4 many, many conditions, if not all conditions, in the early
5 years. As the decay heat drops, the outside surface the
6 corners, and eventually the entire canister, is going to drop
7 such that you will have dew points--you will have
8 temperatures occasionally when there's a sharp change in
9 weather that are below the dew points, you get condensation,
10 and now you can have localized and generalized corrosion.
11 So, that is something to be concerned about that happens as
12 they get older.

13 KESSLER: So, you're playing the deliquescence trump
14 card?

15 DI BELLA: I didn't use the word.

16 KESSLER: You didn't use the word, but it sure sounded
17 like the same kind of thing. That is one of the things that
18 we looked at in the effective marine environment study. To
19 some degree, the Japanese have looked at it a bit more. We
20 are aware of those issues.

21 LATANISION: Okay. John, I think we're reaching the end
22 of the hour. I would just like to thank our panelists and
23 audience for this conversation. The one final observation
24 I'll make is that in our engineering enterprise, we always do
25 seem to ask engineering systems to perform longer than they

1 were intended to. You know, certainly from a nuclear point
2 of view, we're looking at extending the licenses of plants
3 that were licensed for an initial 40 year period. We have
4 air frames that are being asked to perform for 70 or 80 years
5 instead of the normal design life of perhaps 30 or 40.

6 So, the question, and each of those questions, each
7 of those situations, there are engineering uncertainties
8 associated with whether or not the extensions are going to
9 prove to be done with confidence and fruitful.

10 You know, I have the same concern in a sense about
11 what we're talking about here, in terms of extended very long
12 storage. Tara, you made the comment that these were not
13 intended for service for 100 years. And, whether you would
14 have changed your design basis when you looked at
15 constructing at the outset is an interesting question. But,
16 it does give you pause when you start talking about the
17 extension of the performance period for systems that were
18 never intended to perform to that extent.

19 So, it's just an observation, to bring this to a
20 close. But, Tara, you have a comment?

21 NEIDER: You're absolutely right. Well, five years ago,
22 it would have never occurred to us. Now, we are looking at
23 extending, you know, from the beginning of our new designs,
24 we are going for longer periods of time.

25 LATANISION: Yes. Mr. Chairman, I'll turn the floor

1 back to you.

2 GARRICK: Thank you. Thank you very much, and thank
3 this panel. It was an excellent job.

4 We've come to the point in our agenda now that's
5 reserved for public comment. I have received no formal
6 requests for a public comment, but that doesn't mean that if
7 somebody has a burning desire to make a comment, that they
8 cannot do it. I would welcome it, as a matter of fact.

9 GAMBLE: I'm Bob Gamble from Nye County, Nevada. And, I
10 really appreciate the discussion that's gone on today. There
11 were some interesting issues that have been discussed during
12 the day. What I'd really like to do, though, is go back to
13 the first part of the morning session and some of the
14 discussion that followed Russ Dyer's presentation, and
15 questions that were asked about existence of a technical
16 basis for the administration policy decision. Technical
17 basis, the Board has been charged to evaluate technical
18 issues, and without getting into policy issues, I'd like to
19 recommend that the Board seriously consider documenting any
20 questions it may have for the Secretary, for the Congress
21 regarding the technical basis for what has been the
22 administration's policy decision on Yucca Mountain.

23 There is a licensing proceeding underway, a
24 technical review by the NRC staff, an opportunity for
25 litigation of technical issues on their merits in a hearing,

1 and that proceeding, in my view, should be allowed to go
2 forward and should be supported so that any conclusion that
3 comes out of it can be seen as a credible reflection of any
4 debate on the technical issues associated with a repository
5 and with Yucca Mountain.

6 GARRICK: Thank you very much. Yes?

7 O'CONNELL: Brian O'Connell, the National Association of
8 Regulatory Utility Commissioners. I wasn't planning to
9 comment, but you asked a question before about how do we get
10 national will going, and Mark Holt said perhaps the Public
11 Utility Commissions might do that.

12 Frankly, I don't expect that to happen. It's not
13 the nature of the state commissions to be as proactive as
14 somehow is needed in this process. But, I thought I would
15 share some thoughts of what the Commissions are thinking
16 about with respect to this program.

17 First of all, we subscribe to the principle that
18 the law is the law, and that Yucca Mountain is the site that
19 was approved by Congress, and it will take a law to change
20 that. We would like to continue the license review. If
21 Yucca Mountain is not licensed, or is licensed but not built,
22 then we go back to the Act that says that the solution is
23 geologic repository, which means we start over apparently.

24 If we do, we believe that the process should be
25 changed, and that there should be recognition of the lessons

1 learned at both Yucca Mountain and in the other countries
2 that are pursuing this. Also, there should be--which include
3 recognition of benefits from the beginning, and the principle
4 that if you don't want it, it's not coming. That works in
5 other countries. We ought to try it here.

6 I personally am very impressed with the Academy of
7 Sciences report on One Step At A Time, about staged
8 repository development, rather than this 1 million year
9 regulatory framework.

10 On interim storage, if we're going to wait for
11 decades for a second repository, we believe that the interim
12 storage of the nine de-commissioned sites is needed, and is
13 very affordable. DOE did a study, said it might cost some
14 \$742 million for a 25 year period. Don't know if that's true
15 or not, but it's a small drop in the bucket when you consider
16 that the program is supposedly earning a billion dollars a
17 year in interest on the Nuclear Waste Fund, which is
18 otherwise inaccessible to the program.

19 On recycling, we support the R&D, but are concerned
20 about the economics. Somebody eventually is going to have to
21 make it feasible.

22 We would also recommend to the Blue Ribbon
23 Commission that they explicitly recognize that the public has
24 a confidence problem with transportation, even though most of
25 us realize that that should not be a concern, it is,

1 perception is reality for a lot of people.

2 The last thing, that may be the hardest of all, is
3 to settle the lawsuits in some equitable manner, recognize
4 where we are today, it's not 1998, it's not going to be moved
5 by that time.

6 The last thing I recall from a Congressional
7 staffer is a statement that Congress only reacts to a crisis.
8 The problem with this program is that the industry has coped
9 too well with taking care of the fuel. We just talked about
10 it in the case of dry cask storage.

11 Thank you.

12 GARRICK: Okay. Yes?

13 VAN LUIK: I'm Abe Van Luik. I work for the Department
14 of Energy, but this is a comment from me, not from the
15 Department. I found a lot of the presentations today to be
16 quite enlightening, but I was wishing we had spent more time
17 on Tara's last viewgraph, which suggested that long-term
18 storage is not responsible behavior for a society.

19 There is an excellent document from the IAEA, and
20 two recent ones from the NEA consensus documents which were
21 mentioned this morning, that we should pay some attention to,
22 that said it is not ethical, basically, to plan for long-term
23 storage without also pursuing a well defined repository
24 program.

25 So, I'm hoping that in your advice to the Blue

1 Ribbon Commission, speaking as a citizen, that you will
2 remind them of these consensus ethical opinions which I think
3 are quite meaningful.

4 Thank you.

5 GARRICK: Any other comments, suggestions, or what have
6 you?

7 (No response.)

8 GARRICK: Board? Staff?

9 (No response.)

10 GARRICK: Hearing none, forever hold your peace, we are
11 adjourned.

12 (Whereupon, at 4:42 p.m. the meeting was
13 adjourned.)

14

15

16

17

18

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C E R T I F I C A T E

I certify that the foregoing is a correct transcript of the Nuclear Waste Technical Review Board's Winter Board Meeting held on June 11, 2009 in Las Vegas, Nevada taken from the electronic recording of proceedings in the above-entitled matter.

June 22, 2009

Federal Reporting Service, Inc.
17454 East Asbury Place
Aurora, Colorado 80013
(303) 751-2777