

UNITED STATES
NUCLEAR WASTE TECHNICAL REVIEW BOARD

WINTER MEETING

Wednesday
February 16, 2011

Marriott Suites Convention Center
325 Convention Center Drive
Las Vegas, Nevada 89109
Lake Mead/Red Rock Salons

NWTRB BOARD MEMBERS PRESENT

Dr. Mark D. Abkowitz
Dr. William Howard Arnold
Dr. Thure E. Cerling
Dr. David J. Duquette
Dr. B. John Garrick, Chairman, NWTRB
Dr. George M. Hornberger
Dr. Ronald M. Latanision
Dr. Andrew C. Kadak
Dr. Ali Mosleh
Dr. William M. Murphy
Dr. Henry Petroski

CONSULTANTS

Lake Barrett, Independent Consultant
George Dials, B&W Technical Services Group
Christopher Kouts, Independent Consultant

NWTRB SENIOR PROFESSIONAL STAFF

Bruce E. Kirstein
Gene W. Rowe
Carl Di Bella
Douglas Rigby
Daniel S. Metlay

NWTRB STAFF

Nigel Mote, Executive Director
Karyn D. Severson, Director External Affairs
Joyce M. Dory, Director of Administration
Linda Coultry, Meeting Planner

I N D E XPAGE NO.

Call to Order and Introductory Statement	
B. John Garrick, Chairman	
U.S. Nuclear Waste Technical Review Board	7
Update on the Fuel-Cycle Technology Activities Of the U.S. Department of Energy's Office of Nuclear Energy (DOE-NE)	
Monica C. Regalbuto, Deputy Assistant Secretary For Fuel Cycle Technologies DOE-NE.	14
Update on DOE's Research and Development Activities for Used Nuclear Fuel Disposition: Storage, Transportation, and Disposal	
William J. Boyle, Director Office of Used Nuclear Fuel Disposition Research and Development DOE-NE	40
Panel on Technical Experience Gained from DOE's Spent Nuclear Fuel and High-Level Radioactive Waste Management Efforts, to Date	
Moderator:	
B. John Garrick, NWTRB Chairman	74
Panelists:	
Lake H. Barrett, Independent Consultant Former Acting Director, DOE Office of Civilian Radioactive Waste Management (DOE-RW) (1993, 1996-1999, 2000-2002)	74
George E. Dials, Executive Vice President B&W Technical Services Group Former President and General Manager of TRW Environmental Safety Systems, Inc., (Management and Operating Contractor for the DOE Yucca Mountain Project) (1999-2001); and Manager of the DOE Carlsbad Area Office with responsibility for managing the WIPP Project (1993-1998)	88

I N D E X
(Continued)

PAGE NO.

Christopher A. Kouts, Independent Consultant
Former Acting Director of DOE-RW (2009-2010) 100

John W. Bartlett, Independent Consultant,
Retired (Invited) Former Director,
DOE-RW (1990-1993)

**Each panel member has been invited to make an opening
Presentation and to address the following questions:**

1. What technical advances were made during the development of the Yucca Mountain program that would be applicable in developing future programs for management of spent nuclear fuel and high-level waste in the United States?
2. What scientific research, or technical development work, should be undertaken now, or in the near term, to support future development of a repository for disposal of spent nuclear fuel and high-level waste?
3. How did different managerial approaches and changes in management approaches during the development of the Yucca Mountain program influence the technical design, planned operations and logistics?
4. What actions were taken to build public trust and confidence in scientific and technical activities and results? Which of these actions should be repeated for future repository programs and which should not? What, if anything, could have been done better?

Discussion on Technical Experience Gained
Board and Panel Members 115

LUNCH 148

I N D E X
(Continued)

PAGE NO.

Electric Power Research Institute (EPRI)	
Review of Geologic Disposal Options for Used Fuel and High-Level Radioactive Waste - Lessons Learned	
Andrew G. Sowder, Senior Project Manager Used Fuel and High-Level Radioactive Waste Management (EPRI)	149
 Deep Borehole Disposal: <i>Technical Concept and Performance Assessment Summary</i>	
Patrick V. Brady, Senior Scientist Sandia National Laboratories (SNL).	173
 Deep Borehole Disposal: <i>Programmatic Benefits And Pilot Demonstration Path Forward</i>	
S. Andrew Orrell, Director Nuclear Energy & Fuel Cycle Programs, SNL	183
 Panel on Geologic Disposal Options	
Moderator:	
Andrew Kadak, NWTRB Member	202
 Panelists:	
Ernest L. Hardin, Principal Member of the Technical Staff, Nuclear Fuel Cycle System Engineering and Integration Department (SNL)	202
S. Andrew Orrell, Director of Nuclear Energy & Fuel Cycle Programs, SNL	
Hank C. Jenkins-Smith, Professor of Political Science, University of Oklahoma	213
 Ernest Hardin will discuss issues raised in the recent SNL Report on this subject (<i>Geologic Disposal Options in the USA</i>) and technical aspects of identifying suitable geologic media for a geologic repository. Andrew Orrell will join the discussion. Hank Jenkins-Smith will discuss public acceptance issues related to the process for identifying a geographic location for a repository.	

I N D E X
(Continued)

PAGE NO.

Discussion on Geologic Disposal Options
Board and Panel Members 237

Public Comments 251

Adjourn 266

P R O C E E D I N G S

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

8:30 a.m.

GARRICK: Good morning. I want to welcome you all to this meeting of the U.S. Nuclear Waste Technical Review Board. It's been a while since we've been in Las Vegas. In fact, it was June 2009. We always enjoy coming here, so we're delighted to share this time with you.

Now, as you can see from the agenda that was out on the table, we have a very busy day ahead of us. And, we have a mix of panels and presentations who will discuss a variety of what we think will be very interesting topics.

Much of the meeting agenda will be a continuation of a meeting we had actually in Dulles, Virginia in October of last year on basically what's been learned about geologic disposal. I expect that we will find the discussion today equally interesting. We plan to write a report, and we have written a report that's in the review process, on lessons learned, and we expect to publish that report in the next few months--actually few weeks.

Because we have such a busy schedule, I think we're going to break today from the tradition of introducing the individual Board members. You can see us all in this V-shared alignment here. We're all here. There's a couple out right now because of a conference call, but we have 100 percent attendance. We have name tags. And, we have our

1 staff back against the wall there, and they also have name
2 tags. So, I think we'll allow that to be the basis of our
3 introduction today.

4 For those of you who are interested in determining
5 what the affiliations are, we have this information on the
6 table as you enter the room.

7 Speaking of the Board's role, some of you may be
8 wondering what the Board's focus has been since the Yucca
9 Mountain project was shut down. The short answer is that
10 because the Board's statutory mission is to evaluate the
11 technical validity of all DOE activities related to
12 implementing the Nuclear Waste Policy Act, we have refocused
13 our ongoing peer review on current DOE activities related to
14 DOE responsibilities under the Nuclear Waste Policy Act.

15 For example, in the fiscal year 2011, DOE proposed
16 increasing funding for research and development related to
17 alternative strategies for managing the back-end of the fuel
18 cycle. Accordingly, these activities have become part of the
19 Board's ongoing peer review. In addition, the Board
20 continues its evaluation of DOE activities related to
21 managing DOE-owned spent nuclear fuel and high-level
22 radioactive waste, which I collectively call high activity
23 waste.

24 Other activities that the Board has undertaken are
25 preparation of a White Paper on the technical implication of

1 long-term storage, dry storage, and the development of a PC
2 based tool we call NUWASTE that is designed to allow us to
3 evaluate different fuel cycle initiatives that DOE may
4 consider. Copies of the extended dry storage report are
5 available on the back table, and a report on NUWASTE will be
6 coming out in the next few days.

7 In addition, we are working on an update, an
8 extension of a report we prepared a little over a year ago on
9 programs being developed in other countries for managing
10 high-activity waste. And, as I mentioned earlier, we are
11 also preparing a technical lessons learned report that
12 attempts to capture important elements of the technical work
13 to date at Yucca Mountain and elsewhere.

14 Now, let's turn to today's meeting. For more than
15 two decades now, developing a repository at Yucca Mountain
16 was DOE's primary activity related to implementing the Waste
17 Act. And, consequently, DOE's efforts in this area were the
18 focus of the Board's ongoing technical review.

19 Although the alternative fuel cycle strategies that
20 DOE is now considering include recycle of uranium and
21 plutonium, introduction of fast reactors, and other reactor
22 designs, as well as more esoteric concepts, such as
23 accelerator-driven transmutation reactors, the Board believes
24 that regardless of what strategy or strategies are adopted, a
25 deep geologic repository for the permanent disposal of high-

1 activity waste will ultimately be necessary.

2 With that as context, we will begin today by
3 hearing from Monica Regalbuto, who is Deputy Assistant
4 Secretary for Fuel Cycle Technologies in DOE's Office of
5 Nuclear Energy. Monica will discuss DOE's ongoing fuel-cycle
6 technology activities. Then, we'll hear from Bill Boyle,
7 Director of DOE-NE's Office of Used Fuel Disposition. Bill
8 has appeared before the Board many times. Bill will talk
9 about DOE's research and development activities for used
10 nuclear fuel disposition, which include storage,
11 transportation and disposal. Both of these topics are of
12 interest to the Board because they pertain to our mandate to
13 review DOE's implementation of the Nuclear Waste Policy Act--
14 in this case, the technical aspects of the back-end of the
15 nuclear fuel cycle.

16 We will then continue our discussion from our
17 October meeting with the objective of obtaining as much
18 information and input as possible on experiences gained
19 during the Yucca Mountain Project that are considered
20 important when moving forward with geologic disposal.

21 To begin, I will moderate a panel of past directors
22 and managers. The panel members are Lake Barrett, who as
23 OCRWM acting director may have directed the program for a
24 longer cumulative time than any other individual; Chris
25 Kouts, who also served as acting director of OCRWM, among

1 other positions; and George Dials, who was the general
2 manager for TRW Environmental Systems--the management and
3 operations contractor for the Yucca Mountain project.

4 George was also manager of DOE Carlsbad office in
5 charge of the Waste Isolation Pilot Plant. I had an
6 opportunity to interact with George during that assignment
7 when I was a member or chairman of the National Academy of
8 Science, Waste Isolation Pilot Plant Committee. I look
9 forward to renewing our acquaintance and to what George has
10 to say.

11 John Bartlett was invited and is unable to be here,
12 a former director of DOE-RW in the 1990 to 1993 time frame.
13 John has prepared a statement for us that will be made part
14 of the record, and that statement is out on the table as
15 well.

16 Following lunch, we will hear from Andrew Sowder on
17 the Electric Power Research Institute's review of geologic
18 disposal options for used fuel and high-level radioactive
19 waste, again, from a lessons learned perspective. The Board
20 is always interested in hearing what other organizations
21 think are the important lessons learned. After this, we will
22 hear from Sandia National Laboratories on the subject of Deep
23 Borehole Disposal. This method for disposing of spent fuel
24 is one of the many options that has been considered. It has
25 recently been looked at again for use in the United States.

1 There are two aspects of deep borehole disposal we'll hear
2 about. First, Technical Concept and Performance Assessment,
3 and, then, Programmatic Benefits and Pilot Demonstration Path
4 Forward. Pat Brady and Andrew Orrell, who are both from
5 Sandia National Laboratories, will be making the
6 presentations and will answer questions from the Board.

7 Finally, on our last panel, moderated by Board
8 member Andy Kadak, we have invited Ernie Hardin of Sandia
9 National Laboratories to present a Sandia study entitled
10 *Geologic Disposal Options in the US*. Ernie will present the
11 study, and he will be joined by Andrew Orrell in a discussion
12 of the technical aspects of the geological options. Even
13 though the technical aspects of geologic disposal are the
14 Board's focus, we understand that other aspects, which
15 potentially may affect the technical program, must be
16 considered when re-evaluating geological locations for a
17 repository. So, we have invited Hank Jenkins-Smith from the
18 University of Oklahoma to discuss public acceptance and
19 related issues to help broaden our understanding in that
20 important area. We look forward to his presentation.

21 A tradition we would never forego is devoting the
22 final segment of our meeting to public comment. Public
23 comments are always an important part of our meeting because
24 they help us measure how well we're doing our job. If you
25 would like to make a comment during this final session of the

1 afternoon, please enter your name on the sheet at the back of
2 the room. There are people there to assist you. We have an
3 attendance sheet there as well that we would like everybody
4 to sign. If you prefer, remarks and other material can be
5 submitted in writing and will be made part of the meeting
6 record. These statements will be posted on our website along
7 with the transcripts and presentations from the meeting.

8 Now, sometimes we are asked whether it is
9 appropriate to pose questions during the course of the
10 presentations. We kind of have a convention about that.
11 First, Board members will ask questions. Then, time
12 permitting, staff members will ask their questions. And,
13 beyond that, members of the public are welcome to ask their
14 questions. Frankly, we rarely get past the staff. We rarely
15 give them an adequate amount of time. However, there is
16 another mechanism that would allow you to question our
17 speakers. If you write down your question and submit them to
18 a member of the Board staff, they will see to it that the
19 appropriate Board member gets the question, and we will do
20 our best to provide an answer.

21 Now, there's one disclaimer here that's important.
22 In these meetings, we Board members like to freely exchange
23 our views, express our views and opinions, and we want to
24 continue to operate in that open and free manner. We ask
25 that you realize that these comments are not necessarily the

1 positions of the Board. So, any opinions you hear or infer
2 from a Board member's questions or comments are not
3 necessarily Board positions.

4 As usual, to minimize--this was timed well--as
5 usual, to minimize interruption, we ask that you all turn off
6 your cell phones, including me, I have mine here, so I'll do
7 that right now. So, we do ask you to put them on at least
8 the silent mode. If you are going to speak to us or use one
9 of the microphones, be sure to identify yourself, your
10 affiliation, and speak clearly into the microphone, because
11 sometimes the pick-ups are not always perfect, and we need
12 your name and affiliation, because we need completeness in
13 our transcript.

14 With these preliminaries out of the way, I'm going
15 to ask Monica Regalbuto to start us off this morning.
16 Monica?

17 REGALBUTO: Thank you.

18 Good morning. I would like to thank the Board for
19 the opportunity to present to you the current activities that
20 we have in the Fuel Cycle Technologies of the Department of
21 Energy.

22 In April of 2010, the Department of Energy issued a
23 research and development road map. We have brought copies of
24 the road map, and there's on the table in the back. There's
25 additional ones here. If we run out of copies, we have a

1 website. If you don't have access to a website, you can put
2 your name and address, and we'll be happy to mail you as many
3 copies as you will desire.

4 In the road map, we spell out the main objective
5 for the Department of Energy, which is to support the
6 national imperatives for clean energy, economic prosperity
7 and national security. We all want an integrated approach,
8 which I will discuss in a few minutes, and we also address a
9 transformation of programs moving into a more science based
10 type of approach.

11 The main objectives are pretty much support for
12 different areas. The first area supports the fleet of
13 current reactors where the development of technologies and
14 solutions are set up to improve the reliability, sustain the
15 safety and extend the life of the current reactor fleet.

16 The second objective focuses on new reactor
17 development, and that is in the process of improving
18 affordability to enable nuclear energy to meet
19 Administration's energy security and climate change goals.

20 The third one, which is the focus of this
21 presentation, is to develop sustainable nuclear fuel cycles.
22 And, we do all three of these objectives by understanding and
23 minimizing the risk of nuclear proliferation and terrorism.

24 I'm going to briefly show to you how the Department
25 of Energy is organized. We are under the leadership of Dr.

1 Peter Lyons. He's currently our Acting Assistant Secretary
2 of the Department of Energy-Nuclear Energy. And, we
3 basically are divided into two areas. The area over here on
4 the left-hand side is the business and operations, and the
5 area on the right-hand side here is where the research and
6 development happens. We basically break that into two
7 components, fuel cycle, R&D, and then nuclear reactor
8 technologies. Today, I'm just going to focus on this area.
9 Both fuel cycle, R&D and the reactor technologies are
10 supported by a large program that we have called the
11 University Program, and that is direct research related to
12 these two areas.

13 In addition, both the fuel cycle technologies and
14 the reactor technologies support the international program,
15 which is driven by R&D needs, but also by policy and
16 different missions that the United States Government has, not
17 only necessarily the Department of Energy.

18 So, today, we will discuss with you these three
19 areas, and this is the Office of Systems and Engineering.
20 The next one is the Office of Fuel Cycle Development. And,
21 then, the last one is the Office of Used Nuclear Fuel
22 Disposition, which Bill Boyle will address today. So, I will
23 cover these three areas, and then Bill will go into detail
24 here more.

25 So, basically, on Fuel Cycle Technologies, what we

1 really do is we support decision-makers, and we do that by
2 developing a suite of options for the management of used
3 fuel. We demonstrate technologies to support
4 commercialization by 2050, with the understanding that not
5 all technologies come into the table at the same technology
6 rate and level. So, some technologies will be ready earlier,
7 and some technologies will be ready much later. You know,
8 that is spelled out in the R&D roadmap.

9 What constitutes a sustainable fuel cycle is we
10 focus in a number of areas that are key, and that is improve
11 uranium resources, we maximize energy generation, we minimize
12 waste generation, we improve safety, protection of the
13 environment, limit proliferation risk, and they have to be
14 economically viable.

15 We focus on mainly three fuel cycle options, and
16 that is the once through. The once through is a traditional
17 open cycle in the United States, where there is no recycling
18 or conditioning of used fuel. The second is called the
19 modified open cycle, and that option is where we have very
20 limited fuel conditioning and reprocessing, but there is no
21 recycle of the material, in general. And, full recycling is
22 where multiple reprocessing steps and transmutation of
23 actinides occur, which is the traditional, you know, full
24 form of fuel cycle. Yes?

25 KADAK: Monica, could you explain Number 2 again? It's

1 not clear what that is.

2 REGALBUTO: Yes. Number 2 focuses more of mechanical
3 separations, for example, KANDU type reactors will be one,
4 where you reuse the material, put it back in the fuel, but
5 you don't go to the extent of doing reprocessing or a
6 chemical separation or a prior chemical separation. So, it's
7 very limited. It's a subset of the second one.

8 KADAK: But, not reprocessing at all?

9 REGALBUTO: No reprocessing. It's more a mechanical
10 separation or reuse. Reuse of the fuel as is without
11 separating the actinides and the fissions products. So, you
12 can grind the material, prefabricate, maybe get rid of some
13 of the fission products by, you know, by oxidation, for
14 example, in the front end. But, there is no big recycling
15 facility associated with this.

16 KADAK: Is this good for PWRs or BWRs.

17 REGALBUTO: That is what the current program is doing,
18 is looking at alternatives, but it's mainly focused on light
19 water reactors.

20 KADAK: Thank you.

21 REGALBUTO: You know, the current fleet of reactors.
22 It's not focused on new advanced reactors. So, it's a
23 subset, like I said, of one, but it is usually shown
24 separate. In the new budget items that you will see for next
25 year, it has become a subset now because we recognized that

1 the majority of people think of it as either open or closed.
2 It's partially open, if you want to call it, but it's not
3 MOX, for example.

4 KADAK: Okay.

5 REGALBUTO: Okay, as I mentioned, in the Fuel Cycle
6 Technologies, we break up into three different areas. The
7 first area is the Office of System Engineering and
8 Integration. And, the objective of this work is really to
9 inform Fuel Cycle R&D programmatic decisions, strategic
10 formulation, policy development. We have a number of
11 drivers, requirements, you know, technical requirements is
12 one, policies is another one, and stakeholder input is
13 another one.

14 So, the system approach, what it does is evaluate
15 different options in which we can address this area and come
16 out with a proposed number of alternatives. Those
17 alternatives help us narrow it down to decide where the R&D
18 dollars are being spent. We have a fixed budget, you know,
19 which about is \$155 million for FY 12. FY 11 has not been
20 determined. And, we can only spend money in several areas,
21 so what we do with the system study is we down select where
22 is that area, and we identify the gaps where we need to
23 spend, and make that investment. It also goes back into, you
24 know, as we come out with new knowledge in here, we go back
25 and reassess the alternatives that we have.

1 So, the integration analysis office pretty much
2 evaluates alternatives, evaluates gaps, disconnects, places
3 where we should not continue to invest, different options for
4 deployment, dynamics of the systems, and basically informs
5 our R&D program.

6 In our R&D Program, we basically divide our
7 sections into four areas, and, you know, maybe the graphic is
8 a little better, so you see how the system analysis approach
9 is informing how to do this work. We have four different
10 areas, and I'll talk a little bit about each of them.

11 We have Materials Protection and Accountability,
12 which is really supporting all of the three different areas.
13 We have Separations and Waste Forms. We have the Used Fuel
14 Disposition, which you will hear next, and we have Fuels
15 Transmutation. Currently, our focus is more science based.
16 It's a goal oriented research, and we develop options for the
17 current commercial fuel cycle management strategy.

18 And, I'm going to give you some highlights on each
19 of the areas, and then Bill will give you more depth of the
20 Used Fuel Disposition. So, for Separations and Waste Form,
21 you really have two main challenges. I mean, there are many
22 challenges, but the two critical challenges are we have to
23 minimize the waste generated from the fuel cycle, and we also
24 have to recover fuel resources, either be from natural
25 materials, or from used fuel in an economic manner.

1 We have a development path for each of these areas,
2 and we have outcomes, and I just brought you some examples
3 because they're really broad. For Separations, for example,
4 we are currently focusing on more fundamental understanding
5 of separation processes, and listed are two examples. For
6 example, thermodynamic properties and microstructural and
7 corrosion mechanisms.

8 Why are we going back to more fundamental
9 understanding is we do have commercial technologies that can
10 do recycling. If we are to understand how these technologies
11 can be better tailored to reduce secondary waste, also to
12 achieve the correct separations that we have, then we are
13 doing a leap step forward. Otherwise, it's an incremental
14 improvement on current commercial facilities.

15 The outcome is advanced separations technologies,
16 meaning alternatives to the current commercial facilities
17 that exist worldwide, and robust waste forms that minimize
18 the exposure to the public, protection of the environment.
19 And, also, we combine all of our current R&D with predictive
20 methods, which means that we have a large computational
21 support initiative that works together with the experimental
22 information coming out of these programs and tries to do more
23 predictions. And, in general, it feeds back to the systems
24 studies, because one of the things that we have observed, and
25 I think many of you also have observed, is in the long run, a

1 system study is also useful based on the quality of the
2 information that is fed. So, when we constantly validate the
3 quality of information that is going back to the system study
4 through our experimental programs, we end up with a better
5 product, and with an answer that is more meaningful.

6 For transmutation of fuels, we're basically
7 focusing on the current challenges, which is really improve
8 the fuel cycle options in terms of, again, waste management
9 and resource utilization. We are looking at developing fuels
10 that have variable compositions. This is advanced reactor
11 concepts. Also, because these fuels will have different
12 compositions and a variety of actinides may be present, we
13 need to also concentrate on fuel fabrication, which is not
14 straightforward, as is done in LWR or even in MOX.

15 Our path forward is also looking at an R&D point of
16 view from a more fundamental point of view. We are trying to
17 understand how do we come out with a microstructural form
18 that is the result of that, so less of a trial and error and
19 more of a science based, looking at grain scale, nano
20 implementations, transporting the different phases, and so
21 on.

22 Reliable fuel fabrication is really a show stopper
23 when one tries to close the fuel cycle, because if we do not
24 have a way to reliably make the fuel which is consistent, and
25 we can handle the materials, we really do not have a closed

1 cycle, or any cycle for that event.

2 The outcomes are advanced fuel forms and predictive
3 models, which again help us guide our research and also
4 inform the system studies.

5 The last area I'm going to cover, and the Used Fuel
6 Disposition will be covered by Bill, is the Materials
7 Protection, Accounting, and Control Technologies, which we
8 use the acronym MPACT, and many of you may have seen that
9 before. And, you really have the challenges that as we move
10 forward in the fuel cycle and develop advanced nuclear
11 systems, we have to rethink how we do material
12 accountability. And, that is mainly because now you have, as
13 the fuel cycle becomes more robust and you have mixed
14 streams, it becomes a challenge in terms of do we need to
15 develop new instrumentations so we can account for the
16 different impurities or different signals that may have
17 struck, for example, a pure stream, it's easier to monitor a
18 pure stream than it is to monitor a mixed one. So, we can do
19 it, but we want to do it economically. We want to also do it
20 online, so we have real time data.

21 And, we move into a preventive approach, knowing
22 exactly what comes in versus taking a grab sample and
23 waiting three days until we do a destructive analysis and
24 come back with the answer. So, that's what we call the next
25 generation of instrumentation, high sensitivity, new sensors,

1 and new materials. And, also, the way that we understand the
2 data that is coming out of those sensors in real time and use
3 a more probabilistic and uncertainty analysis.

4 If you are familiar with Rokkasho Mura, which is
5 the recycling plant in Japan, it is a dump of information
6 that comes out of all these different instruments, and is
7 really very difficult for one person or two people to really
8 look at all the data that comes at the same time. So, we are
9 getting to the point that we have more information than we
10 have the ability to process. And, the outcome is, again,
11 real time and also models that help us to manage this data.

12 And, just a couple of highlights on our University
13 Program. Our University Program really has a couple of
14 missions, of course, is to conduct R&D, but it's really to
15 increase the infrastructure that we have available to us to
16 conduct this type of work. And, we also are very committed
17 to provide the next generation of nuclear professionals. We
18 do that by providing resources to support the nuclear energy
19 research and development. And, this is not only done at a
20 nuclear engineering department, for example, it's done in a
21 chemistry department, it's done in a chemical engineering
22 department, materials science. It's done at different parts
23 of the universities to support this area.

24 This supports direct research. Basically, the
25 universities, some of them have their own funds, and we guide

1 them in how to use their funds. Some of it's work that we
2 contract because they have the right equipment and the right
3 expertise to do so. We also try to improve the
4 infrastructure available to the universities. Sometimes,
5 it's buying equipment that is in the benefit of the country
6 to house in a university setup. And, we also have a
7 fellowship and scholarship grant for students. It is a
8 critical part of our work, and basically we support them with
9 about 20 percent of our budget that goes directly to
10 university funded research.

11 Concluding remarks, I hope that I have shown to
12 you, and if you'd like to read more in detail, I invite you
13 to take a copy of this report. If you want to comment,
14 especially for the panel members, on our R&D roadmap, this is
15 a leading document, so we welcome any comments or suggestions
16 that you have for our next generation of our roadmap. R&D
17 roadmaps change, and we take into account everybody's
18 feedback.

19 For the Fuel Cycle R&D, research and development
20 programs, our programs are goal oriented. You know, we have
21 the closing of the fuel cycle in mind, and we also have the
22 current needs of the reactors that we have to address. It is
23 more of a science based program that we currently have than
24 it has been in the past. Our job is to develop and assess
25 technical options, to provide informed decisions, and our

1 research is really focused on improvements of the once
2 through, modified open, which is a subset of the closed fuel
3 cycle programs.

4 With that, I will entertain any questions.

5 GARRICK: Thank you. Thank you. Howard?

6 ARNOLD: Howard Arnold, Board.

7 I have the same question that Andy did. I don't
8 understand the modified open, so maybe if you gave me an
9 example or two, I could understand it better.

10 REGALBUTO: Yes. For example, there are cases in which,
11 you know, the fuel still has enough fissile energy content,
12 but is not desirable to separate the actinides from the rest
13 of the fission products. You have to have the right kind of
14 reactor for that. Not all the reactors can do that. A KANDU
15 type reactor, for example, is one example, where you can take
16 the fuel, you can grind it, you can release the fission
17 products at the grinding state and capture them. Not all the
18 fission products will come out. And, then, you remake the
19 fuel and put it back in the same reactor. But, you have
20 never done a completely raw dissolution and then start
21 separating actinides and refabricating, for example, true
22 oxide fuel. It's still the same uranium oxide with whatever
23 plutonium has built up to the first cycle. So, it's more of
24 a KANDU type concept.

25 And, the challenge that was set up out there in

1 this call was can people think about other options that do
2 not require taking away the actinides from the rest of the
3 matrix. So, keep the matrix intact, and come out with clever
4 ideas to do this. So, this is only, it's been out for about
5 eight months, and there are some proposals and we're in the
6 process of evaluating if this is even a commercially feasible
7 idea.

8 ARNOLD: But, you would contemplate actually
9 deconstructing a used PWR fuel assembly?

10 REGALBUTO: Yes, mechanically deconstruct it and
11 reassemble it, yes, sir.

12 ARNOLD: Okay, thank you.

13 GARRICK: Mark?

14 ABKOWITZ: Abkowitz, Board.

15 Monica, this is certainly a very structured and
16 organized approach. I, for one, appreciate the thought
17 process that's going into this.

18 I've got a couple of questions. The first one is
19 do you have a time frame in mind for when some of the work
20 you're talking about here would be accomplished. Is this a
21 two, three year activity, ten, fifteen year activity? What's
22 the expectations?

23 REGALBUTO: Unfortunately, I wanted to bring to you the
24 implementation plans, but they are not publicly available
25 yet. So, as soon as they're available, I'll be happy to send

1 the Board a copy. They're in the process of being reviewed.
2 We have four implementation plans, and each of the
3 implementation plans supports each of the R&D areas. And,
4 there, you can see the insertion points. When does one
5 technology become ready to, you know, fulfill the--you know,
6 2050 is really the end of mission, and so you have to go back
7 to build and construct anything for the next ten years. So
8 that brings us back to what do we need to do today? What do
9 we need to accomplish in five? What do we need to be ready
10 by ten. Some ideas might be wonderful, but, you know, we
11 don't have the money to continue R&D for 50 years, for
12 example.

13 So, in the implementation plan, we do spell out all
14 these points. Two of them were ready. We have four. So, I
15 couldn't bring them to you because they're not public
16 documents, and we are going to make them public. We had a
17 workshop with industry last week, and we asked for their
18 feedback to see what is a realistic expectation. So, we're
19 in the process of rolling up the feedback that they provided
20 to us, and I will be more than happy to provide that
21 information to the Board as soon as it becomes available.

22 ABKOWITZ: Thank you. I have sort of a follow-up
23 question, and that has to do with what kind of conversation
24 is taking place within the Department in terms of juggling
25 the potential for some of these concepts whose implementation

1 is out in the horizon decades, at least, with the amount of
2 spent nuclear fuel that is accumulating and would be
3 anticipated to continue to accumulate if we depend on nuclear
4 energy at any scale relative to how we depend on it today?
5 It seems to me that we have to approach this in a very
6 continuous manner, and need to be grounded in the fact that
7 today, it is what it is and will be what it is for a while,
8 and we have to reconcile how that inserts into some of these
9 ideas that are being kicked around.

10 REGALBUTO: Yes, and I think what I showed you is more
11 of a closed fuel cycle approach, but there was one box that I
12 did not describe, which was the used fuel disposition. Now,
13 Bill will address that area, and he will talk about what are
14 we planning to do now that, you know, we have to look at
15 options for used fuel disposition with the understanding that
16 we continuously accumulate. So, yes, that is part of the R&D
17 roadmap. I just didn't talk about it because it's the
18 subject of Bill's presentation.

19 ABKOWITZ: Thank you.

20 GARRICK: Ron, Ali, and then Henry.

21 LATANISION: Latanision, Board.

22 This is a follow-up to the question that Dr.
23 Abkowitz just asked. And, I would just preface it by saying
24 that I think the long-term character of what you described is
25 important in terms of nuclear electric generation in the

1 United States. But, I do have some questions on the budget.
2 Can you tell me, if we go to Slide 4, what the budget
3 distribution is among those boxes that you've highlighted,
4 first of all? And, then, secondly, can you tell me what
5 fraction of the budget is directed towards--

6 REGALBUTO: Oh, okay, I see your point.

7 LATANISION: Right. And, then, secondly, the question
8 from a manpower point of view, the budget that's directed
9 towards university student programs, NEUP?

10 REGALBUTO: Yes. And, in your packets, you may have
11 backup material. I'm not sure if you were given the backup
12 material or not. That should be Slide 15. No? Okay.

13 Jeff, could you provide to them Slide 15 and 16 on
14 the backup material? I believe this is information that we
15 have made available in the past to the Board. Unfortunately,
16 this is 2011, and that is a budget that has not been
17 approved. But, we certainly know the percentages are pretty
18 clear in here.

19 So, for the fuel cycle R&D in 2011, the request is
20 \$191 million. And, if you look at the line that spells
21 University, you will see there is a \$35 million allocation
22 for University Programs. For example, Used Fuel Disposition
23 is \$23 million, and we will give you copies of that.

24 LATANISION: Yes, that's precisely what I was looking
25 for. I'm just curious, how much of that, for example, in

1 terms of University Programs, how much of that \$35 million
2 has been distributed? Do you know offhand?

3 REGALBUTO: Okay, there was a call, and, you know,
4 continued resolution has caused an impact to our University
5 Programs.

6 LATANISION: What's been spent?

7 REGALBUTO: So, what has been spent is the current
8 programs that exist, and, you know, when you form the
9 university, you don't form them on one year, even though our
10 budgets are spelled out in one year.

11 LATANISION: I'm glad to hear you say that.

12 REGALBUTO: You know, I mean, we all went to grad school
13 and we know that we need at least four years for a Ph.D., and
14 Andy will not issue us one if we wouldn't serve at least four
15 years. So, the majority of this money is allocated in a
16 three or four year process. So, when you look at this
17 number, you have mortgages already with the promissory notes
18 of people that you funded two years ago, three years ago and
19 four years ago. So, it's a ramp area.

20 The first priority is to continue those funded
21 because the other people are currently in the program. We
22 had a call and we received a large number of proposals, many
23 of them very, very good, and we have put that distribution on
24 hold because we have not been given our budget for FY 11, so
25 I don't know really how much money we have to distribute at

1 this point. But, we are very sensitive to the fact that the
2 master's program is a minimum of two years, a Ph.D. program
3 is a minimum of four, and the role of the university is to
4 educate. So, you know, it's in the best interest of all of
5 us to approach it that way.

6 GARRICK: Is there a way to break this out a little
7 differently? For example, in terms of how much of this money
8 is analysis, how much of this money is laboratory work, how
9 much of the money is--

10 REGALBUTO: I could certainly provide that information
11 to you. I don't have it in hand right now, but we do have, I
12 mean, you can probably see that this is a computer generated
13 flow sheet. We have a really good accountancy system, and we
14 can generate reports by university, by national lab, by
15 location, by area. I'll be more than happy to provide that
16 to you.

17 GARRICK: I'd be very interested in the activity, how
18 much of this is kind of in the paper category, how much is in
19 the development category.

20 REGALBUTO: Yes. Yes.

21 GARRICK: How much is in the pilot plan?

22 REGALBUTO: Right. So, we can break it down, for
23 example, by experimental program, by facilities, by what we
24 call reports.

25 GARRICK: Right.

1 REGALBUTO: And, so on. But, the information as we
2 have, we just have to generate the report that benefits the
3 Board, and we'll take that as an action item.

4 GARRICK: Okay, thank you. Ali?

5 MOSLEH: Mosleh, Board.

6 Slide 5, you have listed a number of mission
7 objective program objectives. Looking at that, some of those
8 depend on what kind of power generation mix we have, what
9 kind of reactor technology you're envisioning. Is any of the
10 new concepts or things that are currently being discussed,
11 such as a small modular reactor, part of the mix that you're
12 considering when you're looking at that?

13 REGALBUTO: Yes. And, you know, this is the title.
14 Unfortunately, it's only for Fuel Cycle Technologies. If we
15 go to Slide Number 4, please, you will see that we also have
16 another area here, which is Reactor Technologies, and then we
17 have what we call the Integration Part. What you describe
18 about SMRs is in this area, and then we have the combined,
19 you know, we have to gel everything together. Today, I only
20 presented to you this area, so I didn't cover SMRs. SMRs
21 will be here. But, if the Board is interested, perhaps in
22 your next meeting, John Kelly can come give you a briefing on
23 that area, if you all are interested.

24 MOSLEH: I was wondering what, concerning the
25 implications of those designs in your--

1 REGALBUTO: Yes, and that comes in part of the--if we
2 could go to Slide 7, please? If you're looking here,
3 Requirements, right, for example, if we move forward with
4 SMRs and that becomes a very viable option, when the system
5 study analysis was done, SMRs is considered as one of the
6 options. And, so, as we go back in time, perhaps the option
7 with SMRs might become a more dominant option that we need to
8 go in there, and that is certainly part of this exercise. It
9 is not frozen in time, because, you know, a fuel cycle is a
10 dynamic process.

11 MOSLEH: That's what you meant by the systems dynamics?

12 REGALBUTO: Yes, by the systems dynamics.

13 Unfortunately, sometimes we only see data reported as a
14 steady state in 100 years, but they don't tell you what it
15 takes to get from zero to 100 years, because it's not like
16 the reactors disappear overnight and new reactors come in.
17 So, it's a phased approach where you have transition
18 technologies going along, and sometimes you see reports and
19 they don't capture, they just tell you a steady state in 100
20 years. Well, the reality is that a fuel cycle never reaches
21 steady state. That is part of the recognition to that.

22 So, that's why we have this iterative loop, because
23 we may do the study, and, you know, other people may do a
24 study and base it on different assumptions, the conclusions
25 may be different and we have to decide what are the different

1 assumptions that were being done, or are the assumptions
2 correct, or did we miss something, and we have to continue
3 doing it. So, what we do is we generate the tool, but that
4 tool is only a mechanism that allows us to really predict
5 continuously and self-police ourselves, if you want to call
6 it.

7 MOSLEH: Thank you.

8 GARRICK: Henry?

9 PETROSKI: Petroski of the Board.

10 You used the term science based in a couple of
11 places.

12 REGALBUTO: Yes.

13 PETROSKI: Could you elaborate on exactly what you mean
14 by science based?

15 REGALBUTO: Okay. Science based is not as science based
16 as the office of science, you know, it is more discovery. It
17 really is more of an approach that is less trial and error.
18 So, for example, if you're doing fuel fabrication and you
19 realize that a batch of samples, you know, is pretty brittle
20 and it doesn't meet the requirements, but you have another
21 set that is good, you want to try to understand what are the
22 qualities that make that batch good, in addition to saying
23 this is a good candidate. So, you go a little step further
24 in there.

25 If you develop a solid extraction molecule, for

1 example, then you want to ask, okay, not only we have one,
2 this is good, it's also coming on and saying okay, what were
3 the attributes that make that material successful. And,
4 then, maybe you can develop an improvement to that. That's
5 more our science based for us.

6 PETROSKI: So, is it fair to say that it's more applied
7 science than basic science?

8 REGALBUTO: Yes, sir, it is applied science.

9 GARRICK: Okay, Bill?

10 MURPHY: This is Bill Murphy of the Board.

11 You heard in John Garrick's introductory remarks a
12 conclusion that the Board has come to that one way or
13 another, geologic disposal of nuclear waste will be
14 necessary. And, it seems in contrast, you use the term "full
15 recycle" and "closed fuel cycle." Do you realistically
16 anticipate there's a fuel cycle that does not involve
17 geologic disposal of wastes?

18 REGALBUTO: Okay, when we use the word "fuel recycle,"
19 it doesn't mean that everything gets recycled. It means the
20 material that has a fissile value, and there are a lot of
21 materials when you account for the spent fuel that do not
22 have fissile value. NE has always recognize that no matter
23 what fuel cycle we select, the need for a repository will
24 always be there.

25 MURPHY: So, full recycle means--

1 REGALBUTO: Full recycle means fissile content. From a
2 value point of view, it's what's still valuable is any
3 material that still has residual fissile energy content.

4 MURPHY: So, how does that contrast with the concept of
5 a closed fuel cycle?

6 REGALBUTO: A closed fuel cycle basically--are you
7 asking between partial recycle and fuel recycle, or are you
8 asking open cycle?

9 MURPHY: Well, I'm confused. It seems to me to be a
10 conflict between the notion of the necessity of geologic
11 disposal and a closed fuel cycle, which would seem to imply
12 that everything gets recycled.

13 REGALBUTO: No, in a closed fuel cycle, you would still
14 have high-level waste that would go into the repository, many
15 containing tracers of fissile material that no longer have
16 energy content, and of course the collection of fission
17 products that will be generated in each of the passes as you
18 go along the reactor.

19 MURPHY: So, the closed cycle includes a geologic
20 repository?

21 REGALBUTO: Absolutely. And, also, even in a closed
22 cycle scenario, there may be materials that you may choose
23 not to recycle. So, you would still have a partial amount of
24 spent fuel that would have to be disposed. You know, it's a
25 value approach. At one point it's economic to recycle some,

1 it may not be all, and you still have to dispose of spent
2 fuel in some fashion, and you still have to dispose of the
3 secondary waste generated from a closed fuel cycle, of which
4 some is high-level waste. So, the need for a repository, and
5 I don't want to give you the impression that in a closed fuel
6 cycle you don't need a repository, no, you will always need a
7 repository. And, that is a reality of the system.

8 MURPHY: Thank you.

9 GARRICK: Andy?

10 KADAK: Yes, Kadak, Board.

11 You said this is a goal oriented program, and I'm
12 trying to understand the goal.

13 REGALBUTO: Yes, the goal is a sustainable fuel cycle by
14 2050, with the understanding that--

15 KADAK: That we all love you and everything.

16 REGALBUTO: Yes, with the understanding that this
17 argument just came out in April.

18 KADAK: Can we get a little more specific?

19 REGALBUTO: Yes. It is recognized that part of the
20 goals will be changed after the Blue Ribbon Commission issues
21 its recommendations. So, this document will be revised when
22 the Blue Ribbon issues its recommendations. We are looking
23 forward to those recommendations in the report in July, and
24 definitely looking forward to the final report in February.
25 It is a stop point for us to re-evaluate our options at that

1 point. So, the current goal is what you see, and I clearly
2 agree with you that it's a little undefined, but we need to
3 wait for the Blue Ribbon recommendations to put more
4 definition into this.

5 KADAK: Okay. And, you also know that the Blue Ribbon
6 Commission is not a technical body?

7 REGALBUTO: Correct.

8 KADAK: And, you are a very technical person, you've
9 done chemical separations for many years.

10 REGALBUTO: You're outing me.

11 KADAK: Pardon?

12 REGALBUTO: You're outing me on my chemical separation
13 background.

14 KADAK: No, I'm not. I'm just reflecting on your
15 technical accomplishments.

16 REGALBUTO: Thank you.

17 KADAK: But, you know this business better than most
18 about separations options. Do you see anything dramatically
19 new coming out of this science based research that will
20 greatly alter the direction?

21 REGALBUTO: What we're trying to do is use our budget to
22 the best way. So, for example, the system analysis tool,
23 once we have the tool, we can run it with whatever different
24 requirements, policies, and so on comes out. So, the tool
25 itself, the money that we're spending developing the tool, is

1 money well spent because we can use it after Blue Ribbon, and
2 I know they're not going to issue technical recommendations,
3 they're going to issue more guidance, but as that guidance
4 goes into our R&D, that's money that we developed in this
5 tool.

6 In the separations and fuel cycles area, we're
7 concentrating on understanding the fundamental mechanisms
8 that really drive any separations. I mean, you can go by
9 changes in compositions, sizes of molecules, and so on and so
10 forth, so that knowledge doesn't get thrown away just
11 because, you know, we change an approach. That is still the
12 driving forces for a mechanism. The failure of fuel is still
13 the same, you know, there's brittle material, there's
14 corrosion, and so on and so forth. So, when we design these
15 processes, we're keeping it to the areas that there is a
16 continuum on them, and then there will be the area that will
17 be evolving as we move along, because that is driven by
18 policy, not by science for us. So, we have to make sure that
19 we have a core that continuously improves knowledge, and then
20 the one that responds to policy needs.

21 GARRICK: Okay. Well, thank you very much, Monica.

22 REGALBUTO: Thank you. I appreciate the time.

23 GARRICK: Bill?

24 BOYLE: Thank you for the opportunity. As Chairman
25 Garrick mentioned earlier, I've made a number of

1 presentations through the years to the Board and members of
2 the audience, but it was always as a member of the Staff of
3 the Office of Civilian Radioactive Waste Management. And, as
4 you can see, I'm now representing the Office of Nuclear
5 Energy.

6 So, because of that change, my presentation in part
7 is a little bit different than Monica's, in that I will also
8 focus somewhat on the people, because I felt that through the
9 years, both the Board, the Staff, and many members of the
10 audience certainly got to know the Office of Civilian
11 Radioactive Waste Management, including the people, who was
12 responsible for what. And, so, I will spend some time
13 focusing on that as well, not just the technical work that we
14 do, because this is the Nuclear Waste Technical Review Board,
15 and the disposition part is disposing of the waste.

16 So, I would expect in the years to come, there will
17 be a lot of interactions between my group within NE, and I'm
18 sure the Board will have interactions with other parts of the
19 Department of Energy, but it was because of the probability
20 of many interactions that I was going to focus somewhat on
21 the who of our work as well.

22 As Monica said, she spoke about all of Nuclear
23 Energy's fuel cycle responsibilities, and I'm just going to
24 speak about one part of it, the disposition part, which, you
25 know, disposition equals storage, transportation, and

1 disposal.

2 This is the slide that Monica presented, except
3 I've highlighted in red Objective Number 3, because that's
4 where my group fits in. As she said, one and two are related
5 to reactors, and this is the part where used fuel disposition
6 fits in as part of the nuclear fuel cycle.

7 And, this is another slide that Monica shows. And,
8 again, to emphasize some of the people, my group is NE-53
9 down there at the bottom in green. And, we report up to
10 Monica for Fuel Cycle Technologies.

11 Okay, now it's back to the what of what do we do.
12 You can all read this, and I will shorten it a bit, but our
13 main goal is to identify alternatives, and conduct research
14 and development in those three main areas down at the bottom,
15 storage, transportation, and disposal.

16 Now, I will have a couple slides on the who. This
17 one shows only Department of Energy staff members, and it's
18 really how we have divided ourselves up from a human
19 relations point of view. There is roughly 21 of us, I
20 believe, and we needed to divide up into some way in terms of
21 we needed to have multiple supervisors. And, so, we divided
22 it up this way between Engineered and Natural. And, the
23 reason we did that was take criticality, for example, that's
24 of interest in both storage, transportation, and disposal.
25 If we had rearranged ourselves in those lines, storage,

1 transportation, and disposal, arguably, we might have needed
2 a criticality person in each, and we didn't have that much
3 money, nor that many people.

4 So, we have set ourselves up to be matrixed out.
5 We do have somebody who understands criticality and is
6 responsible for it, and that person will work on storage, as
7 necessary, transportation, as necessary, and disposal, as
8 necessary. Corrosion is another example. In the seismic
9 activity, you have to account for that in both storage and
10 disposal. So, this is why we set ourselves up from a human
11 relations point of view to be able to have the staff matrixed
12 out.

13 Now, some or all of the people on this slide are in
14 the room. Jeff Williams is the Deputy, and he's in the front
15 row over there. I know he's made presentations to the Board
16 through the years. I see Tim Gunter in the room, and he's
17 the Engineered Systems team leader. I don't know if Ned
18 Larson is in the room, and I didn't see a hand go up.

19 So, that previous slide was focused only on the
20 Department of Energy organization and staff. As is typical
21 in the Department of Energy, the bulk of the day to day
22 detailed work is done by the national laboratories, and so
23 this slide has some national lab staff as well.

24 In terms of how and who, we get our work done, it's
25 shown here, and it was also shown in the backup slide, we

1 have four control accounts in the Used Fuel Disposition area,
2 Management and Integration, International and External,
3 Transportation and Storage, and Disposal. And, in that
4 backup material that was given to you for the \$23,800,000-
5 something, the bulk of that is really is Disposal, about
6 twice as much in Disposal as in Transportation and Storage,
7 and the listed amounts for the other, the Management and
8 Integration and the Interactions Groups.

9 We have an overall campaign, we get all the work
10 done in the construct of a campaign. And, in Monica's
11 presentation, she lumped some of the campaigns together. I
12 think we actually, in Fuel Cycle, we have about a Used Fuel
13 as just one of them, and we only have one campaign in Used
14 Fuel. We could have alternatively set it up such that we had
15 a Storage campaign, a Transportation Campaign, and a Disposal
16 campaign, but this was the organization that existed when I
17 came over to Used Fuel Disposition, which was September 26th
18 of last year. And, all the federal staff actually came over,
19 with the shut-down of the Office of Civilian Radioactive
20 Waste Management. We've only been involved in Nuclear Energy
21 since September 26th, and this was the setup that existed
22 then, and it's worked quite well.

23 Ned Larson, who is not here today, he's the federal
24 program manager, and his laboratory counterpart is Peter
25 Swift, and Peter is in the room, he's back there. And,

1 underneath them, again, there's these four control accounts,
2 each of which has a federal manager. Jeff Williams has the
3 first two, Ned, who is not here, has Transportation and
4 Storage, and Tim Gunter, who I introduced, is the federal
5 manager for Disposal. And each one of these control accounts
6 has a lead laboratory manager, lab control account manager.
7 For the first two, Management and Integration and
8 International and External, it's Mark Nutt of Argonne
9 National Laboratory. For Transportation and Storage, it's
10 Ken Sorenson of Sandia National Laboratories. And, for
11 Disposal, it's Kevin McMahon of Sandia National Laboratories.
12 I don't believe any of those three are in the room today.

13 Now, back to the what. These next two slides,
14 again, you can read them, and I will summarize them, if you
15 will, starting with the near-term objectives. The first,
16 most important part, is provide technical expertise to inform
17 policy and decision-making. You know, as the U.S. moves
18 forward with considering different fuel cycles, each of which
19 produces its own different wastes on the back end, our job is
20 to provide the needed technical expertise to inform policy
21 and decision-making.

22 These next two bullets can be summarized as working
23 at today, what do we know and what do we not know? It's
24 identify the data gaps, because what with the stopping of
25 Yucca Mountain in the budget and the shut-down of the Office

1 of Civilian Radioactive Waste Management, we have everything
2 is available to us. You know, we're not focused on a
3 geology, a site, a solution. It's where other countries are
4 and where the U.S. was a while ago, so we have to ask
5 ourselves for each of the concepts we're looking at, you
6 know, what do we know, and what do we think we need to know.

7 GARRICK: The middle two bullets imply that you're
8 really analyzing the Yucca Mountain experience in some level
9 of detail, among other things, among other experiences?

10 BOYLE: Well, I would say it factors into, both on the
11 federal side and the lab side, many of the people that are
12 now in Used Fuel Disposition, actually worked on Yucca
13 Mountain. And, so just as humans, they can't help but bring
14 their experience with them.

15 GARRICK: Well, that sounds kind of fuzzy. I'm thinking
16 of there were very tangible specific advancements made in
17 analysis technique, in flow models, in rock mechanics, in all
18 kinds of things associated with the one activity that we say
19 we've got to go forward with, and that's a high-activity
20 waste repository. So, there's the most concentrated effort
21 of the last 20 or 30 years of technology. I hope that what
22 this means is that you're really taking a look at that, and
23 that you're being able to reassure the citizens that that \$10
24 to \$13 billion didn't go completely to waste.

25 BOYLE: Yes, and I would say it all depends somewhat,

1 like for example, it all depends on what particular geology
2 or concept we're looking at. For example, if we're looking
3 at granitic rocks or, you know, mined geologic repository in
4 granitic rocks, in granites or fractured, or we're looking at
5 borehole disposal in a fractured brittle rock, I agree with
6 you 100 percent that the first place we should look is what
7 models were we using at Yucca Mountain.

8 Now, salt is a different story. The scientists, we
9 would in that case, turn to the people at WIPP or the
10 Germans, who have more experience there.

11 So, it all depends upon the problem. And, again,
12 back to my first part of the answer, I think that naturally
13 comes, for many aspects of the problem, because the people
14 came over. Like, we still have Lawrence Berkeley National
15 Lab involved. They develop TOUGH as a code. That would be
16 the first tool they would probably look at in their toolbox.
17 So, I think yes, depending upon the problem. But, there are
18 other problems, like for example, since it's wide open again,
19 we don't have a site, there were certain things we never
20 looked at at Yucca Mountain or beyond the FEP stage, if we
21 screened them out, like glaciation that the Swedes and Fins
22 look at, and the Canadians, we really never did at Yucca
23 Mountain, other than we represented it as wetter climates in
24 the future. But, we didn't have to ever worry about loading.

25 So, there are certain areas that aren't

1 transferable from Yucca Mountain. And, in that case, we look
2 out, well, what have others done in this area, much like the
3 Germans and WIPP, for experience, and so on.

4 GARRICK: I'm thinking of a lot of things. I'm thinking
5 of what did we learn from the project that tells us about how
6 we can design and develop a better specification, for
7 example, for site characterization. I think that one of the
8 things the Board kept hearing about, if we had only known
9 this, we would have done this, et cetera, et cetera. Well,
10 we have a tremendous experience base here with respect to at
11 least understanding some principles that should be applied
12 with respect to being able to relate the results to the
13 supporting evidence, of which the site characterization is
14 one of the most critical inputs.

15 BOYLE: Yes, and I'm sure we'll hear some other input on
16 that this afternoon from Lake Barrett and George Dials and
17 Chris Kouts, and others. But, my own is is one valuable
18 lesson to be learned is in site characterization, you would
19 want to spend your money on the things that are important.
20 Well, you don't necessarily know a priori what's important.
21 You know, you've got to go get data, create some sort of
22 model that provides insights into what's important. So, it
23 becomes a bit cyclical and iterative in terms of you refine
24 your models, you get more insights, you then decide to study
25 this.

1 To the extent that you can make that iterative
2 process faster and cheaper, but nevertheless robust, I think
3 that's an important lesson to be learned because the sooner
4 you find out that although some things of interest to some
5 scientist, but it's not really important to the performance,
6 when you can stop it, you can save a lot of money.

7 And, the last bullet deals with, and of course we
8 will have to develop models to analyze our systems. And, the
9 next slide, believe it or not, is the long-term objectives
10 are really pretty much the same, in that we're going to
11 continue to develop our understanding. That's what the first
12 two bullets deal with. And, the last one is, and we will
13 develop our models more, all in this time frame that's a
14 little bit further out.

15 And, the last two slides deal with the third and
16 fourth control accounts I showed, which is where the bulk of
17 the money is, not only the bulk of the money, it's where the
18 technical work is largely done.

19 And, in Storage and Transportation, that first sub-
20 bullet, conceptual evaluations, what we're looking at there
21 is how do you develop data to justify 100 years of storage,
22 200, 300 years. You know, what do you want to measure? How
23 do you want to measure it? Where do you want to measure it?
24 Does a facility exist today? Do we need to build something
25 new? Does half a facility exist today? So, we have people

1 working on these concept evaluations, looking at alternatives
2 in terms of what do we think we need to know, and what do we
3 need to measure, and where could we do it, and what do we
4 have to build?

5 The R&D opportunities task for Storage and
6 Transportation, that's looking at, well, what do we do today?
7 Where are there any areas in which we think we need more
8 information?

9 Security and Transportation are very similar. They
10 both go on today, so we're looking at what do we know today
11 and where do people think they need to know more? And,
12 specifically, issues that come up with respect to
13 Transportation and Storage is the increasing burn-up of the
14 fuel, and what will happen after extended storage when you
15 then go to transport it. What state will it be in? And,
16 it's very similar, in my mind, to the issue you face with a
17 repository, in that the time frames involved, you know,
18 repository is thousands, ten thousand years, out to a
19 million, storage is shorter, but it's still multiple life
20 times. What kind of tests can you do in a shorter time frame
21 that nevertheless supply meaningful insights.

22 And, the last slide deals with the Disposal
23 Research. It's, for now, if you will, and again this started
24 a year or two ago, for now, we're looking at some specific
25 rock types that I would say it's fair enough to say look

1 around the world and what rock types have people considered
2 for waste repositories. Salt, we're looking at salt.
3 Granites, we're looking at granites. Fractured rock, well,
4 we did that, all granites are fractured anyway. Shale,
5 Belgium and France are looking at shales, so we will as well.

6 So, we're looking at the standard candidates, and
7 added to it, borehole disposal, which is actually somewhat
8 independent of rock type, but not entirely. You can't put a
9 borehole in pore enough rock. You know, you can't do it
10 economically. But, we're also looking at that as an option.
11 And, so, for these different media, we are looking at well,
12 what do we know and where do we need to add to it. And,
13 again, as I've mentioned, some of what we know has been
14 generated by other countries, you know, because we here in
15 the U.S. for the last two decades, we're looking at one
16 concept, and now we have other concepts to look at, and that
17 relates to the second sub-bullet.

18 We were considering specific included FEPs at Yucca
19 Mountain, and now because we don't have a site, we don't have
20 fixed geology, we have to consider other FEPs, glaciation
21 being an example again. And, because we don't have a
22 specific site and a specific design, what we mean by generic
23 there is we need to ask ourselves for those rock types and
24 those concepts do we have models that have enough modules
25 built into them to allow the right sorts of physics and

1 chemistry to be evaluated. And, so, now we're developing
2 those models. With the end result being that sometime we
3 could inform policy and decision-makers that well, if you
4 considered a repository in this rock type or that rock type,
5 here's what it might cost you, here's what the performance
6 might be.

7 In these last two sub-bullets, I'll try and
8 describe those. This is where we really flange up to the
9 rest of fuel cycle. As Chairman Garrick mentioned, the
10 Department, specifically the Office of Nuclear Energy, is
11 looking at these other concepts, fast reactors, he said
12 esoteric ones such as transmutation, and things like that.
13 So, people can develop all these different alternatives, each
14 of which has its various pluses and minuses in terms of
15 constructing them, operating them, but also in terms of what
16 do they spit out the back end in terms of waste.

17 This gets back to Bill Murphy's question of Monica,
18 that each of those alternatives will produce different
19 amounts, different types of waste. Each type will have
20 different amounts and different characteristics. And, each
21 of those waste types and amounts will need some sort of
22 disposal. So, you have to consider the whole system, not
23 just the disposal of the high-level wastes. It wouldn't make
24 much sense necessarily to choose a system that seemed to
25 produce lesser amounts of high-level waste, but just

1 voluminous amounts of greater than Class C or low-level
2 waste. By the time you put pencil to paper, you might find
3 out that that was a disadvantage to option, even though it
4 might have produced less high-level waste.

5 So, we, in these last two bullets, that's what
6 we're looking at. For what do these alternatives upstream,
7 the different types of reactors, and the different fuel
8 types, what do they spit out the back end, how much do they
9 spit out, and what might we have to do to dispose of them?
10 And, that is my last slide.

11 GARRICK: Okay, Howard?

12 ARNOLD: Howard Arnold, Board.

13 It seems to me one of the important outputs from
14 the previous program was the TSPA analysis.

15 BOYLE: Correct.

16 ARNOLD: I think a tremendous job was done there.
17 Looking on Slide 5, you have the Engineered Systems and
18 Natural Systems, and those bullets underneath. Who is
19 keeping alive the TSPA and getting it ready for whatever is
20 chosen next?

21 BOYLE: Well, it's easier to find on the next slide.
22 It's--well, go back one slide. Again, this slide was a human
23 resources slide. That responsibility, just by choice and the
24 people involved, we put under Ned Larson. Now, I'll go to
25 the next slide. Those activities would fall in here.

1 ARNOLD: Do you think you could bring it back alive, the
2 TSPA model?

3 BOYLE: Yes.

4 ARNOLD: Okay.

5 GARRICK: David?

6 DUQUETTE: Duquette, Board.

7 I don't envy you your job, because I'm not sure
8 what you do. It' just seems to me that this Board has been
9 exposed to lots and lots of different disposal concepts, and
10 that it's very difficult to have a generic concept of
11 anything. Let me address the EBS because that's mostly where
12 I'd be coming from.

13 We know that each of the rock formations that have
14 been looked at by other countries, as well as our own in the
15 Seventies and Eighties, would come up with a different
16 concept for an EBS type of engineering. I guess what I'm
17 asking is is how you do a generic study of what an EBS might
18 be without knowing almost anything about rock formations,
19 except for what we know about other nations' rock formations
20 and our own early investigations?

21 And, the second part of that question is something
22 that I think is missing in your program, and maybe there's
23 some other connections someplace, is we know that each type
24 of disposal process, whether it be in shale or rock or clay,
25 or anything else, has a price tag attached to it, and I don't

1 see anything in your program that's going to be able to
2 advise any kind of a policy-making group as to what these
3 things are going to cost. For example, if I go to granite,
4 is it going to be ten times as much as clay?

5 We do have the option in this country of probably
6 more options than almost any other country in terms of the
7 formations that we can look at, because of the size of the
8 nation and the different geological structures. So, my
9 question will be are you just a stable of people waiting for
10 someone to come up with a concept someplace that you can then
11 address? In the meantime, are you looking at options? And,
12 my second part of the question is how are you going to
13 address the economics of the whole process?

14 BOYLE: We're not just waiting for somebody to give us
15 an option. Although I didn't say it earlier, another way of
16 rephrasing your question is in order to do analysis, you have
17 to analyze something. And, a lot of people don't like that
18 word generic, and I guess I've grown--I didn't coin it--but
19 I've grown accustomed to it. In those activities where we're
20 looking at whether it's the system or the natural or the
21 engineered system, people either already have or are in the
22 process of or have plans to analyze something, they've got to
23 bite the bullet and say okay, for the purposes of this
24 analysis, it's going to be a borehole of this with a waste
25 package of that.

1 Now, the problem with doing it that way is you did
2 an analysis of that, and if you want something else, you've
3 either got to get insights into the something else from the
4 one you did, or you've got to do another analysis. But, yes,
5 people are making those choices to analyze something. And,
6 I'm not saying we know that what we're analyzing today is
7 going to be the thing chosen, but we do have to make some
8 choices to have some results.

9 And, the money factors in as well, because back to
10 the discussion of each of those alternatives, you know,
11 different reactors, different fuel types spit out these
12 different wastes and different amounts, and the cost of
13 disposing is different for each of the different types and
14 amounts. So, that is part of our work in concert with our
15 colleagues and the rest of NE to look at. But, the money
16 doesn't necessarily factor into every analysis we're doing
17 today, but we do realize that if we're to provide credible
18 input to the policy and decision-makers, that ultimately, the
19 cost is part of that. Because, for all we know, policy-
20 makers might actually choose something that's more expensive
21 because it provides some other benefit, you know, greater
22 protection, or something or other.

23 GARRICK: Ali?

24 MOSLEH: Bill, on your near-term campaign objectives,
25 the ones that refer to development of comprehensive

1 understanding, the two bullets in the middle on Slide 7, what
2 would be the work product of that activity? Is it going to
3 be a series of reports?

4 BOYLE: Yeah, it would be, and I'm pretty sure what I'm
5 about to say is true, I think our work plans for this year
6 were given to the Staff members? Yeah, Jeff Williams gave
7 them to Carl DiBella. And, all those work plans, you know,
8 the plans we have with the national labs under Peter as the
9 National Technical Director, it lists all the reports, and
10 there's quite a few of them. I actually think it's maybe,
11 you know, because again the way DOE does project management,
12 as others do, you know, there's Level 1 milestones, Level 2
13 milestones, Level 3 and Level 4 milestones. I think we have
14 one Level 1 milestone, that's on storage R&D opportunities.
15 We have four or five Level 2 milestones. Tens and tens of
16 Level 3s, and even more of Level 4s.

17 So, yes, generally, the output--and, back to a
18 question, I forget who asked it, what's the division of
19 money, it was asked of Monica, testing versus analysis and
20 reports. The bulk of our money right now, but not all of it,
21 is in analysis and reports, not testing.

22 And, when you see the 14 plus million, I think it
23 is, for disposal, yeah, \$14,562,000, the bulk of that is on
24 analysis and reports, labor, if you will, not as much on
25 testing, although there is some testing.

1 MOSLEH: And, then, on the disposal research, who's
2 doing that work, you know, the ones that you've listed?

3 BOYLE: Pardon me?

4 MOSLEH: The list of research areas, generic
5 evaluations, who's doing that work? 10, Slide 10.

6 BOYLE: The generic disposal system level modeling?

7 MOSLEH: Yes.

8 BOYLE: The people I interact with are Peter, Ned and
9 Tim, but I believe Cliff Hanson is one of the people. Peter,
10 do you--

11 SWIFT: Peter Swift, Sandia.

12 For each of these activities, it is a multi-lab
13 effort, and the lab teams are people you're familiar with,
14 people at Lawrence Livermore, Lawrence Berkeley, Los Alamos,
15 Sandia, and labs that you have not had as much work
16 interacting with through the RW Program, the NE labs, Idaho,
17 PNL, Savannah River, Oak Ridge. So, for example, take
18 inventory and low-level waste disposition, our leads for that
19 activity are Savannah River National Laboratory at Savannah
20 River.

21 The generic modeling activities, the leads for them
22 are at Sandia. The work is at the appropriate labs, for
23 example, Natural System, we have Los Alamos working on far
24 field saturated transport. We have Lawrence Berkeley lab
25 working on thermal processes and chemical processes in the

1 near field. Does that answer it?

2 MOSLEH: Yes. Depending on the area, some of the
3 expertise are outside this county, do you interact with them?

4 BOYLE: Well, we did have the one slide of international
5 interactions, which I'll take a minute to answer that.
6 Again, because as a country, we were focused on a specific
7 site, specific design, and that sort of thing, OCRWM and the
8 labs that worked for us, we certainly had interactions with
9 the international community, but because of some aspects of
10 the unsaturated versus saturated, and that sort of thing, one
11 could argue we didn't have as much commonality, I'll use
12 Finland and Sweden as an example, we didn't have copper waste
13 packages, they did. But, now that we as a country have said
14 no, it's all wide open again, we actually will probably have
15 more international interactions. Like, for example, using
16 copper packages again, to the extent that we consider them,
17 it would be natural for us to interact with Finland and
18 Sweden because they're so far along. So, we do have the one
19 control account with International, and we do interact with
20 other countries, and we're looking to do more.

21 GARRICK: Ron?

22 LATANISION: Latanision, Board.

23 I think you're hearing the questions from Howard
24 and from Dave, a theme that I think probably is on the mind
25 of a lot of people in this room, and that would be is it

1 implicit or maybe explicit in the mission of the Fuel Cycles
2 Technology Group to preserve or maintain the technical
3 infrastructure to ultimately deal with waste disposal, is
4 that part of what your mission is?

5 BOYLE: I would answer that yes, the Department of
6 Justice has actually made that statement to the Circuit Court
7 of Appeals. You know, if you go back and you read the
8 various filings and the lawsuits, the government does
9 recognize it has an obligation to dispose of this material,
10 and it is well aware of that obligation and will take care of
11 it, and is maintaining the corporate technical ability to do
12 it. It's just that it's not the former choice.

13 LATANISION: I mean, obviously, the staffing has changed
14 dramatically since OCRWM has disappeared. So, is the concept
15 then to maintain the leadership positions with the thought
16 that ultimately, when the need arises, you will draw on the
17 national labs to staff this, or what's the vision?

18 BOYLE: Well, my take on it is DOE, you know, is the
19 government entity with the contracts with the national labs,
20 and that's typically how DOE gets its day to day technical
21 detailed work done. As long as DOE has this responsibility,
22 I'm sure the labs will be involved.

23 LATANISION: Thank you.

24 GARRICK: Mark, Andy and Thure. Mark?

25 ABKOWITZ: Abkowitz, Board.

1 I'm interested in learning more detail than what
2 you've given us in these slides. And, my question I guess is
3 similar to the conversation that I had with Monica in which
4 there's an implementation plan behind what she talked about
5 that provides much more detail about what you are really
6 doing, and I think is the level of detail the Board would
7 need to try to understand how specific initiatives are being
8 carried out, who's carrying them out, what they're trying to
9 accomplish, when they're trying to accomplish it, how it
10 integrates with other cohorts in their own group and across
11 groups, et cetera, et cetera. Does such a document exist in
12 your program?

13 BOYLE: Oh, yes, it's one of the four.

14 ABKOWITZ: Okay. So, this implementation plan is
15 essentially the--has all of the information that the Board
16 would be looking for to properly examine how this part of NE
17 is expecting to function?

18 BOYLE: I don't know about all. That's the only thing
19 I'm hesitating at. With the roadmap, the implementation
20 plans, the annual work plans we gave, supplemented by future
21 meetings like this, like, for example, when Peter mentioned
22 those last two bullets I talked about, the low-level waste
23 and inventory where I described, you know, it's all these
24 different waste streams, different amounts, and that sort of
25 thing, done by Savannah River, I would encourage the Board to

1 ask for a discussion of that. It's a fascinating topic. So,
2 it's all those things together. But, when the implementation
3 plans become available, that will help. If you have annual
4 work plans, which I will say right now that absent an over-
5 arching document like an implementation plan, there's a lot
6 of detail there and you may get lost in the detail, but the
7 detail is there in the work plans.

8 ABKOWITZ: Okay, thank you. We'll take our chances on
9 the getting lost part. I'd like to point out that Monica did
10 indicate that drafts exist of all of those documents. I'd
11 like to remind you that the Board has access to pre-
12 decisional material, and, so, we'd like to see that as soon
13 as possible.

14 BOYLE: Yeah, I'm aware of that, and, so--

15 GARRICK: Okay, Andy?

16 KADAK: Kadak, Board.

17 I would like to second Mark's comment. I think our
18 role is to review your research plans to see if they're
19 focused, if they're going in the right direction. And, this
20 kind of presentation hardly does that for us, honestly. So,
21 as soon as you can have those plans available, that would be
22 very important for our mission.

23 The other thing, have you seen the Board's report
24 on interim storage?

25 BOYLE: The executive summary, yes, if that's it. The

1 one that's ten or twelve pages, that's the one I looked at,
2 the one that came out in December, as I recall.

3 KADAK: Yes. We have a very extensive report on the
4 technical needs for dry cast--

5 BOYLE: Sure.

6 KADAK: --for interim storage--

7 BOYLE: Right.

8 KADAK: --for up to over 100 years. And, I would
9 suggest that as a--what we're trying to see is whether you're
10 reading some of these documents and seeing if your research
11 is linked to anything that's going on.

12 BOYLE: I won't put John Kessler on the spot, but he's
13 in the audience. In the storage area that we, the Office of
14 Nuclear Energy, NE-53, participates, I believe the acronym
15 is, everybody calls it ESCP, E-S-C-P. And, we participate,
16 Nuclear Regulatory Commission participates, EPRI
17 participates, industry participates. Yes, our people, when
18 your executive summary report came out, Ken Sorenson, I know
19 that right there, the lab control account manager, he's read
20 it. I've read it.

21 KADAK: I'm not talking about the executive summary.
22 I'm talking about the technical content.

23 BOYLE: Oh, I'm sure he has. I've read the executive
24 summary, and I'm sure that our people have--I think we're
25 pretty plugged in. And, John, if I'm not mistaken, I believe

1 other countries are plugged into the extended storage
2 cooperative program as well.

3 KADAK: Okay. Well, John is not a DOE employee, as best
4 I remember.

5 BOYLE: No, but is this under your organization?

6 KESSLER: John Kessler, Electric Power Research
7 Institute.

8 We do have what we call the--it's been dubbed the
9 ESCP program, Extended Storage Collaboration Program. The
10 idea is to essentially collect up and get everybody who is
11 doing work all across the world on extended storage issues
12 together to share information. At the last ESCP program
13 meeting we had in December, we had a nice presentation on the
14 TRB work that was done. We also had some presentation done
15 by a guy that's in Bill's organization on some of the GAP
16 analysis that's been done. What do we need to know to extend
17 storage out to a longer period of time. We're working with
18 the Japanese, the Germans, the Spanish, et cetera, because
19 this is a worldwide problem, the need to store for a very
20 long time. U.S. isn't unique by any means. Lots of other
21 countries don't have disposal yet either, and they're looking
22 at very long-term storage.

23 KADAK: And, the DOE is integrating all that information
24 in its program plan?

25 BOYLE: We're aware of that, yes.

1 KADAK: That wasn't a yes or a no. Could I ask you a
2 question about, you say one of your missions is disposal, Mr.
3 Gunter--

4 GARRICK: If he told you no, would it make any
5 difference?

6 KADAK: No. But, with Mr. Gunter, I'm just trying to
7 see when do you think, since everybody recognizes that we
8 need a repository, when do you think we might actually see
9 one?

10 BOYLE: I don't know.

11 KADAK: You don't know. Okay, that's a good answer.
12 Well, I'd like to direct you to--I mean, I feel like I'm in
13 déjà vu land. 1957, we're back to well, gosh, we need
14 studies of this, we need studies of that. Can you give us
15 some assurance that some progress will be made on any of
16 these issues? Because I'm seeing we're going back to basic
17 science. We're going back to trying to figure out whether
18 what we know about geology is real. Give us a sense of any
19 progress that you see being made here on this disposal
20 program.

21 BOYLE: Here is my--let me pull up a slide here. Our
22 objective, me, Monica, Peter, the people we work with, is to
23 provide technical expertise to inform others, most of whom
24 are probably not in this room, you know, that we will, the
25 work we're doing, the science and the engineering on the

1 disposal concepts now will produce inputs to others, you
2 know, that we don't even have the BRC draft report out yet,
3 but the work we're doing now, the intent is to use that work
4 to provide inputs to those who will make the policies and
5 will make the decisions so that we can move forward on some
6 path. With your frustration that we're seemingly back to
7 1957 or back to selecting sites in the Seventies and
8 Eighties, as somebody mentioned, that wasn't done by NE-53 or
9 NE-5, you know, that's the circumstance in which we find
10 ourselves, that's what it is.

11 GARRICK: Bill, let me try to characterize this a little
12 differently, what Andy I think is getting at, with the focus
13 on a repository or geologic disposal, which there's world
14 unanimous agreement that that's the way to go. And, so, once
15 you have reached such a conclusion, it seems to me that
16 things can get very targeted in terms of what we do. And, is
17 one of the things that's coming out of this process, and I
18 haven't seen it yet, is specific recommendations about
19 something like site selection, for example, site
20 characterization, something that really is a tangible product
21 that is a precursor step to an actual site selection process?
22 Is it a team within DOE that's saying here's what we've
23 learned about what constitutes a well designed repository?
24 We're going to translate that information into some sort of a
25 specification. That would be a product. That would be

1 something that would be enormously beneficial.

2 It seems to me that there's such a fear here of
3 talking about Yucca Mountain that not much is getting done,
4 and we're frustrated by the fact that there is a lot of
5 technologies, particularly in the last two decades, that has
6 been developed in the interest of building a repository,
7 which everybody agrees that we need it and it should be done.
8 It's going to have to be done. Okay, well, let's see if we
9 can develop a plan, an engineering plan that clearly
10 manifests itself as something that would provide real roadmap
11 for the next move, something that really gives a sense of
12 achievement. The studies and providing technical
13 information, this sounds very clinical and just as if what
14 you're really doing is just developing an information base.
15 And, that's what makes it sound like it's thirty years behind
16 the times. We have advanced tremendously across the globe in
17 how to solve this problem. And, yet, it's not being
18 manifested.

19 BOYLE: Well, I'm sorry for that. But, to me, it's back
20 to Professor Duquette's question that some of the
21 specifications and specificity you're looking for are site
22 dependent and concept dependent.

23 GARRICK: You can tell us how to do a site selection
24 process, and I don't see that coming out of this.

25 BOYLE: Yeah, but from my point of view, maybe it was

1 Professor Duquette or Professor--it was Professor Duquette,
2 site selection in the United States, because we are blessed,
3 if you will, with such a big country, it isn't really a
4 technical problem at all, in my mind. I mean, poor Belgium,
5 even they found a site. It's only 50 percent bigger in
6 surface area than Clark County, Nevada. We've got 50 states.
7 You can probably throw darts at a geologic map of the United
8 States and find a technically acceptable site.

9 As you will hear from Professor Jenkins-Smith later
10 today, I think the challenges are more on the societal and,
11 you know, political ends, and related to that is my reading
12 of the Nuclear Waste Policy Act is they wanted to make it
13 very process oriented to try and let everybody know that they
14 had a fair shake. There were certainly technical aspects to
15 it, and the great bitterness of many people in Nevada with
16 the amendment is because the process was short-circuited. I
17 think a lot of the activities we're doing here is in the
18 interest of doing our work systematically, with an open
19 transparent process that will provide information to
20 decision-makers, so that we don't repeat what some view as
21 the mistakes of the past.

22 GARRICK: I'll close my comment on this. But, it sort
23 of reminds me several years ago, I was talking to a senator
24 about why this nation has never had a rational energy policy,
25 and his response was a very interesting one, he says, "That's

1 because the technical community has never gotten their act
2 together to tell us what should be the basis for such a
3 policy." You know, we keep talking about developing
4 information for the policy-makers. The policy-makers don't
5 know what's going on. We have got to provide information
6 that allows them some decision options that has constant
7 benefits and risks associated with them, different options.
8 We can't just keep giving them books and books and volumes
9 and volumes of technical data that has no direction.

10 BOYLE: I think we're doing what you mentioned that they
11 are interested in, both the benefits and the cost of these
12 different options.

13 GARRICK: Well, that's good.

14 BOYLE: We just can't do that overnight. I can't do it
15 in my 30 minutes here.

16 GARRICK: That's good. That was one of my questions.
17 Is out of this going to come some specific recommendations,
18 some information that says oh, this is very useful, and it is
19 anchored to the experience base, and it is contemporary in
20 the sense that they have fully accounted for everything that
21 we've learned so far? Anyway, I've talked enough.

22 Thure, you had a--oh, okay, yeah.

23 KADAK: So, just to conclude my question, are you guys
24 going to develop a new siting strategy as part of the
25 disposal group there for how to site a new repository?

1 BOYLE: I myself, we're not doing that right now.
2 Ultimately, we probably will. But, I don't want to pre-judge
3 the Blue Ribbon Commission. I don't know what they're going
4 to say.

5 KADAK: I'm asking you as DOE, who is responsible for a
6 disposal of nuclear waste, are you and DOE, as John said,
7 going to be recommending a new siting strategy for disposal
8 of nuclear waste?

9 BOYLE: I'm sure eventually, but it's not in our
10 activities--

11 KADAK: Not in the plan at this time?

12 BOYLE: Not in this fiscal year.

13 KADAK: Okay. So, that's why we have to review the
14 research.

15 BOYLE: John?

16 HERCZEG: John Herczeg, DOE. I'm Monica's Deputy.

17 Just a partial answer to your question here is that
18 we're going through a phase right now of making sure we have
19 all the information cataloged and available so we have not
20 lost all of the detailed work that's been done. Point number
21 one. Point number two, the people yes, have been dispersed,
22 but yes, they can be resurrected. And, I would try to
23 categorize this time period we're in right now as a recess
24 period. And, that recess period is over when the BRC gives
25 us the marching orders.

1 And, trying to delve down and say you should be
2 looking at this or looking at that, while that's good advice,
3 it may not be the direction the BRC is going to recommend.
4 So, we've got to use our precious dollars, which is roughly
5 \$40 million, very carefully to make sure we don't lose that
6 precious information.

7 KADAK: But, they too are also an advisory body.
8 They're not your bosses. So, you keep saying they're going
9 to run your program.

10 HERCZEG: But, they have to give--they're a very august
11 body. You have to realize that. Those guys--

12 KADAK: What are we, chump change?

13 HERCZEG: You've seen their meetings. They're not going
14 to pull any punches. What they say is going to be
15 politically correct. They're not going to hide anything.

16 KADAK: Okay, thank you.

17 GARRICK: Thure?

18 CERLING: Cerling, Board.

19 I just wanted to return to the long-term storage
20 issue because it seems that since we no longer have a
21 repository, we have long-term storage prospects in many, many
22 places, and it's also our experience in the last ten years
23 that we've seen certainly global temperatures and local
24 temperatures that are very different than long-term
25 temperatures, and so I was just wondering what your group is

1 doing to understand our increased confidence in 50, 100, 500,
2 and 1000 year events, which we know take on a much greater
3 importance for long-term storage than the shorter-term
4 storage?

5 BOYLE: Obviously, that certainly factors into the much
6 longer time frames of repositories, but I'm not aware, and
7 that's just--I just don't know whether or not our storage
8 activities are looking out 100 years, 200 years, and what
9 effect might climate change have on extended storage. I
10 don't know that we're looking at it. It just might be that
11 it's one of those things that we're not yet, but we could. I
12 certainly heard your question.

13 GARRICK: Okay, we can take a question from the Staff.
14 Yes?

15 ROWE: Rowe, Staff.

16 I think most people agree that any path forward is
17 several years away. Has DOE got any program underway right
18 now that is looking at how to implement whatever decision is
19 made 20 years from now, 10 years from now, whatever, how to
20 make implementing that process easier?

21 BOYLE: Well, these implementation plans, when they're
22 finally publicly released do have more details of the steps
23 we need to--

24 ROWE: No, what can we do today, we're going to be
25 storing fuel for a long time, I think, is there any way that

1 we can make that storage, like right now, everyone is storing
2 stuff in canisters, and basically no matter if you're going
3 to go through a repository or reprocessing plant, you're
4 going to have to pop open that can. Is anyone looking at how
5 you could make what we're doing today more flexible, so
6 independent of what the path forward is, it would be easier
7 to implement?

8 BOYLE: There's two ways of answering that. The first
9 is back to these alternatives that Chairman Garrick mentioned
10 in his introductory remarks, the different types of reactors
11 and that sort of thing, and eventually, they do produce
12 different waste types, and as part of our analyses, we do
13 look at that. That's one part of the answer.

14 The other part of the answer is for what's being
15 done today by the utilities. If you remember, I think it was
16 perhaps at a Board meeting in November 2008, it was probably
17 at the Sun Coast where Dave Zabransky spoke, what's done with
18 storage today by the utilities, and the ultimate
19 responsibility of the government, that's subject to a
20 contract. The utilities do what they need to do, or want to
21 do, and the government eventually has to do what it needs to
22 do. But, if where you're getting is are we, DOE, interacting
23 with the utilities today to tell them oh, don't put it in
24 your storage, you know, we want you to put it in smaller
25 storage containers so that we can utilize borehole disposal,

1 no.

2 GARRICK: Okay, well, we are up to our break time, and I
3 think we'd better try our best to stay on our schedule.

4 Bill, I hope we weren't too rough on you. We
5 appreciate your--

6 BOYLE: Used to it.

7 GARRICK: We'll take a break. Thank you.

8 (Whereupon, a recess was taken.)

9 GARRICK: Okay, we'll come to order.

10 We now continue the Board's quest for trying to get
11 as much information and insights as possible as to what has
12 been learned about geologic disposal and a permanent solution
13 to the management of high-activity wastes.

14 We are very fortunate that we have been able to put
15 together what I think is going to be an outstanding
16 discussion. The panel represents a tremendous amount of
17 experience in being in the trenches in trying to implement a
18 solution to this problem. And, so, I think we'll just jump
19 right into it. Each of them is planning to give a few
20 opening remarks, and then they will function as a panel with
21 questions from the Board.

22 So, with that, we'll start with Lake Barrett.

23 BARRETT: Thank you, Mr. Chairman.

24 It's a pleasure to be here before the Board to
25 reminisce a little bit and go down memory lane, but my main

1 focus is to look toward the future. But, I think there are
2 lessons that we can learn from the past that will help this
3 country through its difficult times at the moment for a
4 better future for all of us.

5 As I tried to address your four questions on the
6 plane last night as I flew out here, I kind of came across
7 the continuum of several points. So, what I'd like to try to
8 do is put down sort of four major lessons learned, and then
9 go specifically into the questions that you asked in the
10 agenda.

11 The first point I would like to make as far as the
12 lessons learned, I think the country has to have continuity
13 and durability of a national and policy process. The nation
14 back in 1982 passed the Nuclear Waste Policy Act, and in the
15 preamble to the Nuclear Waste Policy Act, it talks about the
16 past 30 years of failure of getting on with geologic
17 repository. That was written in 1982. I was kind of
18 surprised again to see that. But, I mean, that's how they
19 felt in '82. I feel a bit that way today.

20 But, the process was established in the Nuclear
21 Waste Policy Act, and that was a technical and a political
22 process. I think it was a little idealistic. It took some
23 damaging hits back in 1986 with the second repository, and
24 the '87 amendments that everybody knows about. But,
25 basically, it's functioned reasonably well until recently.

1 The key scientific and technical work for a
2 repository was done back in the 2002 time period. Chris
3 Kouts was the lead person for that, working for me at the
4 time, and did a tremendous job of bringing together all the
5 pieces, and his lessons learned points will be very pertinent
6 to where we are today.

7 But, at that time, the technical work was done. It
8 was nine years ago, two days ago, on Valentine's Day when the
9 Secretary made his recommendation to the President. And,
10 then, under the Act, we started a political process, where
11 the governor had the right to disapprove the site. Governor
12 Guinn at the time did disapprove the site, and the site was
13 disapproved for political state acceptance reasons, unless
14 the Congress, both Houses in Congress overrode it. It was
15 overridden in bipartisan votes, and the process continued on
16 to the licensing. The license application was submitted.
17 NRC Staff questions were answered by the DOE. Yes, there
18 were delays, but the process got done, and the Staff was
19 ready to issue their draft safety evaluation report, like
20 this past fall. However, it was stopped.

21 But, right now, Secretary Chu and Chairman Yasko
22 are basically substituting their personal judgments as to
23 what they think the law requires. That now is before the
24 courts, and I believe the courts will decide on that over the
25 next several months. And, it is my hope that Yucca Mountain

1 will be restored and the next licensing will continue.

2 The Blue Ribbon Commission, as you all know, is
3 looking for better ways. I think that's a healthy thing to
4 do, and look forward to what answers that they have. But, I
5 think it was in the discussion here this morning, is there is
6 no escaping that there is going to be some high-activity
7 waste, in the Chairman's words, that are going to need to be
8 disposed of. So, I believe that it's important that we move
9 on.

10 As I mentioned lawsuits, there's another lawsuit
11 that was filed yesterday by the states of New York, Vermont
12 and Connecticut challenging the NRC's Waste Confidence Rule,
13 which I think is important technically, and there's an
14 intercession here, with what you're about, is where the
15 challenge is, what is the technical and the process basis for
16 the NRC saying that it's satisfactory to leave fuel for 60
17 years after the end of life in the plant, which would be a
18 total of 120 years, assuming a 60 year life extension.

19 Your report that you issued I think brings up a lot
20 of the issues that need to be addressed, and I believe that
21 will get, over the next two years through the court process,
22 I think they will examine that. And, also, the basis for the
23 NRC's December 23rd, which in Nuclear Waste Policy Act, two
24 days before Christmas is normal time to release these things,
25 where they said that they have confidence that a repository

1 will be available when necessary. What is the basis for that
2 remark? But, anyway, that will go forward.

3 The key lessons learned to me is the nation needs
4 to have a policy, and unless there's a technical reason to
5 change that policy, which there has been none for Yucca
6 Mountain, the Secretary has not said he has any basis of a
7 technical aspect of Yucca Mountain termination, stick with
8 it. If you want to change it, change it by law. It
9 shouldn't be jerked all around on election cycles.

10 The second point I would like to talk about is
11 whoever the implementing organization is, in the past, it's
12 been DOE, it ought to be empowered by the nation to do its
13 job, and not get whipsawed on election cycles, or through
14 instable budgets that go up and down. Whoever does it, and I
15 hope it's not the DOE in the future, I hope it's a fed corp
16 or a private/public partnership arrangement, needs to be
17 empowered to do it.

18 The third point I'd like to make is I think we need
19 continuity of the management team. Ward Sprout talked about
20 this very well before the Blue Ribbon Commission, having it
21 within DOE where the director is changed on the political
22 cycle, or can't get confirmed, is not the way to get it done.
23 To me, it is a formula for failure. I personally was
24 probably the longest serving director, and I wasn't qualified
25 to be it. I was never duly anointed by the Congress. But, I

1 served for five secretaries, well over a dozen under-
2 secretaries and deputy secretaries, and it made it very hard
3 for us to have stability in the team to move forward. But,
4 I'm so proud of what we were able to accomplish through the
5 good works of George when he was running TRB, and Chris and
6 all the others, and Bill, and I don't want to name names
7 because everybody was a great team.

8 The fourth point I would like to make generically
9 is it's critical to maintain a supportive local and state
10 host relationship. That is probably the biggest failure that
11 I felt we had with the Yucca experience. First, I want to
12 compliment the Nye County and some local governments. I
13 think we had an excellent relationship with them. Nye County
14 was strong, independent, had their own science program, and
15 did a good job. And, I think that's a good model of a
16 partnership arrangement. I think the WIPP folks in New
17 Mexico have done an outstanding job, and that's another
18 example of a very good situation.

19 In the case of the State of Nevada, the '87
20 amendment really poisoned the well. And, the history of DOE
21 was never going to be able to bring that back into a win/win
22 situation, especially when it started getting into the
23 Presidential politics starting in around 2000, then it became
24 an election football, and then you're really doomed as far as
25 what's going to happen from a public point of view.

1 I'm very optimistic for the future, though. I
2 believe that it should be taken out into a public/private
3 host relationship partnership. I think a lot of things can
4 be done with private industry in coordination and a joint
5 venture with the host. There are many different models for
6 that, and it can go forward. Maybe it will be other states,
7 maybe it will be Nevada in the future, but I think there are
8 tremendous opportunities for the host state and the federal
9 government, you know, as well as we go forward.

10 Now, turning specifically to the questions that you
11 asked about, the first one was what technical advances are
12 applicable for the future? One point I would like to discuss
13 on that is what I would call an integration of incompatible
14 cultures that are absolutely necessary to bring about a
15 successful repository program. The incompatible cultures
16 basically are state of the art earth scientists, state of the
17 art underground construction and mining, and nuclear
18 engineering. These groups have to work together as a
19 seamless team. They have to work together in an open and
20 transparent environment in a highly regulated nuclear
21 regulatory licensing cultural environment.

22 Now, the Nuclear Regulatory Commission culture is
23 something that is not a natural understood thing, especially
24 to some of the advanced state of the art earth science world.
25 The nuclear culture of the NRC is an evolution of Admiral

1 Rickover's very first nuclear submarine culture. I worked in
2 that as a young engineer when I first came out of school.
3 That does not mesh well with state of the art scientists.
4 But, it is crucial that that get pulled together. So, this
5 cultural adaptation and teamwork I found was a major
6 challenge through Yucca Mountain. I think we got it
7 together, but it was a constant management challenge at all
8 times. So, I would put that down as a lesson learned, and I
9 think many things by getting people to work together, like
10 dry drilling, where we got the scientists who said we don't
11 want to be putting water in and ruining the data we get back,
12 and we developed dry drilling. So, that was an example of an
13 integration of this in the past.

14 Another thing as far as where I think we didn't do
15 as well as we would like to have was the earth science
16 repository people generally don't get too enthusiastic about
17 understanding about why the utilities put fuel in ten ton
18 cans that have to be opened up, and things like that.
19 Whereas, the reactor people that necessarily understand
20 thermal constraints and issues that are in a repository.
21 But, one of the things the teams have to do for a future
22 repository is to integrate those cultures.

23 The second point you asked about what technical
24 work should be done now? We look back at Yucca Mountain,
25 there are definite phases you have to follow. First, you

1 have to have regulations as to how safe is safe enough.
2 You're going to have to go through a siting process. You've
3 got to do the exploration. You've got to bring that to
4 closure. And, you have to do licensing, and then you have to
5 build it. That's a natural cycle for any repository going
6 forward.

7 I believe that the system needs to have more
8 systems integration in the broader sense. We know what the
9 point is. We need a functioning repository as soon as
10 practicable that is safe and publicly and politically
11 acceptable. Where are we now? We have no site. We're a
12 little bit of deer in the headlights because of the politics,
13 where the big giant elephants and big giant donkeys are
14 stomping around, you've got to kind of duck. Okay? I felt
15 very sorry for Bill up here today, but he's a good soldier.
16 But, that's the world he lives in. I don't have that world
17 anymore, so I can say it like it is. But, we have to look at
18 where are we today? There's 65,000 tons of spent fuel out
19 there. We're making 2000 tons of it a year, and most of it
20 is being put today in dry canisters that have ten tons of
21 fuel in it. Okay, put in 200 ton casks on site. We're
22 making 100 of these cans every year, and there's 1200 cans
23 out there today. We've got to bridge from there today to
24 tomorrow's repository.

25 Now, I noticed just for example, you're going to be

1 talking about boreholes in salt this afternoon. Boreholes is
2 idealistically a wonderful thing. The practicality of it
3 from a systems engineering point of view, I think that dog
4 don't hunt. Okay? Ten ton cans don't fit down 20 centimeter
5 holes too well for a couple of miles down. Now, I will use,
6 for example, the 100 canisters the Navy has. These are the
7 biggest canisters, so I'll use it as an example. They are
8 seven feet in diameter. I kind of know what's in those cans.
9 But, you turn those things into small cans, is a big piece of
10 business. It can be done. We put a man on the moon and we
11 have submarines that run 30 years without refueling, so I
12 know they can take those cans open. But, I'm telling you as
13 an American citizen, I don't think that's where my tax money
14 ought to be spent. So, those are the kind of issues I think
15 that DOE has to have a systems engineering point of view, and
16 you and the Board, who has always looked at these things like
17 that, need to maybe focus on as an example.

18 Salt, there are some real challenges with salt.
19 WIPP is a wonderful site, and salt is a wonderful medium for
20 sealing the repository. But, there are a few issues, like
21 how do you lower 200 ton packages down a 2000 foot shaft.
22 Well, maybe you want to make a ramp. Is a ramp really going
23 to fit into salt, does it fit? Okay, is it going to make it
24 that deep? How much land do you need? Sealing salt to keep
25 water out, we all know that's very important, ask the Germans

1 on the Asse intermediate-level repository.

2 But, nonetheless, technical work on these things
3 are very valuable. I don't know the details of DOE's
4 program. I hope they are looking at these as generic topical
5 reports. One thing we had back that was similar in the
6 Nineties, we were looking at interim storage facilities, the
7 follow-on to the old MRS, Monitored Retrievable Storage. We
8 were not allowed to talk about sites because of political
9 constraints. But, we did some valuable generic work. Chris
10 was the lead on one of those, was developed how to do dry
11 transfer at a reactor site if we had to. So, we did make
12 some useful technical things. We actually prototyped one at
13 Idaho. So, there are pieces of very meaningful work that
14 Bill can be doing today, and I believe he's doing some of
15 those. But, you have to kind of look to make this applied
16 science to get ready to help the nation find a repository
17 site which is clear.

18 There are some regulatory issues that I would hope
19 DOE can be proactive with, or maybe you can get the system to
20 be proactive with, are regulatory requirements. For a
21 generic repository, what is the period of performance? Is it
22 a million years like Yucca Mountain? Is it 10,000 years like
23 WIPP? Is it maybe a thousand years as the NAS 1990
24 rethinking report would imply. We have to deal with that.
25 What are the retrievability reversibility requirements for

1 salt? Does it matter if you put fuel in salt? Is 50 years
2 enough? Should it be longer? But, these are issues you
3 need, I believe, the nation needs to look at generically in a
4 meaningful way so when the political green light comes to go
5 find a real site, the nation can move forward much more
6 promptly than it has in the past.

7 You also asked about management approaches and how
8 it influenced things. I believe when I was there, we had a
9 team together that valued best available technology being an
10 important part of our program. We evaluated in the viability
11 assessment in 1998, certain things should we add or not add.
12 We looked at drip shields and said add drip shields. We
13 looked at Richard's barriers and said no, the cost benefit
14 for Richard's barriers wasn't really going to do. But, we
15 were constantly in this management balance of balancing
16 betterments, I'll use that. You know, when is enough enough?
17 When does better become the enemy of good? And, making these
18 fundamental choices based on the facts before us at that
19 time, based on the budgets available. I believe gathering up
20 some technical tools to be able to promptly do those as we
21 move down toward a repository site, I think is an important
22 lesson.

23 Management team needs to be prepared to do what I
24 call battlefield triage. When bad things happen, like we had
25 40 percent budget cuts and Chris had to wash the ball in his

1 tenure when he was acting director, when bad things happen,
2 as Murphy's law says, are we prepared to deal with those?
3 Are you zeroing out or cutting out the least important
4 functions and preserving the heart and the vital functions?
5 We made these decisions back in the late Nineties when
6 basically we had to sacrifice a lot of the preclosure
7 engineering and concentrate on the post-closure to do the
8 site recommendation aspect of things. That came back and bit
9 the program after I left, and the license application got
10 delayed from 2004. But, you need to be prepared for a
11 management team to do that.

12 And, the last, and let me try to finish up, is
13 trust and confidence in the technical programs. I believe
14 that trust and confidence with the State of Nevada was doomed
15 with the '87 amendment. I think the State public relations
16 machinery was extremely effective of turning any molehill
17 into a mountain, any hiccup into darned near fatal pneumonia,
18 on anything that DOE did. DOE, I felt our hands were tied
19 behind our backs and we were just kicked around in the trust
20 and confidence and public relations point of view in that
21 sort of environment.

22 We did some thing. I think the tours of the Yucca
23 Mountain where people could go out and talk to the scientists
24 was one of the better things we did, and it was effective,
25 and I think would have made a difference, but also the State

1 of Nevada understood that, and Harry Reid, you know,
2 prohibited us from doing it from the budget to run any tours
3 by putting that budget amendment in place on that, which was
4 very unfortunate.

5 We did international peer reviews, and spent a lot
6 of energy and time on that. I don't think we got any credit
7 for that from a trust and confidence point of view. We were
8 the most open and transparent program I think in everyone's
9 existence as far as a public program is concerned. We made
10 an extra effort to get that information out quickly. When we
11 had the Chlorine 36 situation, it was a matter of days we got
12 that out to everybody. We felt that was extremely important.

13 And, I can't kind of end without talking about you
14 all on the TRB. I believe in the aggregate, although you did
15 some good things, your predecessors did, whether you were on
16 the Board back then. In the net, I believe you negatively
17 contributed to trust and confidence. I know the creation of
18 you in '87 was to provide trust and confidence for people in
19 Nevada. But, I think what happened is in your constructive
20 criticism aspect of things, that was taken and the negative
21 was amplified. The positives things you did was lost and
22 never amplified because you don't speak up, or you speak
23 down, you speak the facts as you write your reports. But,
24 it's how they get used in the future. In the future, if we
25 had had a state public partnership type arrangement, a joint

1 venture arrangement with a willing host state, and a
2 partnership where the state has authority, board of directors
3 are there based on the governor's appointment, and a strong
4 and sternal regulator like the NRC or the EPA could be, I
5 don't see any real role for TRB as far as trust and
6 confidence would be under that arrangement in the future.

7 So, let me finish there. I've talked more than I
8 ever expected I would. So, we can do questions whenever
9 you're ready. Thank you very much.

10 GARRICK: Thank you. Thank you very much. I think
11 we'll continue with the comments, and then open it up for
12 questions. George?

13 DIALS: I was just reading--I'm George Dials, I'm with
14 Babcock and Wilcox Technical Services Group. But, in the
15 past--you know, I feel like I'm between a rock and a hard
16 place here. In the past, I was a member of the Senior
17 Executive Service, and created and ran the Carlsbad Area
18 Office for five and a half years, responsible for licensing
19 the WIPP site. Subsequently, I was the M&O contract manager
20 for TRW during the last two years of its contract, and had
21 the responsibility for delivering the site selection report
22 that was in fact accepted by the Department, submitted to the
23 President, and then ultimately approved by the Congress. So,
24 I had a role in saying yes, Yucca Mountain is the place, and
25 let's get on with it. You know, I really felt we were going

1 to get on with it, too. It shows you I missed a bit of that
2 social political aspect.

3 I have degrees from MIT in both nuclear engineering
4 and political science, done at the same time. Through the
5 advice of my mentor and a man who had a great influence on my
6 life, David Rose, who to my knowledge coined the term, it's
7 the first time I heard it anyway, sociotechnological
8 problems. In fact, he taught a course called
9 sociotechnological problems and solutions. It was in that
10 course that I got very interested, as he was, in nuclear
11 waste disposal and repository programs.

12 Interestingly enough, and this is like back to the
13 future in the presentation I've heard this morning,
14 interestingly enough, at one time the programs were combined,
15 that is, the issue of dealing with the transuranic waste and
16 high-level waste, and all the waste was sort of looked at in
17 a holistic way as one problem, let's solve it. And, sometime
18 during that period, and they started about sixty years ago
19 thinking about this, that's sort of the scale of
20 sociotechnological problems. Just to give you an analogy,
21 you know, when the fork was invented, it took about 50 or 60
22 years for the English really to accept the use of the fork.
23 They thought it was an instrument of the devil when it was
24 first invented, because it sort of looked like the devil's
25 fork. Henry the Eighth never did use a fork, by the way.

1 Elizabeth finally approved the use of forks. It's a
2 sociotechnological problem and a solution.

3 And, we're not much different from that. We view
4 sociotechnological problems in much the same time scale. It
5 takes 50 or 60 or 70 years for major developments really to
6 take effect and be universally accepted. And, if you go back
7 and look at the history of repository programs
8 internationally, you will find those time frames are sort of
9 the ones that are in effect.

10 At some point during the program, it was actually
11 decided because of the very long half lives of the
12 transuranics or the actinides, to split up the program, the
13 one dealing with the transuranic wastes, because after all,
14 who can contemplate doing modeling and demonstrate the
15 ability to create a repository to safeguard the biosphere,
16 and that is the health and safety of the public from
17 transuranic waste for hundreds of thousands of years, and
18 thus, separate out the program so we can really deal with the
19 fission products, which are ten thousands of years. Of
20 course, later, the regulatory programs were I think
21 inappropriately redefined so that actually WIPP, you did the
22 tens of thousands, hundred thousands of years modeling and
23 documentation that you could keep the material out of the
24 biosphere, and then for Yucca Mountain, it evolved to a
25 million years, which wasn't credible to the public. And, I

1 don't think it's very credible to many of us, but that's the
2 right regulatory framework.

3 So, we ended up with two programs that were
4 organized and structured very differently, and one went
5 forward, much to the surprise of everyone, that is, the one
6 with the longer half life material, to a successful
7 conclusion. That is, WIPP did get licensed, is operating,
8 has been operating safely for over ten years, has broad
9 public acceptance in the region where it's operating. And,
10 in fact, that community was recently before the Blue Ribbon
11 Commission, and I was recently before the Blue Ribbon
12 Commission also talking to them about what their report might
13 be, that community was up in front of the Blue Ribbon
14 Commission arguing for an expansion of the mission of that
15 facility.

16 So, the first lessons learned for me, as I look not
17 only at our programs in the United States, but look at the
18 programs around the world that are being successful, you have
19 to have a well informed very active, proactive in fact,
20 accepting population in the region where you're going to have
21 a repository.

22 You would think that would be easier in the United
23 States because of our diversity and the strength of local
24 communities and local political base than in most other
25 countries, because we have such an expanse of land such as

1 diversity of choices, and we have a lot of sites, as has
2 already been said by the technical folks. We have a lot of
3 potential sites. So, that's the first lesson learned, if
4 you're dealing with this kind of problem.

5 You have to have a transparent regulatory program.
6 You have to have one in which the regulator, the scientists,
7 and the public, and all the stakeholders--and, the public, by
8 the way, do have a great deal of influence on the politicians
9 who represent them. We often forget that, but it's true. In
10 our case at WIPP, we had a bipartisan effort, we had both
11 Senators Domenici and Bingaman, republican and democrat, very
12 supportive, one much more active and demanding and assertive,
13 as Lake can remind us all, that's Senator Domenici than Jeff
14 Bingaman, but they were both very supportive and understood
15 the science technology, and reviewed the materials, and had
16 staffs that were very supportive.

17 On the other hand, we had representatives that were
18 sometimes recalcitrant and appeared to be opposed to it, like
19 at that time, Congressman Richardson. I will remind you it
20 was Congressman Richardson who ultimately supported the WIPP
21 Land Withdraw Amendments Act, and got it through his
22 committee, that allowed for an accelerated EPA review and
23 certification of the project. So, he too responded to the
24 influence of the people, and what was needed for the country.

25 So, those sort of go in hand in hand, and in a

1 transparent process, you do get the people in a position
2 where they're informed and influential enough and proactive
3 enough that they influence the political outcomes. That
4 didn't happen in Nevada. It didn't happen on Yucca Mountain.
5 We worked hard at it.

6 I remember when I was working for Lake as the M&O
7 contractor, we had lots of opportunity to interact with
8 Senator Reid, and even though he and I had something very
9 much in common, he was a boxer in college and growing up, and
10 I was a boxer, and I remember fighting little bantam weights
11 like him, you know, you get him back in the corner and they
12 quit swinging. But, we had a great relationship. But,
13 something happened in that relationship where we never could
14 get back to him and get him to understand the national need,
15 or accept the national need for the repository, nor could we
16 get those who were influencing him in the public sufficiently
17 informed and willing to support that. And, ultimately, it
18 got us to where we are. As Lake said, a perfectly good
19 pinnacle site that could have achieved the mission we had
20 formulated for it, was politically rejected, and has been
21 politically rejected.

22 My view from interactions with the Blue Ribbon
23 Commission is that that's not likely to be turned around. I
24 testified before them on February the 1st. We spent a lot of
25 time talking about the next subject I'd like to talk about,

1 and that's the organizational construct for what happens next
2 with the repository program. And, by the way, this is my
3 cover slide, Random Thoughts of a Nuclear Trash Man, just to
4 tell you I was trying to explain to my mother, who was a coal
5 miner's wife in Appalachia, what I did when I was at WIPP,
6 and she actually visited the site and got to go underground,
7 and we had those mining machines. She was about 70-some
8 years old, and thought all mines were dark and black like
9 coal mines. She was amazed it was white down there. I
10 couldn't explain to her about transuranic waste, and so
11 forth, but she finally did understand I was a nuclear trash
12 man. And, she thought well, that's a good job, son, you just
13 do it well.

14 Let me have the next slide. This came to it
15 because we really need, and we had some discussion this
16 morning, you know, we're confusing ourselves now. We're
17 confusing ourselves about what a closed fuel cycle is, and
18 we've played with the word so much, and English is such an
19 imprecise language, it's easy to confuse ourselves. Well,
20 this is a diagram I sort of liked about closing the fuel
21 cycle. You know, it's a pretty nice graphic. I didn't make
22 it up. I borrowed it from somebody. And, I'm all of a
23 sudden involved in--we just won a contract, my company has,
24 to take over the DUF-6 deconversion facilities, and I'm going
25 to run that project for a little bit, or start it up at

1 least, and get it going for a couple years.

2 But, we need to go back and look at this as a
3 holistic problem. We need to close the fuel cycle. And, to
4 me, closing the fuel cycle has these components in it, but
5 it's never completely closed. We don't get to use everything
6 that's in the cycle. You know, there is some waste, and
7 we're ultimately going to do something we should be doing
8 with all waste, that is, minimize the waste product. And,
9 then we do have to have a disposal. So, we have to have a
10 repository. I agree with everyone in that regard. And, we
11 need one that will dispose of this high-level waste, for
12 whatever length of time we determine is regulatorily
13 necessary to convince a skeptical public that we're
14 protecting their wellbeing from whatever site we pick.

15 But, we need reprocessing, too, and we seem to be
16 afraid to talk about reprocessing. And, I made this comment
17 before the Blue Ribbon Commission, and one of the
18 Commissioners was saying it's not economical. I said, "No,
19 that's because we quit working on it back in 1970-something."
20 Now, most processes that we quit working on in 1970 really,
21 using our creativity and ingenuity in the United States to
22 solve these problems and make them more efficient, most of
23 them we left back there aren't too economical today, and this
24 one isn't. That doesn't mean it can't be. And, we don't
25 need to have a repository where we take most of the fissile

1 material that's in slightly used fuel, and it's only slightly
2 used--all of you who are in the nuclear engineering arena
3 know it's only slightly used, most of the fissile material is
4 still there--is irrational.

5 We say well, we've got so much uranium, it's not
6 economical to deal with that. Well, we've got so much
7 uranium right now perhaps, but if we have the nuclear
8 renaissance in our country, coupled with the nuclear
9 renaissance that's coming in the rest of the growing world,
10 we're going to need all the fissile material we can get. So,
11 throwing away most of it, slightly used fuel, is irrational.
12 So, we need a closed fuel cycle.

13 Then, we need interim storage. We have de facto
14 interim storage in many places across the country, I think
15 about 70 sites right now today. We have de facto interim
16 used fuel storage at all the reactor sites. I recently
17 visited the Sequoia Plant with the CEO of TVA, and they were
18 having some difficulty because they had outages and they've
19 got to refuel, and stuff, and they were having to shuttle
20 fuel canisters around out of the pool, out to dry storage,
21 because they're getting constipated, they don't have any
22 place to put it. They never designed their facilities and
23 never sited their plants to have interim storage. We need to
24 go to interim storage.

25 In fact, one of my recommendations, Lake and Chris,

1 if I could get these former OCRWM guys to get with me, we
2 could start a group to do this, is let's make Yucca Mountain
3 the first Monitored Retrievable Storage facility in the
4 country. It would be a great use for it, particularly since
5 we designed it with several billions of dollars of titanium
6 drip shields so we could protect the canisters anyway. It
7 would be a good use for it.

8 Peer reviews. Lake mentioned peer reviews. I know
9 Yucca Mountain, and I was involved in some of these, we did
10 great peer reviews. We got no credit for it ever, I don't
11 think, the international peer reviews particularly. Contrary
12 to that at WIPP, we did eight substantial peer reviews,
13 National Academy of Sciences reviews. John, you were
14 involved in some of these with the WIPP panel, the National
15 Academy. Peter Swift and Mike Voegel and the other folks at
16 Sandia Lab, lead a lot of these.

17 We did one international peer review that was the
18 first of a kind. It was a joint OECD, NEA and IAEA joint
19 international peer review. We got a lot of credit for that.
20 They did a special report about it. They bragged about it.
21 We bragged about it. EPA was our regulator, a little
22 different from Yucca Mountain, but EPA bragged about it.
23 And, EPA was involved, it was transparent, they were engaged,
24 they participated, they observed all the peer reviews. And,
25 the peer reviews were significant in giving confidence to the

1 regulator that when they were certifying that WIPP was going
2 to be able to perform under the regulatory requirements,
3 maintain its integrity for the 10,000 year requirement, that
4 they were confident that they would be supported by the
5 scientific and technical community on an international basis.
6 It's really important. It was important to the outcome of
7 that certification process.

8 The Blue Ribbon Commission I think is going to have
9 a lot to say about an organizational construct for a
10 repository program going forward. They will agree with all
11 of us that we need a repository. I agree very strongly with
12 Lake Barrett, and we didn't talk about this before. I'm glad
13 you said it. We need a private federal corporation. That
14 could be akin to TVA, or there have been some other private
15 federal type corporate structures, to do this.

16 I believe it was Einstein who said, "Doing the same
17 old thing and expecting different results is insanity."
18 Giving this back to DOE with the structure they've had
19 before, tying it to both the political time scales, that is,
20 we're changing Congresses every two years, administration
21 change every two years, not every four really, putting it on
22 the annual budget cycle when the money has already been
23 contributed by us, the taxpayers, to pay for this solution is
24 insanity. We need a private federal corp to do this. And,
25 there's some really smart people looking at that structure

1 that are going to be advising the Blue Ribbon Commission.

2 I was thinking last night, and my wife, Pamela, is
3 here with me and she suffered through all this nuclear waste
4 trash man stuff, and it's her birthday, I have to tell you,
5 so thank you, John, you got me out here to Las Vegas, I could
6 bring her out for her birthday.

7 GARRICK: My pleasure.

8 DIALS: Thank you. She's suffered through that before.
9 I've been here when it was her birthday, and she wasn't with
10 me. So, we watched the Westminster Dog Show last night, and
11 it was great. They picked the world's greatest dog
12 temporarily, it's the Scottish Deer Hound, for those of you
13 who didn't see it, not the prettiest dog I've ever seen, but
14 it reminded me of a cartoon my father-in-law had, it was a
15 nuclear engineer, he worked for United Engineers, he finally
16 retired early when Seabrook got shut down, and he said well,
17 I'm just going to let--he had this cartoon that said, "Let
18 the bastards freeze with the dog." We're not going to do
19 that, though, we're going to open a repository, because I
20 like another cartoon he had, it was Rex, the mutt, the
21 world's greatest dog, and the caption said right under him,
22 he's got all the ribbons, and stuff, "He caught his own
23 tail."

24 Let's catch our own tail and move out and get on
25 with this repository program. We need it. The nation

1 expects it. The public demands that we who know how to do
2 this, solve this problem, and we are technically competent
3 and capable to do it. And, Bill, I know you're doing some
4 work in these programs that will protect and safeguard this
5 science and technology at the national labs, where we have
6 the ability to go forward and do this.

7 I'll be happy to answer any questions later.

8 GARRICK: Okay.

9 DIALS: Excuse me, one final thing. I have some
10 comments that have bulletized lessons learned that I've
11 learned from the three sort of programs I've been involved
12 in. If you have any questions about any of that, I'll be
13 happy to answer them.

14 GARRICK: Okay. Chris?

15 KOUTS: Would you mind if I stood over here?

16 GARRICK: No, fine.

17 KOUTS: I'm used to being here when I'm talking. And, I
18 will say that I didn't collaborate with George or Lake on my
19 presentation. So, if you see similarities, it's purely
20 coincidental I'm sure.

21 The last time I was before the Board was, I
22 believe, on September 23, 2009. I was almost in a position
23 like Bill Boyle was, where I had the straightjacket on, and I
24 knew the parameters about what I could say and what I
25 couldn't say, and I didn't want something to be in the press

1 the next day, or whatever, so someone would come down and day
2 what the hell did you do yesterday. So, I have great
3 affection for Dr. Boyle, and many of the people in this room
4 who worked for me over the years, and who I have worked with
5 over the years, and it's good to see them, and it's good to
6 see that they're gainfully employed.

7 So, moving right along, I was going to go through a
8 history lesson, what I call the Office of Civilian
9 Radioactive Waste Management 101. I'm not going to belabor
10 it, but again, it was created by Public Law 97-425. I'm sure
11 you all have committed that to heart. It was passed on
12 January 7, 1983, and was terminated by the Obama
13 Administration. I put a question mark there because I don't
14 think that that necessarily, the jury is out still on that
15 specifically. So, we'll see what happens.

16 We did a heck of a lot of evaluation of repository
17 sites. Back in 1984, we recommended five to President
18 Reagan. He approved three in 1986. We were directed by
19 Congress in 1987 to characterize only Yucca Mountain.
20 Subsequently, we had a site recommendation on Valentine's Day
21 2002, and we submitted a license application on June 3, 2008.
22 And, that license application is still pending with the NRC.

23 MRS, you're all familiar with that, this is where I
24 really start with the program back in 1985. We submitted a
25 proposal to Congress in '86, it was delayed a year because

1 the State of Tennessee sued us and said we didn't have the
2 authority to submit it to Congress. So, it took us a year to
3 get to the Supreme Court who denied cert. We finally were
4 able to submit it in 1986, and that was subsequently rejected
5 by the creator of the internet, Mr. Gore and his fellow
6 senator from Tennessee, Senator Sasser, and they basically
7 revoked that siting and basically put some conditions on an
8 MRS that made it absolutely ridiculous for the Department to
9 proceed with it. So, I won't belabor that, but it was kind
10 of an interesting history, and I lived most of it.

11 Major program challenges. Well, the controversial
12 nature of the activities, that's pretty straightforward.

13 Radioactive waste fear factor, Fear Factor is no
14 longer on TV, but, you know, it sounded good when I wrote
15 this.

16 Extraordinary time frame requirements. What the
17 National Academy did to the program, and how the courts
18 interpreted it, et cetera, et cetera, created some really
19 significant challenges for us.

20 Siting is obvious.

21 I struggled with transportation because I was head
22 of transportation. I don't think technically transportation
23 is a problem, but certainly when you're going to be moving
24 these materials across all the states in the country, it's
25 going to be a challenging experience.

1 Communication, trust and confidence, obvious issues
2 that the program struggled with and did fairly well with
3 over, you know, toward the end of its existence.

4 First-of-a-kind nature of many activities. Yes.

5 Political intervention. That's been talked about a
6 great deal. It happened at all levels. It got down to the
7 day to day operations of the program, which I think was
8 extremely unfortunate.

9 Changing leadership. You know, I did a quick
10 analysis, since I worked for all of the six politically
11 appointed directors in my time in the program, and basically,
12 we had permanent directors, or political directors for about
13 55 percent of the time. So, 45 percent of the time that the
14 program existed, we didn't have a political appointee in
15 place. And, what that means, since Lake knows it very well
16 and I know it very well, yes, you can operate the program on
17 a day to day basis, but in terms of interacting with the
18 Hill, people have you in a straightjacket and a collar and so
19 forth, you don't have the flexibility to go to the Hill and
20 talk to people, explain to them situations, and so forth.
21 It's a much different situation when there's a political in
22 place.

23 Being part of the federal bureaucracy, many many
24 challenges associated with that, and you probably see where
25 I'm going to be headed in some of my perspectives. But,

1 hiring was a problem. For us to get services within the
2 program, I mean, we paid for billets in the Office of General
3 Counsel. We paid for billets in Procurement. We paid for
4 billets in the CFO's office, the Office of Environment, and
5 even though we were paying for the people, their support was
6 not what I would have liked it to have been, or anybody in
7 the program would have liked it to have been.

8 Final challenge was funding. This is more did we
9 get the money that we needed to do what we needed to do.
10 And, I will go back to my last few years in the program where
11 we were cut \$100 million in successive years, and yet we
12 found a way to do a lot of the things. We cut out things,
13 obviously, but I think there's a lesson here, certainly a
14 strong lesson, a powerful lesson that I learned about federal
15 programs, and that when you really get down to it and you
16 don't have money, you find creative ways to do things. And,
17 when you get to some of my recommendations, you will see
18 where I fall down, too. I think yes, you need funding, but
19 also you don't need tremendous amounts of funding. And, I
20 think certainly my experience has been you can do a lot more
21 with a lot less than people might anticipate.

22 Okay, let's talk about applicable technical
23 advances. This is somewhat of a schizophrenic discussion
24 because on one hand, you look at it with an eye are we
25 starting Yucca Mountain back up? Are the courts going to

1 direct the Department that they didn't have the authority to
2 do that? And, if I could just talk about that for a minute.
3 Reading some of the pleadings in the cases, I find it
4 instructive and amusing to see that the attorneys for many
5 years who told us that the Nuclear Waste Policy Act took
6 precedence over the Department of Energy's Organization Act
7 and over the Atomic Energy Act, those same lawyers are now
8 arguing that those acts take precedence over the Nuclear
9 Waste Policy Act. So, I think there's a commentary in there
10 about lawyers, but I don't want to go there. Thank goodness
11 I'm not one and neither are my sons. But, I think that is
12 instructive.

13 Anyway, getting back to applicable technical
14 advances. Some were media specific. Certainly dry drilling
15 technology was I think an advance made that was very unique
16 to this program, and I think could be of potential use in the
17 future.

18 The RBM cutters that we used, if there's going to
19 be a TBM sometime in the future, they were primarily
20 constructed for tuff. In fact, it was the University of
21 Colorado, or one of those, I think it was Colorado University
22 that helped us with the actual development of that.

23 Non media-specific advances. I think burn-up
24 credit, the burn-up credit work that we did, although it
25 focused on actinides, and we haven't really gotten to much

1 into fission products, I think that's certainly applicable.

2 TSPA, I think Total System Performance Assessment,
3 the work that we did certainly has a lot of applicability no
4 matter where you're headed in the future.

5 Our scientific methods, Lake referred to a little
6 while ago, quality assurance, getting scientists to
7 understand the need to document. We had some hiccups with
8 the USGS, but I think we were getting to the point where
9 people really began to understand nuclear quality assurance
10 and bought into it. And, I think that there were a lot of
11 lessons learned there, and hopefully, they won't be lost.

12 A lot of the design work we did for spent fuel
13 handling, I think is applicable. We did the DTS. We also
14 did that topical safety analysis report. We also did the
15 centralized interim storage facility that you withdrew from
16 the NRC, Lake, because we didn't have money to support it,
17 but those kinds of topical safety analysis reports which are
18 generic and have very wide earthquake ranges and weather
19 ranges and tornado force ranges, and so forth, can be useful
20 in subsequent activities.

21 Finally, a lot of the research and storage
22 demonstrations that we did up at Idaho I think still have
23 applicability.

24 Needed research and development. Before I get into
25 that, I will say that with our nation facing \$14 trillion

1 deficits, I think you have to be very suspect about the need
2 to do research, and I am sensitive to the fact that there are
3 people who are funded to do this work. But, from my own
4 perspective, until we have a little bit more definition in
5 the policy and know where we're headed as a nation, which
6 policy path, I struggle with the need to spend tremendous
7 amounts of money in this area, although I do believe that we
8 ought to keep the core team that exists in these areas still
9 together and hopefully there will be a spring board into
10 whatever new policy path that we have.

11 My sense is generic research on potential
12 repository geologic media is probably not useful until we
13 really know whether or not we're looking for new geologic
14 media.

15 One of the things that people haven't mentioned,
16 we've done a lot of work on storage of spent fuel, but there
17 are higher burn-up fuels coming out, and if you really
18 understand the license application, we looked at a limited
19 range of spent fuel that could go into a repository, with the
20 anticipation that we would be able to address higher burn-up
21 fuels in the future. That kind of research could be helpful,
22 but again, that's helpful downstream.

23 This is kind of a personal experience for me. Over
24 the past year, I've done some consulting work, and when I
25 really go back and I try to find information about the

1 program, it's kind of hard to find. And, you would be
2 surprised what documentation is out there. There are, for
3 instance, the program annual reports, which we hated to do,
4 okay, and basically got out for the previous fiscal year. We
5 barely made it the previous fiscal year, got it out of the
6 building and out of OMB. But, those are helpful. Many of
7 the TRB reports have been helpful because at least they
8 document what happened in any specific year and what types of
9 activities and what kind of oversight the Board looked at in
10 areas. Those kinds of things are helpful.

11 However, when you try to figure out what really
12 happened and try to piece it together, there isn't anything
13 out there that really kind of puts it all together. So,
14 maybe this is someone who struggled over the past year and
15 tried to really find documentation for the program. I think
16 in my concluding remarks, you'll see where this also has
17 play, but I think we have to understand what happened with
18 Yucca Mountain, and for those who work on future activities,
19 people really need to understand what occurred.

20 Another thing, and I cheered to hear that maybe NE
21 is already doing this, but when I left, most of the materials
22 were being turned over to the Office of Legacy Management.
23 For those of you who use the LSM, you probably know that it's
24 not the most user friendly system in the world. I think an
25 easily accessible library of past technical reports again

1 could be useful, and perhaps web based, and so forth, so
2 people could have access to them.

3 Going on to management approaches and changes, lead
4 lab, if there is a program and you are using national
5 laboratories, I think what we found is that having a lead lab
6 seemed to have certain advantages. But, that's to be
7 determined.

8 I do believe that you really need to maintain a
9 relatively small core program staff. I think if any of you
10 have read the book, "The Tipping Point," you know that when
11 organizations really get over about a 200 person
12 organization, they get kind of unwieldy. And, that's why I
13 would say that whatever program goes forward, whether it's a
14 fed corp, whether it's whatever, I think the core program
15 staff need to be relatively small.

16 Again, this wasn't rehearsed with Lake or George,
17 but I do think the program needs to be removed from the
18 federal bureaucracy.

19 I think program funding has to be accessible and
20 timely. There were many attempts of this over the years,
21 reclassifying receipts from the mandatory to the
22 discretionary side of the ledger, and although people say you
23 can do that administratively at OMB, and OMB will tell you
24 no, that Congress has to do that, you go to Congress and they
25 say no, OMB can do that, and you get this, nobody really

1 wants to do it. And, that's because people are using the
2 money for other purposes and not for the intended purposes of
3 this program. So, at the very least, the funding stream that
4 comes into the federal government, which is anywhere between
5 \$750 and \$800 million a year, really needs to be dedicated to
6 the organization who's doing this work.

7 Leadership stability. Political appointees,
8 besides the fact it takes them a long time to get confirmed
9 because of senate holds, and so forth, it really argues
10 against having leadership stability within the program, and
11 my sense is you probably need director terms, maybe they're
12 five years, maybe they're seven years, but it needs to be not
13 appointed by the President. It needs to be appointed by a
14 separate board perhaps and without any political influence.

15 Let's talk about actions for building trust and
16 confidence. Let me go back for a second because there's a
17 point I wanted to make at the end of this slide.

18 One of the things that struck me, and I think it
19 was in the 2006-2006 time frame, and this was about four
20 years after we went through the site recommendation and we
21 spent a lot of time educating people on the Hill, one of the
22 problems that this program suffered from was that there were
23 long periods of time where Congress just paid attention to
24 this program through the budget process.

25 Basically, if you go back to the Eighties, you will

1 see that we had a nomination of sites in '84, the President
2 acting in '86. Congress was involved in a lot of things.
3 '87, the amendments act. But, really, the next formal check-
4 in for Congress was the site recommendation, which was twelve
5 years later.

6 My sense is is whatever program goes forward, there
7 needs to be some kind of check-in point with Congress, maybe
8 it's every five years, maybe it's four years, or whatever,
9 where people have to understand what's being done, and you
10 have to get some acknowledgement that you need to proceed.
11 Because, without that, you have people who have no clue about
12 what this program is.

13 And, the example I'll give you is I went up about
14 three or four years after the site recommendation, and I was
15 doing program briefings, and at that time, the Bush
16 Administration was pushing legislation and I was briefing on
17 the submission--not the submission, but the contents of that
18 legislation, and the turnover in staff on the Senate side, on
19 the House side was amazing to me. These people, yeah, they
20 had some notional idea that Yucca Mountain existed. Many
21 thought that waste was already in the ground. You know,
22 there was just no understanding of the program.

23 So, I think there needs to be some kind of check-in
24 point where the program has to go up and brief, where there
25 has to be some acknowledgement that yes, the program needs to

1 continue on its current path. Without that, I think that you
2 run the risk of running into the same situation we ran with
3 Yucca Mountain. People step out, a lot of information comes
4 in, people don't understand it. They would throw up their
5 hands and say I don't care. And, I think there has to be, if
6 there's going to be Congressional involvement, and we can
7 talk about that too, there has to be a cyclical point where
8 Congress has to know what's going on and basically say yes,
9 continue with it.

10 Going on to my final couple of slides, trust and
11 confidence, I think program transparency, I think the program
12 did a good job of that over its lifetime. I think it got a
13 lot easier with the web to make documents available. When we
14 were in the Eighties, basically we used to send massive
15 documents out to people and wait for letters to come in for
16 comments. I think it got a lot easier when the worldwide web
17 came and after Al Gore basically created it. It was a great
18 help to the program for trust and confidence.

19 I think that the program should be insulated from
20 political intervention, from the budget process and day to
21 day operations. I definitely think Congress should approve
22 facility siting, but they should only intervene through an
23 act of legislation, and not through the budget process.

24 And, I think we need stable program leadership.
25 That's certainly something that I believe would help.

1 Other thoughts. In the near term, the courts will
2 determine the next steps. There's oral argument on March
3 22nd in Washington, which I think will be interesting.

4 And, I think the ultimate question is is the nation
5 really serious about this issue. And, if they are serious,
6 comprehensive legislation, if people are interested, takes
7 about three years to develop. And, anything that comes out
8 of the Blue Ribbon Commission, and I heard people say well,
9 we're going to wait for that, Blue Ribbon Commission is going
10 to issue a report, and it's going to be a flawed report.
11 And, you can ask me why, is because how can you do an
12 evaluation of the policy without really looking at what the
13 country has been doing for the past 25 years.

14 I mean, that's a personal opinion, but I think it
15 may have some interesting things in it, and I'm sure there
16 are people working on it, and God bless them, and I'm very
17 happy they're doing it, and I'm sure they feel very
18 empowered, but the bottom line is you have a major flaw.
19 And, again, it was created for a political reason, and people
20 are going to look at it as a political construct.

21 There may be some interesting information in it,
22 but again, unless they decide to ignore their charter,
23 they're going to have a whole--if I could just give you an
24 analogy? Let's say the President wakes up one day and says,
25 "I want a new star map. I want a map of the heavens, and I'm

1 going to create a Presidential Commission to do this." And,
2 he hires a bunch of people who are not astronomers to go do
3 this. And, he says, "And the only thing you can do is you
4 can't look over here. You leave this quadrant out. But, I
5 want the best star map that you can possibly make." Now,
6 when that star map is done, how credible do you think that
7 star map is going to be? Anyway, food for thought.

8 In any new construct, the federal liability needs
9 to be addressed, and how that happens will be, I think, a
10 challenging thing. If you go to a fed corp, or if you go to a
11 private entity, there's going to have to be some federal
12 oversight, because ultimately, the liability is growing.
13 And, if the federal government is going to give the authority
14 to implement the program to another entity, the federal
15 government needs to have some assurance that progress is
16 being made, and so forth. So, that issue is going to be a
17 little sticky and it's going to be challenging.

18 My concluding thoughts. Future philosopher once
19 said that "logic clearly dictates that the needs of the many
20 outweigh the needs of the few, or the one." If you want to
21 know where that's from, it's from the "Wrath of Khan," which
22 was one of my favorite Star Trek movies. But, ultimately,
23 this is going to be an unpopular program. I think there are
24 going to be people unhappy with it. But, ultimately, again,
25 a decision has to be made, and it's for the needs of the

1 many.

2 And, George Santayana said something similar,
3 "Those that fail to learn from history, are doomed to repeat
4 it." I think we really need to understand where we were,
5 what we did in order to make sure that it doesn't happen
6 again.

7 And, in closing, I will say that my last all hands,
8 and there were several people here in the program who were
9 present for it, where I more or less explained what my
10 perspective was and what was going to happen, which is one of
11 the reasons I retired from federal service, the program did
12 not fail. I think that we had many dedicated people who
13 worked very hard in order to implement a very challenging
14 piece of legislation and a very challenging enterprise.

15 However, politics failed the nation. I was going
16 to put "again" but we want to focus on the subject. Anyway,
17 those are my remarks, and I'll be happy to answer any
18 questions.

19 GARRICK: Okay, thank you. Thank you very much.

20 Okay, let's open it up to questions. Ron?

21 LATANISION: Latanision, Board.

22 George, I'd like to hear a little bit more about
23 your experience at WIPP on two points. One, your comment
24 about an informed supportive population. What was done in
25 New Mexico that wasn't done in Nevada? Point one. Why don't

1 we take that, and I have a follow-up question.

2 DIALS: That's a great question, and it's one I'm really
3 proud of. One of the things we did very early, and I got to
4 go in and create the Carlsbad area office, and it was
5 fundamentally different from Yucca Mountain because running
6 the program was my job, and I ran it from Carlsbad. And, Dr.
7 Garrick will tell you the interactions were really focused on
8 Carlsbad and what was going on with our management team. It
9 wasn't in Washington.

10 I reported to Assistant Secretary Grumley at the
11 time when I first went there. I reported directly to Hazel
12 O'Leary, and we were in direct communications most weeks.
13 The good news about that is all the political interference
14 was being run there, and I was running the program, and I had
15 direct outreach with my lead labs, Sandia National Lab was a
16 scientific advisor, I think we really designated them the
17 lead lab ultimately. I required each of the labs to move, to
18 have an office in Carlsbad, so we really focused the program.

19 As far as the community and the state were
20 concerned, the leadership of the program was in New Mexico
21 not in Washington, and that was the case. And, it was very,
22 very beneficial and helpful. We published early on, I think
23 it was in April of '94, I got there in like November of '93,
24 by April of '94, we published a schedule called the Disposal
25 Decision Plan. It was eight and a half by eleven, tri-fold,

1 and I was looking for one, I couldn't find one, to pull it
2 out, and I have a black and white one, was in some of the
3 comments, the diagram material I brought to look at, but it
4 was revised only four times in five and a half years in terms
5 of the schedule.

6 But, on that Disposal Decision Plan, eight and a
7 half by eleven, tri-fold that I used to brief all the
8 Congressional folks who came, all the local leaders, anybody
9 I met, sort of your elevator speech, it had the schedule for
10 every public interaction was scheduled on that document, and
11 all the peer reviews were scheduled, and the major scientific
12 activities, or the goals or deliverables were identified as
13 to date, like the performance assessment activities were
14 identified. So, we went to the extraordinary efforts to make
15 it a transparent process. So, the scientific evaluations
16 were listed, the regulatory interactions were listed, the
17 peer reviews were listed, and the public comment periods were
18 listed, and in that time period, we had 47 public hearings on
19 various aspects of the program. And, the opponents and the
20 proponents were actively informed and equally informed about
21 when they were going to occur and their ability to
22 participate.

23 As you might imagine, the greatest opposition
24 against WIPP were those people who seemed to be inversely
25 proportional to the distance from the site. So, it was in

1 mostly Santa Fe and Albuquerque, which were the opposition
2 groups, and they're still there. They're still opposing some
3 of the activities of WIPP. But, we decided also to open an
4 office in Santa Fe, just two blocks from their office, so we
5 had equal access to the public. If the public wanted to come
6 to our office or their office, they had to walk by one to get
7 to the other almost. A very engaged outreach.

8 Out reports, all the documents were provided, and
9 the public were encouraged and allowed to participate. We
10 had a lot of hearings, and I think over time, it was very
11 productive because we got a lot of people who were finally
12 getting the message in a sense is if you're truly worried
13 about this, for example, I can remember a meeting in Santa Fe
14 where we had a lot of the Pueblos, the Northern Pueblos, come
15 in attendance and speak. And, if you were at Santa Del Fonso
16 Pueblo, for example, which is the one that has territory that
17 bounds Los Alamos National Lab, it became obvious to them
18 that really, the risk to them was more apparent to leave the
19 material where it is on North Mesa than it was to move it and
20 put it in a hole in the ground in a salt formation at WIPP.

21 So, over time, people became informed enough to be
22 able to take an informed decision and position on it.

23 LATANISION: Did you track the public attitude in terms
24 of polling or any of that?

25 DIALS: We did. In fact, one of your participants

1 today, Hank Jenkins-Smith, was one of the polling contractors
2 we used. He was at the University of New Mexico--no, he's
3 still at University of Oklahoma, he had some affiliation at
4 the time. So, we did that as well. We had a lot of outreach
5 with the scientific and technical communities. I mentioned
6 we did seven peer reviews, the seven national peer reviews,
7 and the one international review, and those were open for
8 observation to the public. The reports went out to the
9 public.

10 We did a piece on the science, and I meant to bring
11 this up, and I know Peter Swift and Andrew Orrell and the
12 other guys suffered through this process a bit when I was
13 running WIPP. When I first got there, we had 116 separate
14 scientific and technical evaluation programs going on, and we
15 didn't have that much money at the time. Our budget was \$180
16 million a year, or something of that, to do everything. So,
17 we created a process, it was a prioritization process, sort
18 of a ranking process on the importance of those programs.
19 And, Peter, you might remember this, I think we went from 116
20 different sort of projects to eight major groupings of
21 projects, and that's where we spent the money.

22 We focused the science on those things that were
23 absolutely important to demonstrating the performance of the
24 repository, and meeting the regulatory criteria. And, that
25 helped us a great deal because it really focused not only the

1 attention of our scientific contractors and the national
2 labs, but it also focused the attention of the opposition
3 groups in a sense, because those are the things they started
4 worrying about and paying attention to. That was critical to
5 our ability to have this open and transparent process.

6 LATANISION: One follow-up question. You also
7 mentioned--actually all three of you have mentioned moving
8 any subsequent project out of the federal bureaucracy. And,
9 you talked in particular about a private federal construct.

10 DIALS: Right.

11 LATANISION: What would be the characteristics? Where
12 would the funding come from?

13 DIALS: Well, the funding would come from the Nuclear
14 Waste Fund that we're all paying into already. I mean, it's
15 an IOU. The money is not there.

16 ARNOLD: It's in that lock box. Welcome to Social
17 Security.

18 DIALS: Well, and others, but that's the logical source
19 of the funds, and there's substantial funding available to
20 accomplish this task. I've been spending some time in
21 Tennessee. I'm an Army nuke, unlike Navy nukes, you know,
22 Navy nukes deal with all this sort of very deliberate conduct
23 of odd stuff that get things to go through water, propulsion
24 systems. Army nukes deal with weapon systems, so it's
25 probabilistic siting and calculations about what you need to

1 take out certain parts. So, as an Army nuke, I think you go
2 through the probabilistic assessment of how much money we
3 need to do this job, and you will find out that the waste
4 fund is more than enough if we had a private fed corp, like
5 the TVA or something like that.

6 LATANISION: So, you would not look to any taxpayer
7 money in order to do this?

8 DIALS: Well, just the rate payer money.

9 LATANISION: Rate payer money, yes. I understand, okay.

10 GARRICK: Howard?

11 ARNOLD: Howard Arnold, Board.

12 I'm going to ask you to comment on another aspect
13 of public confidence. If I look at Southeastern New Mexico
14 and the chosen sites in Sweden and Finland, I see another
15 element which is a--there's something in it for the locals.
16 That's, I think, a key element in getting the kind of support
17 you're getting. If you look at Southeast New Mexico, you've
18 got WIPP and you've got the new enrichment plant, and they're
19 major drivers in the economy of that area. Whereas, if you
20 look here in Nevada, you've got enormous Las Vegas, and the
21 amount of economic benefit to this area of the Yucca Mountain
22 project is very minor compared to what you've got in New
23 Mexico, and also in Sweden and Finland both. Those are sites
24 where there are nuclear facilities, and the people see the
25 actual benefit of this thing in terms of jobs and economic

1 growth.

2 So, my recommendation would be that we add that to
3 the list of things that are part of future public acceptance.
4 Pick a site where this thing is going to be economically a
5 great benefit.

6 DIALS: I think that's very true, and it's played out
7 obviously in a place like Carlsbad because near the potash
8 industry, which has had a bit of re-invigoration the last few
9 years, had gone through a very difficult time. So, there
10 were a lot of mining experienced workers available in the
11 area, too, so having a repository fit an immediate need. You
12 know, that's one of the things you often hear. They should
13 benefit. Education programs should certainly benefit job
14 creation, people and families have an opportunity to stay in
15 the area.

16 BARRETT: I believe you can--we never got to do any
17 negotiations really with the State of Nevada. I mean, the
18 politics was just so difficult. There was such a litmus test
19 here in Nevada, it just couldn't be done. I believe you can
20 look forward with other states potentially, as Governor
21 Martinez in New Mexico said, I believe you can put together a
22 win/win situation. The national need for facilities is
23 great. Interim storage, I think we need a bridging facility
24 if we have a far out repository. And, I think there's huge
25 benefits available for a state that can make a difference at

1 the state level. I mean, when the need is great, the price
2 can be high. Things in the university system for the state,
3 the state could have the highest caliber scientific nuclear
4 safety infrastructure, and many things can be done business-
5 wise. So, I believe there's hundreds of millions of dollars
6 available. I'm talking about partnership, mutual benefits
7 for infrastructure that would benefit all parties. So, I'm
8 very optimistic that such arrangements can be done in a state
9 in the future.

10 KOUTS: Just if I could supplement their comments? I'm
11 sure the Board is aware that the payments equal to taxes that
12 were given to Nye County were a major portion of their budget
13 on an annual basis. So, I think in terms of providing
14 financial benefits to the situs county, the problem was doing
15 that under the constraints that it had, since we had no
16 formal C&C agreement with the state. But, Nye County
17 certainly needed that money on an annual basis, and they're
18 struggling right now because that pipeline has been cut off.

19 ARNOLD: But, your opposition came from here.

20 KOUTS: Well, correct. And, what you're really talking
21 about is an agreement with a host state, because the
22 political structure of the state needs to engage and want to
23 engage. In Nevada, you know, that was something that had
24 been tried many, many times and just didn't go anywhere. The
25 state was adamantly against it.

1 ARNOLD: So, you've got to start from that standpoint,
2 not get into it later.

3 BARRETT: The state is critical. I believe that's one
4 of the key lessons, and I think the BRC fully understands
5 that as well.

6 KOUTS: Well, let's put it this way. The state is
7 critical in the current construct that we currently have.

8 DIALS: The experience at WIPP was that the region began
9 the effort, actually, and the state came on later. I think
10 you could do it either way, but you certainly have to have a
11 proactive voluntary region that wants this thing to happen.
12 And, then, they do benefit substantially, the City of
13 Carlsbad benefited substantially from all the involvement
14 there, as is that region now.

15 And, I think--and, I had a hand in, I ran the LES
16 project, it's now renamed Urinco, Inc., but I selected that
17 site down there because I had lived there and I knew about
18 the site, and when we had a failed siting operation going in
19 Tennessee, got to make the decision to pick a new site, I
20 went to one where I knew there would be a receptive host
21 community. So, that's going to happen, and right across the
22 border in Texas, you have the Waste Control Specialist
23 Operation. I was the president of that group when we got our
24 license application in. That whole region is now a proactive
25 accepting region for nuclear industrial projects.

1 ARNOLD: That ought to be the starting point.

2 DIALS: So, I think going to a WIPP-2, and I have a bias
3 a little bit towards salt. I spent a lot of time in the salt
4 operation. I did my thesis on repositories in Europe, so the
5 salt mines in Germany were the most progressive at the time.
6 I think you would save time, and this is my personal view, if
7 you would look at a WIPP-2 type operation for either
8 disposing of the high-level military waste, and it's going to
9 be vitrified through the processes that are in existence out
10 at Hanford and Savannah River, and take care of that part of
11 the problem, and certainly look at an opportunity for a
12 repository siting in a salt formation. It doesn't have to be
13 right at WIPP. There's a lot of salt, as you know. But, it
14 would save you a lot of time because of all the information
15 we have, the characterization of the geologic structure, the
16 performance assessments that have been done by Sandia and
17 others of radionuclide transport in salt, and it would save a
18 lot of time in going to some other geologic structure, my
19 opinion.

20 GARRICK: Andy?

21 KADAK: Kadak, Board.

22 I was struck by I guess you all said take it out of
23 DOE, give it some federal private partnership. But, I wonder
24 what is the advantage of having the federal involvement in
25 any way? Because you bring in all the federal bureaucracy

1 problems and you take away, you don't allow, it sounds like,
2 the incentive of the private corporation to accomplish the
3 task. So, can you kind of explain why you think you need the
4 feds, you know, especially if after the site is closed, or
5 whatever, how many years in the future, the government could
6 sort of take over the land? I mean, they could own the land,
7 for example, if that's the kind of partnership you're talking
8 about? I don't know, could you kind of elaborate on that for
9 one moment?

10 BARRETT: I can start. I think there are many different
11 constructs that you can look at from a management sense. One
12 of them that was started back in the Sixties was the New York
13 State Energy Research and Development Authority. That was
14 West Valley. This was back when West Valley, in the State of
15 New York, felt that this was a good industry for the future.
16 The land was state, it was owned by the State of New York.
17 Okay? And, it was contracted by the best and brightest of
18 private industry at that time for the reprocessing plant. It
19 was built and it operated. Now, it didn't operate very long
20 for a various set of reasons, but the management structure
21 was one that that could work on.

22 So, I think there are many models like that. You
23 can do the TVA model. I think there needs to be a
24 partnership with the host state and the local community and
25 private industry, who can work and implement it under

1 contract with, say, DOE. I mean, this could start under the
2 existing law. Private fuel storage, which was interim
3 storage in Utah, which is politically blocked at the moment,
4 and has an NRC license for storage, they, for example, would
5 like to have had a contract from DOE to start the process and
6 work as a contractor to store the fuel to help DOE with its
7 obligation. We were never able to do that because of
8 politics, basically, but I mean there are very many models
9 where you could do this.

10 I think in the aggregate, and I worked as a fed for
11 27 years, private industry almost as much, but you're better
12 off, all things considered, to move it out into a private
13 public partnership. But, the land could go back to the
14 state. Low-level waste sites are an example of how you can
15 do that, in Texas and other places as well. So, I think
16 there are various public private partnerships that could work
17 quite well for this.

18 KOUTS: The only challenge I see in that construct is
19 trying to figure out a way to address the government's
20 liability under the contracts. Because if this entity is
21 being contracted for by the government in order to perform
22 under the contracts, the government has to have some
23 oversight responsibility in terms of making sure that this
24 organization is doing the right thing and not creating a
25 greater liability for the federal government. So, that's to

1 me the biggest challenge, the construct, whether it's
2 something that Lake suggested, or whatever, I think can work,
3 but that's really the wrinkle that I think a lot of people
4 are going to have to think hard about, and what kind of
5 construct is going to be that oversight in order to deal with
6 the contract.

7 KADAK: Just a comment about the TVA. The TVA is put up
8 as a model organization. But, if TVA ever had to pay back
9 the bonds, they'd go broke. Okay? So, let's kind of not
10 throw that one around too much.

11 DIALS: Well, that's true, but the--well, the nation is
12 broke already. Let me say something about it. I think it's
13 sort of a societal or psychological part of this because when
14 you're talking about such long-term risk, and we're saying
15 we're going to protect you and future generations on a
16 national basis for long-term risks, I think there's some
17 comfort level for the people, particularly in our country, we
18 do value our national institutions, and have some view that
19 we will have some long-term survival. So, having some sort
20 of overlay of federal or national responsibility ultimately
21 for the site, makes some sense from a psychological
22 standpoint. That is a comfort standpoint for the public.

23 KADAK: Let me ask another question relative to
24 regulation. You were apparently able to be successful with
25 EPA in siting WIPP. Do you have any views as to who should

1 be the regulator for a waste repository?

2 DIALS: Well, I think NRC is a perfectly good regulator,
3 and they've got the educated and the type of scientific and
4 technical folks you need to make determinations. I do think
5 that the--they were adversely impacted by what I view, and
6 this is a personal opinion, sort of a rational result of the
7 National Academy of Science study that ended up with a
8 million year performance time frame.

9 You know, we can run the computers, and it may say
10 well, the model can give you a number out there, and we think
11 that's--but, the public looks at that and says you've got to
12 be kidding, Jack, we can't even predict weather for next
13 week. You know, you can't predict what's going to happen in
14 political campaigns. Our predictive abilities are not
15 persuasive, in other words, with the public. You've got to
16 get it into a range where they can say yeah, I can buy that.

17 KADAK: I'm talking more about the regulatory process.
18 Going through the EPA process is quite different than the NRC
19 process, and I'm just wondering what your views are about the
20 two. Or maybe Lake has a comment.

21 DIALS: You know, I've been through, I've worked with
22 both processes. It was interesting in the EPA, the EPA
23 process became a much more of an interactive process because
24 the EPA, and Dr. Garrick was very involved in this, he had a
25 lot of time with his committee and with the scientists at

1 Sandia, were very much in a learning process about regulating
2 this industry.

3 GARRICK: The thing it sort of reminded me of is how the
4 regulatory agencies work in Europe. They interact a great
5 deal more with the licensee, and the EPA did that. They were
6 very visible. They attended meetings, informal meetings.
7 They worked with analysts on both sides, and they
8 demonstrated a great deal of technical humility. They knew
9 that they had a disadvantage, and that they didn't have the
10 infrastructure of NRC in terms of nuclear experience, but
11 they offset that by the studiousness with which they engaged
12 themselves in the process. And, they really did work hard to
13 understand all the issues, including the issues that our
14 committee was raising. So, it was a very kind of inspiring
15 relationship.

16 But, I would agree with George it's a little bit
17 apples and oranges, you can't really compare the two in terms
18 of who may or may not be the better regulator for this
19 particular application. I think the NRC has the full
20 capability to do it. But that was a unique experience and an
21 extremely successful one, and didn't have the adjudicatory
22 baggage that was inherent in the NRC. It just seemed to
23 allow and be an environment into which people were more
24 relaxed and working together in solving a problem. I think
25 that was a tremendous advantage.

1 DIALS: John, as a West Point guy, I can take a shot at
2 my Navy nuke friends that said, you know, there were many
3 fewer Navy nukes in the EPA regulatory thing than there are
4 in NRC.

5 KOUTS: If I could just make one point? There are two
6 parts to the regulatory scheme. One is setting the
7 standards. The other is oversight of the standards and the
8 licensing. I would argue very strongly that what we have now
9 is the worst of both worlds, which is we have one agency
10 creating the standards, another agency interpreting them, and
11 basically licensing the site.

12 What I would strongly recommend, and, you know, I'm
13 certainly to either EPA or NRC doing it, but they should do
14 both. They should issue the standard, because basically it
15 will be homegrown within that organization, they will
16 understand how it's going to be interpreted, and so forth.
17 And, they will issue that regulation with an understanding of
18 how it will be implemented, as opposed to having one federal
19 agency basically issue it, another federal agency interpret
20 it, where you get into all kinds of different situations with
21 it. It needs to be done by the same organization regardless.

22 BARRETT: Let me reinforce that, absolutely what Chris
23 said is true, and George did too, as well. But, they are
24 culturally very different organizations. The EPA is more
25 policy. They are a legislative type hearing process. It is

1 not really run by the engineers and the lawyers at all. The
2 NRC is an adjudicatory process. It is really the process of
3 licensing, is run by the lawyers, it is staffed by nuclear
4 engineers.

5 The strength in NRC kind of started off with
6 reactors and machinery and that sort of thing. And, the EPA
7 was more, well, what are we going to do with toxic wastes and
8 those sorts of things, and risk analysis. So, they are very
9 different culturally. Chris is absolutely right. We have
10 the worst of both at Yucca. We had the EPA philosophically,
11 best available technology set a standard, applied by rigid
12 engineers, and in an adjudicatory, lawyer driven process. It
13 was the worst of both. If I had to pick one and go, I think
14 they're both good organizations, and certainly capable of
15 doing it. But, you don't want to mix them.

16 GARRICK: We have another Board member that wants to
17 raise a question. But, I have a question that's related to
18 what we're talking about, and I've had it in my mind through
19 many Board meetings, and I can't think of a better group to
20 ask than this one.

21 And, it has to do with the implications of the
22 Amendment, the Amended Act of 1987. And, there's some
23 people, and I might even be one of those, that believe that
24 the Amendment to the Nuclear Waste Policy Act, the 1987
25 Amendment, was what really derailed the project, because it

1 transformed it from a rather systematic problem that was
2 being handled in the context of a decision analysis problem
3 where you have options, and suddenly now it was not.

4 And, I would like to hear a comment from each of
5 you about that, and whether or not you believe that this was
6 a step backwards rather than the step forward that it was
7 intended to be.

8 BARRETT: I'll start with that one. It was a huge step
9 backwards as far as the relationship with the State of
10 Nevada.

11 GARRICK: Yes.

12 BARRICK: If the country could have held with the
13 state's disapproval and a decision in 2002, as was really
14 decided, we'd be okay. But, nobody expected that little weak
15 Nevada of 1987 would have the majority leader who had the
16 power to control who the president was, as it was believed in
17 the last election cycle. So, what happened was it shouldn't
18 have been such a driver, but it became a huge driver in the
19 emotions of the situation.

20 I think when I said the Nuclear Waste Policy Act
21 was a little too idealistic, back in '82, people thought site
22 characterization and the level of risk people would expect
23 was not what it turned out to be in 2002. I mean, the public
24 and the TRB and the NRC and the EPA expected almost
25 perfection and absolute zero risk almost from a repository.

1 Back in '82, it was a billion dollar, 60 million, or
2 something. Site characterization was put a shaft down and a
3 few small experiments and get on with it in a couple years,
4 not a \$5 billion operation that had to have triple belts and
5 suspenders and almost perfection and nuclear quality
6 assurance, et cetera. It's that cost that drove it so high,
7 and to be unbearable and unsustainable.

8 If you look at the three sites, the Hanford, Death
9 Smith and Yucca Mountain, my personal opinion is when it was
10 all said and done, if we had gone through with it, Yucca
11 still would have come out on top for many technical reasons.

12 So, as Congress short-circuited it, it was probably
13 the dead right call. Okay? It was probably the right call
14 to make, but the repercussions of it, due to the next 15
15 years, it was fatal.

16 GARRICK: Yeah.

17 DIALS: I agree that I think that really made it more
18 difficult to get to the repository opening stage on Yucca
19 Mountain, because you enabled the opposition to always hang
20 fear on the idea that we're being forced to do it because
21 it's so dangerous that nobody else would voluntarily do it.
22 We have interesting and sometimes irrational responses to
23 personal risk in our society and we all do it every day.

24 You can think about if you're looking at a new
25 automobile, the kind of automobile you want to buy, and you

1 may be one of those who goes and checks out all the latest
2 safety things and which scored highest and what's got the
3 best air bags, and so forth. But, given all that
4 information, if you were told that you had to buy this
5 specific vehicle because that's just the way it's going to
6 be, regardless of your fear about the risk, you would be very
7 reluctant to do it psychologically.

8 And, I think that's what happened in this case, and
9 it enabled those who argued that this was dangerous for Las
10 Vegas, and that's where all the people are in Nevada, to
11 really have the upper hand in that argument, and contributed
12 to the ultimate failure to win over public acceptance.

13 GARRICK: I think another way to ask that question would
14 have been to get your opinion of where we would be now, and
15 would we be in the same position, had we not had the
16 Amendment Act?

17 KOUTS: Well, I'm glad you asked it that way, Dr.
18 Garrick, because let's play it forward, let's assume that the
19 '87 Amendments never happened, and we carried forth site
20 characterization efforts at Hanford and at Death Smith, Texas
21 and at Yucca Mountain. And, let's say we get to 2002 and the
22 Secretary of Energy recommends Yucca Mountain, and the State
23 of Nevada says no, and we have the same political structure
24 in place today. I would submit to you that we could have
25 ended up exactly where we are today, even following three

1 sites going forward. Because I think whatever state, if
2 their mindset is hell no, and if they have the political
3 willpower and the political power to do it, it's could
4 potentially happen again.

5 So, what I would submit to you is yeah, looking
6 back, maybe. Looking at how we look at it now, yes. But,
7 we'll never know the other path because we may have ended up
8 exactly where we are today.

9 DIALS: One of the things I would add, that would give
10 you, Chris, an opportunity to enter into negotiations, which
11 were never done in Nevada. Say, well, we're going to up the
12 ante with what you get, and we talked about the benefit to
13 the region, there's substantial benefits that can accrue to a
14 region for taking on this repository program. And, we were
15 not as specific as perhaps we could have been, although
16 Nevada knew that there were certain things coming, and would
17 certainly come to go along with this. But, it wasn't enough
18 and there was no real negotiations about it because the
19 positions had been taken early before it was eminent. And,
20 there was no other group contending for the opportunity
21 because we had foreclosed all of them. So, it was a this is
22 it or nothing. So, I think that would have affected it,
23 Chris.

24 KOUTS: I have great respect for George. It's a
25 theoretical discussion.

1 BARRETT: A third opinion on it. I think we would have
2 ended up in the same place. Okay? Because I don't think you
3 would have ever gone in and spent \$4 billion characterizing
4 each site. And, if we had done it, for example, and spent
5 all that money through the budget, then you would have come
6 out, each site would have pros and cons, and each governor
7 would probably say, you know, my site is not the right site
8 because of, say, transportation, or this or that. So, you
9 would never end up with closure.

10 Now, maybe we could have had a negotiation with
11 Nevada, and maybe not. You know, I don't know. Nobody is
12 ever going to know the answer to that. So, it's hard, we
13 just don't know. But, I don't think you could have gotten
14 there because I don't think the country would have spent \$12
15 billion, if the other sites got done like Yucca Mountain, got
16 analyzed. And, I don't think TRBs, and others, would allow
17 anything less than that.

18 GARRICK: There is one thing very clear. If we did not
19 have that Amendment, we would not be here.

20 BARRETT: Maybe not. There would have been an NRC or
21 somebody else demanding almost the same. I mean, the NRC
22 requirements, the EPA requirements are very restrictive, and
23 if you look at it from a national perspective, in my view, I
24 feel very badly that we spend billions of dollars to deal
25 with miniscule, almost non-existent risks in society, and

1 spend billions of dollars to prevent a statistical death
2 maybe a million years into the future, whereas, we could use
3 that money for our schools, our hospitals, or whatever it is
4 today.

5 I think we are ill-serving the American people by
6 spending billions of dollars on things that are really of
7 such low risk relative to other things we accept due to the
8 psychology of a nuclear death that we'll spend billions to
9 deal with, but a roadside death, or when the ambulance comes
10 to get somebody with a heart attack, maybe it's \$50,000 is a
11 death. That is, to me, the imbalance in society in nuclear.

12 GARRICK: Okay. David?

13 DUQUETTE: Duquette, Board.

14 I'm going to argue that the three of you are trying
15 to put together a horse by a committee, and you're going to
16 end up with the same camel that most of us end up with in
17 trying to put together a federal state industry organization.

18 I recognize that the federal government has made an
19 agreement with the utilities that they would dispose of the
20 waste at some point. But, like all laws, that can change. I
21 mean, the other camel I'm talking about is USPS, for example,
22 the U.S. Postal Service operates sort of as a private
23 organization. It doesn't do it very well.

24 What if we turned it over to industry? What if we
25 took the Nuclear Waste Fund and turned it over to a group,

1 say EPRI, or somebody like that, that's an industry group
2 that is responsible for that? That's what has happened in
3 Sweden, pretty much in France and Finland. The utilities are
4 responsible for the waste that they generate, and the
5 governments in those cases basically simply make sure that
6 it's a safe operation and one that's going to serve the
7 public. Would that be a reasonable model for us to go to? A
8 complete change in how we approach it. But, would it be a
9 model that we could go to?

10 BARRETT: Let me start with that one, and Chris will
11 probably add to it, his views.

12 If we're starting from scratch, that's what I would
13 do. But, we didn't start from scratch. And, the
14 Constitution has a Taking Clause. DOE has a contract with
15 the utilities, and this is contract law, not legislative
16 control. Okay? And, the utilities, in '82, were smart by
17 saying you know, I'll give you the money, but I don't trust
18 you will ever deliver. I want contract protections under the
19 Taking Clause.

20 So, you cannot, as Chris mentioned earlier, this
21 federal liability of \$16 billion, and growing at a half a
22 billion dollars a year, has got to be reconciled with going
23 forward. And, you can't pretend it doesn't exist. So, even
24 if the Congress just can't change the law and say good, now,
25 you do it, whatever model, the SKB model of Sweden, you know,

1 you take it over, someone has got to deal with that \$16
2 billion, and growing, liability.

3 It can be dealt with various ways, but you can't
4 just change the law under the Taking Clause of the
5 Constitution, unless you don't believe in the Constitution,
6 and most do.

7 KOUTS: If I could just supplement what Lake says. It
8 is a contract, and if you look at the Windstar litigation,
9 Congress can't pass a law and say the contract doesn't exist
10 anymore. So, the only way to get rid of the contract is if
11 both parties agree that the contract is dissolved.

12 DUQUETTE: Of course. There's no question of that.
13 It's contract law, and contracts are changed on a daily basis
14 everywhere in the world.

15 KOUTS: But, it takes two parties to do that. It takes
16 both sides of it. And, the question then would be are both
17 sides willing, and it's not one contract holder, there are
18 like 77 contract holders, so, you're not dealing with a
19 single mindset. You're dealing with people thinking about
20 what's good for their own organization, whether it's a
21 corporation or whether or not it's a--but anyway, there has
22 to be total agreement among those 70-some odd entities to
23 abolish the contract. That will be very challenging.

24 And, right now, as you know, the federal government
25 is locked in litigation on that, and it's not the liability,

1 it's because the contract says that the federal government
2 was supposed to begin taking these materials by January 31,
3 1998. Courts have ruled basically that the government is in
4 partial default. And, all the lawsuits now are not about
5 who's at fault, the lawsuits are about how much money the
6 individual contract holder gets because of the Department's
7 delay up until the point of trial.

8 So, it's all about damages, it's all about money,
9 and the question is are people going to want to get off that
10 gravy train and go to a new construct. And, what I would
11 submit to you is from what I've seen, personal experience in
12 court, I don't think a lot of people are going to want to get
13 off that gravy train. There are already some contracts that
14 have been settled, and they get continual payments. Now, why
15 would they not want to do that and go to some other construct
16 where they don't know what they're going to get.

17 So, what I'm suggesting to you is that it's a
18 Gordian knot kind of issue, and it's going to continue until
19 some entity performs and begins to take spent fuel, and that
20 liability can be reduced.

21 DIALS: I think it would change if there were some way
22 to do the alchemy here that was once thought of, and you can
23 turn the crud into gold. And, whoever takes title to the
24 material will ultimately own the fissile material that's in
25 it, and we say long-term, there's likely to be tremendous

1 value to that if we have the nuclear renaissance worldwide
2 that we're talking about. And, that could provide some
3 incentive for an approach that you suggest, where a
4 corporation would come in and deal with it.

5 If we were to start over, that would be an ideal
6 thing. I have a great deal of confidence in the ability of
7 American industry to solve problems and deliver value. But,
8 it is complicated by this case, but I do think it has to do
9 with a value judgment at some point about what the material
10 is worth and who would like to have title to it. And, I
11 don't think it will be resolved in the near-term, but if you
12 go to a process of interim storage facilities, for example,
13 one idea that could exist is the utilities could be enticed
14 by private interim storage facilities to transfer title, if
15 some interim storage facility were courageous enough to do
16 it, a corporation. And, that means we've got to have an
17 ability to recycle and reprocess.

18 So, that's part of this holistic view that's
19 missing now as we look at the overall fuel cycle. And, with
20 the status of the cycle now, I think Chris and Lake are
21 right. The utilities would be very reluctant to give up that
22 contractual obligation the government has to take the
23 material.

24 GARRICK: Two more questions from the Board. One from
25 Bill Murphy and then Ron.

1 MURPHY: This is Bill Murphy of the Board.

2 First of all, I would like to say that I'm very
3 appreciative of this discussion. It's been really
4 enlightening for me to have this Panel address the Board.
5 So, I appreciate that.

6 My first question is why was peer review useful in
7 WIPP and not useful at Yucca Mountain? Was it perhaps
8 because peer reviews at Yucca Mountain were critical, as the
9 TRB has been at times?

10 BARRETT: I started that one, I guess. I'll speak to
11 Yucca Mountain.

12 They were positive peer reviews, and we did the
13 NEA, IEA because George told us how good it was at WIPP, and
14 that's what we did at Yucca Mountain, and they were very
15 positive. What happened, what my comment on that was it
16 didn't affect the trust and confidence of the technical work,
17 which was the question that you all had asked. So, no, it
18 didn't have a big thing. It was valuable to do. I would do
19 it again. But, we didn't get credit for it.

20 MURPHY: Why?

21 BARRETT: Because it didn't--it was a good news story
22 and within the State of Nevada, the airways were basically
23 controlled by, and the papers, by folks who felt this was a
24 terrible injustice, and they were not going to basically
25 publish favorable information about Yucca Mountain. Any

1 hiccup and negative, it would be all over the place.

2 So, the answer is it was the demeanor of the state
3 was not about to talk about the positive things at Yucca
4 Mountain. So, it didn't work here. New Mexico was a
5 different environment.

6 DIALS: Well, some of the peer reviews were negative. I
7 mean, we had problems to resolve as a result of the peer
8 reviews. But, the results of going through the process were
9 improved programs, and we resolved some of the issues,
10 whether it was actinide solubility, or some other issues
11 people were worried about, we had to do more research and
12 more technical work on.

13 Our regulator participated as an observer and were
14 involved in the peer review. So, it gave them some
15 confidence. And, I'm not sure the NRC would be involved in a
16 peer review. So, the EPA regulators were involved in the
17 peer review, so they got confidence also that we were really
18 working the problems, and the results were scientifically
19 credible.

20 Andrew, you were involved. Andrew Orrell was with
21 Sandia National Lab, and was involved in a lot of these
22 things and might have a comment to add. They suffered
23 through a lot of these peer reviews, but they were very
24 important in terms of our effort to get the support we needed
25 for the program.

1 GARRICK: I think there was one other thing that very
2 much distinguishes WIPP from Yucca Mountain, and that is the
3 stability and genuineness that was provided by having a chief
4 scientist throughout pretty much the whole project. Wendell
5 Weart did a marvelous job. He was a great communicator.

6 And, I think the other element that existed on WIPP
7 that never has existed on Yucca Mountain is it had continuity
8 in its National Academy of Science Committee throughout the
9 whole process. And, they worked extremely well, from the
10 standpoint of the technical element. So, the organizational
11 makeup was just much more friendly, had much greater
12 continuity.

13 MURPHY: This is Bill Murphy again. I have one
14 additional question. And, it's somewhat a spin on the
15 question that John Garrick posed about the effects of the
16 Amendments Act. And, I think we learned from the WIPP
17 experience and from the Yucca Mountain experience that site
18 characterization is really a pretty hard job, and problems
19 will be discovered that need serious work to resolve them.

20 And, this is rather glib, but in my view, my
21 personal view, one of the important lessons learned from the
22 Yucca Mountain experience is that it was a mistake to select
23 the site before the site characterization had come to a
24 conclusion, because there still remained hard problems that
25 hadn't been resolved.

1 BARRETT: What Congress said was characterize this only
2 one site. They didn't say this is the site. They said DOE
3 can go forward and characterize only one site, and if it is
4 safe, proceed. So, as we went through that over the many, 15
5 years, between '87 and 2002, if we felt scientifically the
6 site was not there, I had the authority and a couple times I
7 had to use it in the political world, was that I could report
8 to Congress that this site is not suitable. So, that was
9 there. It was not forced on that this was the site no matter
10 what.

11 So, the science still controlled it, and the
12 science still was supreme. And, the reason I say what
13 happened politically, was that while we're developing EPA
14 standards, there was one EPA standard that some little over
15 zealous folks within EPA, it was science could never show,
16 you basically would have to show every cubic meter of rock
17 was below the EPA standard. You couldn't do it. But, I said
18 if that's the standard, I will go report to Congress in the
19 morning that this site is unsuitable. Okay? Because no
20 science, you could never prove it. Then, EPA went back and
21 said well, wait a minute, we don't want to go there. But, I
22 mean, science still was supreme, even though after the '87
23 Amendments, in my opinion. Then was the siting, when science
24 was done, then the political process.

25 DIALS: But, I think our report, I submitted the site

1 selection report, it should have been the site affirmation
2 report, not selection. The site had been selected. We just
3 submitted a report that said yeah, given all the stuff we
4 have to do through characterization, the site will meet the
5 objective. But, it had already been sited.

6 KOUTS: This is an excellent example about why I think
7 you need a comprehensive history of the Yucca Mountain
8 program, because there's so much more to the story in
9 answering your question than Lake or George just said. I
10 mean, the initial standard was a release based standard. It
11 wasn't a dose based standard. It was remanded because of the
12 ground water requirements. Congress directed the Energy
13 Policy Act of 1992 that a site specific standard for Yucca
14 Mountain be developed, and that's where we got a dose based
15 standard.

16 Now, getting back to Dr. Garrick's question, if we
17 had the horse race and the three repositories, would we have
18 had three separate standards for three separate sites, and so
19 forth? Again, I think your question, and many of the
20 questions here of the Board, really, in order for the
21 knowledge of what the program went through, and all the
22 issues that it addressed, that's why you need that
23 comprehensive history, so people really understand. Because
24 if you're just dealing with a notional understanding about
25 well, why did they do this, or why did they do that, you

1 never really get to understanding how to go forward and
2 construct something that will work in the future, if indeed
3 that's where we're going.

4 GARRICK: Okay. Quickly, Ron?

5 LATANISION: I'll pass.

6 GARRICK: No? This has been an excellent session, and
7 we really do appreciate the three of you being willing to
8 take off your straightjackets--

9 KOUTS: I got rid of mine last January.

10 BARRETT: Mine was nine years ago.

11 GARRICK: --and share it with us. We appreciate, as we
12 appreciated all the presentations this morning. They've been
13 a little bit unfair, but still you held up very well.

14 All right, we will recess until 1:45.

15 (Whereupon, the lunch recess was taken.)

16

17

18

19

20

21

22

23

24

25

1

AFTERNOON SESSION

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

GARRICK: Okay, let's come to order. Is Andrew Sowder here? Andrew is going to talk to us about Electric Power Research Institute review of geologic disposal, or disposal options for used fuel and high-level radioactive waste.

You have the floor.

SOWDER: Well, first of all, I wanted to start off by thanking the Board and the Staff for the opportunity to share our perspective on geologic disposal, lessons learned.

As Chairman Garrick indicated, the title of the talk is EPRI Review of Geologic Disposal and a focus here is on lessons learned. I'm Andrew Sowder, and I am with Electric Power Research Institute. And, I also want to express EPRI's appreciation of the Board's confidence in suggesting EPRI of running the program. But, I'm not quite sure how I feel about that suggestion added to my role.

So, quickly, just the contents of the talk. I wanted to provide you with a brief overview of really the context for our review, and remind folks who may not be familiar with EPRI our role, which has been over the course of several decades in geologic disposal studies, especially performance assessment. And, introduce our geologic disposal review series that was published in 2010, and given that this is after lunch, and I know many of you will be fighting the urge to fall asleep, I will focus this talk on two core

1 principles for moving ahead with a new geologic disposal
2 program in the U.S., informed by previous experiences. But,
3 also, I can't resist adding a few additional observations and
4 lessons learned, in parting, before writing a brief overview
5 summary.

6 So, I don't need to really go into too much about
7 why we're here. Clearly, with the Department of Energy's
8 license application in June of 2008, followed by the
9 termination of that program in 2009 and end of NRC review
10 last year, along with the 2010 empanelment of the Blue Ribbon
11 Commission, we, as others, I think felt that it was
12 imperative to attempt to capture some of the key points,
13 lessons learned, experiences from the past 20, 30, 40, 50, 60
14 years of geologic disposal research and programs.

15 And, a brief word about EPRI. We are an
16 independent non-profit research institute. We conduct
17 research on behalf of our members, which are the electric
18 utilities. We're kind of agnostic on where the electrons
19 come from, but a lot of our utilities do use nuclear energy
20 to produce those electrons. And, we currently encompass all
21 the nuclear utilities in the United States, as well as a
22 sizeable fraction around the world. So, we are international
23 in scope. But, we were chartered for public benefit, we are
24 a non-profit. Essentially, we're here to keep the lights on,
25 so to speak.

1 So, in terms of EPRI's role in geologic disposal,
2 I'll focus quickly on our performance assessment experience.
3 Again, I have only been at EPRI for three years, but
4 certainly our role has dated back 20 years or more. We were
5 among those demonstrating early on the utility of total
6 system performance assessments for grappling with the
7 complexity associated with geologic disposal, particularly
8 compliance over long time frames.

9 And, throughout these past two decades, we have
10 been able to provide independent, technical defensible
11 assessments of Yucca Mountain performance. Again, we feel we
12 are in a unique position, as we were able to develop and
13 maintain our own independent capabilities throughout this
14 time frame.

15 And, just to kind of illustrate the long history of
16 total system performance development, and really, I think the
17 role of peer review was raised at several points with regard
18 to Yucca Mountain, about it not being maybe as effective, but
19 in many regards, it has been effective at least from our
20 point of view. We felt like our work paralleled that of the
21 Department of Energy's and Nuclear Regulatory Commission, and
22 at several points along this leap frog effect of developing
23 the performance assessment methodologies, that we were able
24 to inform the process and make meaningful contributions, as
25 well as us learning from the Department of Energy and others

1 doing the same.

2 The last bullet there, EPRI all along I think has
3 been a vociferous champion of the concept of reasonable
4 expectation. You may have stringent standards and
5 regulations, but one of the saving graces was this philosophy
6 of reasonable expectation embodied in both 40 CFR 197, as
7 well as the generic standards of 40 CFR 191. And, I will
8 touch on that more later.

9 But, kind of as a quick advertisement, my year last
10 year was spent putting together what turned into a four
11 volume set of surveying and reviewing the history, as well as
12 current and planned geologic programs, and aspects of those
13 programs. Volume I addresses the aspects of siting
14 associated with the Nuclear Waste Policy Act, up until the
15 1987 Amendment. Volume II is associated with reviewing the
16 regulatory set, both the environmental standards and the
17 Nuclear Regulatory Commission's regulations associated with
18 geologic disposal. Volume III is a fairly hefty review of
19 international repository programs, focused on, again, a
20 limited number of countries, but with the view towards trying
21 to capture a number of the key aspects and experienced base
22 that now exist.

23 In many regards, the international community has
24 now caught up and is passing the United States in the area of
25 geologic disposal. And, certainly, there is much to learn

1 from that experience. Of course, transferring those lessons
2 also comes with a lot of caveats, and there are some
3 limitations on how much you can apply the international
4 experience to that of the U.S.

5 But, today, again for the sake of brevity, I will
6 focus on lessons learned. The point of this volume was to
7 take the meat of these first three reports, which were meant
8 more as neutral technical observations, and distill them down
9 into some more useful points in terms of take-home messages.

10 KADAK: Did you say these are publicly available?

11 SOWDER: Oh, I'm sorry. And, I will provide the
12 websites at the end of this. Yes. One thing that we have
13 strived to do in our used fuel and high-level waste program
14 is make virtually all of our reports publicly available from
15 the start. Because, again, in fitting with our role and our
16 mission as a non-profit for the public good, these more
17 strategic type documents are seen best in the public arena.
18 So, these, and many others, at the end of the talk, they're
19 in the packets. I provide a short bibliography of other
20 relevant reports we have produced over the years.

21 But, thank you for that. That's an important
22 reminder.

23 So, in lessons learned, this is pretty much how we
24 focused or organized our lessons learned. Nothing surprising
25 here. Again, EPRI is a technical organization. We do not

1 delve into policy. That's for others to decide. But, we are
2 about performing technically credible work and presenting
3 those results, and letting them stand on their own merits.

4 The first bullet there was included because it's
5 very clear that we are not starting from a clean slate on
6 geologic disposal. You have over five decades of work behind
7 us. There is an international consensus that geologic
8 disposal is the preferred and safe method for dealing with
9 long-term isolation of used fuel, high-level waste from the
10 geosphere.

11 Now, geologic disposal encompasses both mined as
12 well as other options, such as deep borehole, but, certainly
13 revisiting once again space based disposal. How many people
14 have heard of a rocket blowing up on the launch pad? If you
15 have, it's probably not a good option right now. Sub-seabed,
16 technically credible, but from the standpoint of
17 international conventions and law, again, that has been
18 examined in the past.

19 Again, in the interest of keeping you awake, I will
20 focus on two core principles. These are what I saw as
21 recurring themes, at least in our review, that seemed to
22 serve to inform maybe a path forward for the next geologic
23 disposal program. And, I think one of the messages here is
24 that in spite of the challenges and the problems with the
25 Yucca Mountain program, the long history, there is much to

1 learn and actually to start from with what we have with
2 respect to the Yucca Mountain program, at least in terms of
3 the generic aspects such as regulatory compliance,
4 regulation, that sort of thing.

5 So, the first theme is the kind of the eternal need
6 to anticipate and address uncertainty. Again, this shouldn't
7 be an earth shattering concept. But, from our standpoint,
8 the inclusion of the reasonable expectation concept in the
9 EPA standards does provide a sound basis for performance
10 evaluation and compliance.

11 Given that, there is explicit recognition in those
12 standards that absolute scientific proof is unattainable,
13 particularly as you move out in time.

14 Reasonable expectation recognizes that many of the
15 uncertainties increase significantly with time. Some don't.
16 Some increase over the matter of a course of days and weeks,
17 for example. Human behavior, for instance, is one that I
18 think most people agree is something that you can't get a
19 handle on no matter what the time frame, other than a period
20 of institutional control.

21 Reasonable expectation allows you to focus on those
22 risk-significant features, events, and processes, or FEPs.
23 And, again, in terms of how we looked at performance
24 evaluation, reasonable expectation drives you towards best
25 estimate rather than worst case scenarios and also worst case

1 assumptions and data.

2 A second key aspect, and some of this was brought
3 out in the 1990 National Academy Board, BRWM position on
4 Rethinking High-Level Radioactive Waste Disposal, is from the
5 start, however, a flexible adaptive approach is really needed
6 to anticipate the inevitable surprises, that's how it was
7 put, and I think it's a good word, as siting progresses from
8 here, ignorance, not in the pejorative sense, but as you move
9 in your siting activities from ignorance to uncertainty to
10 knowledge.

11 And, you know, when you're first approaching site
12 screening and selection, you may not even recognize what you
13 don't know in terms of, in the words of a famous uncertainty
14 expert who now has a book out and is on tour, you start off
15 with your unknown unknowns, and then you move through your
16 known unknowns, and hopefully, you get to the point where you
17 have your known knowns.

18 So, in that regard, starting up front,
19 acknowledging the fact that you may end up in a place ten
20 years from now that doesn't look like where you started with
21 with regards to your site assumptions and your conceptual
22 models, would certainly overcome some of the challenges faced
23 when the need for course corrections occur. Again, changing
24 your assumptions and conceptual models doesn't mean that your
25 process failed. It just means you've learned something.

1 The second general theme is the value and need to
2 treat the geologic repository as a system. And, again, this
3 has again become pretty much now a universal approach, but it
4 wasn't always so. By treating the repository as a system, it
5 allows you to focus on the appropriate endpoints driving the
6 system towards protection of human health and safety, not
7 becoming distracted with the performance of, say, individual
8 components of that system, whether they be in a natural
9 barrier system or the engineered barrier.

10 Again, by treating the system holistically, it does
11 allow you to identify the risk-significant FEPs, features,
12 events, processes, that you might not otherwise be able to do
13 if you're treating each substantive component in a siloed
14 fashion. And, finally, again, this approach really allows
15 you to optimize your system for safety and robustness.

16 So, the underlying concept here, or take-home, is
17 the ultimate performance of your repository is driven by the
18 combination of your natural and engineered barriers working
19 in concert, providing you with safety margins through the
20 existence of that defense in depth.

21 So, now, putting out those two key concepts, what I
22 liked about doing that was these two seem to drive a number
23 of other choices in terms of how you might organize your new
24 program. And, again, a lot of this may sound like it
25 reflects a lot of the previous program. Well, that's because

1 there are parts to retain. We are not starting from scratch,
2 from a clean slate, or there's no need to throw the baby out
3 with the bath water.

4 So, some of the aspects of a new program that fall
5 out of these two basic principles or themes is how you do
6 your regulation. Again, I indicated risk or dose based, all-
7 pathways approach. I'll get into this in more detail in the
8 following slides.

9 The use of performance, total system performance
10 assessment methods as your means of measuring performance and
11 compliance over long time frames. These drive how you do
12 your site screening, selection and characterization, and
13 allow you to evaluate your features, events and processes in
14 the context of the system performance. Again, rather than
15 unduly focusing on one aspect of your site, say, hydrology,
16 becoming too enamored with the hydrology where you may miss
17 or under-estimate other important contributions to
18 performance.

19 And, finally, recognizing that your repository
20 design is in fact tailored to your site, and that to a large
21 extent, that design can be adapted within certain margins to
22 optimize your performance and to make up for some surprises
23 as they come along.

24 So, in terms of the all-important regulatory
25 framework, again, a quick review of the international scene,

1 you do see this trend towards risk-based regulation, nothing
2 like and also a departure from cumulate release limits, those
3 sorts of things. The trend is towards risk-based approaches.

4 And, along those lines, separate containment
5 requirements, subsystem performance requirements, separate
6 ground water pathway requirements, even if they are seen as
7 programmatically desirable by some organizations, end up
8 being really redundant and they're really contrary to the all
9 pathways approach. They are not needed, and in the end, they
10 actually can end up being detrimental to your ability to
11 optimize. Again, by focusing on one subsystem, you may end
12 up hurting your overall performance of your repository.

13 Another interesting thing, or important fact to
14 point out is that the most evolved U.S. regulations strictly
15 apply only to Yucca Mountain, the site at Yucca Mountain,
16 Nevada. And, so, the licensing of any other geologic
17 repository currently reverts back to the generic, and I put
18 in in parentheses obsolete, 40 CFR 191 and 10 CFR 60. But, I
19 think it is widely recognized that these really don't need to
20 be revised or a new set of regulations promulgated.

21 The last point here is that we do have some
22 positive data points on regulation of geologic disposal, and
23 that is the EPA certification of WIPP, that it can provide a
24 model for the utility and application of generic standards in
25 terms of how it was done. However, again, the lessons from

1 WIPP must be considered with caution because the
2 applicability of WIPP, the WIPP certification process for TRU
3 waste does not necessarily translate to disposal of
4 commercial used fuel and also high-level waste.

5 So, the take-home here is that existing standards
6 and regulations, the framework we have, actually provides a
7 useful basis to start from for promulgating or developing a
8 simpler risk-based all pathways approach. We don't need
9 revolution, we don't need people in the streets here, we just
10 need informed evolution.

11 Next, a critical component of the regulations, and
12 really the whole program, is over what period you need to
13 demonstrate compliance and performance of your system.
14 Extension of the Yucca Mountain compliance period to one
15 million years resulted from the EPA's response and how they
16 decided to respond to a very narrow court ruling. That court
17 ruling was tied to a legal finding regarding the consistency
18 of those standards with the National Academy of Sciences
19 report, as mandated by the Energy Policy Act of 1992. But,
20 it was not driven by a finding of inadequate protection. So,
21 that's an important to keep in mind.

22 If you want to look abroad for examples, well, that
23 may be of less use, but in general international regulatory
24 systems encompass the range from 10,000 to one million years,
25 or beyond. So, take your pick there. But, one important and

1 I think useful feature of the international regime is that
2 there is a growing consensus that as you go out in time
3 beyond that 10,000 year time frame, there is a need for an
4 increasing qualitative treatment for far distant time
5 periods.

6 Now, in a 2005 report, EPRI prepared some
7 recommendations as to how you might implement a meaningful
8 and reasonable regulatory framework going out beyond 10,000
9 years. And, in the end, the final 40 CFR 197 was fairly
10 consistent with the recommendations in our report, in which
11 quantitative performance limits were retained for one million
12 years, but in other countries, you have phased regulatory
13 approaches where you move to more qualitative assessments,
14 more of a safety evaluation, safety analysis past 10,000
15 years, or so.

16 So, the take-home message from here is regulation
17 of a high-level waste repository other than at Yucca Mountain
18 could in fact revert to a 10,000 year quantitative compliance
19 period.

20 How do you demonstrate compliance? Well, again, as
21 pointed out earlier, the development of Total Systems
22 Performance Assessment really provides a principal tool, an
23 enduring tool, for demonstrating repository safety over long
24 time frames, whether that be 1,000, 10,000 or beyond.

25 However, it's important to recognize there is a

1 fundamental difference between performing your modeling to
2 demonstrate regulatory compliance, and support regulatory
3 confidence, and, running the models and expecting them to
4 actually predict the future. Those are two very different
5 activities, and the purpose of the TSPA methods I think, no
6 matter who's running them, is for the former, that is,
7 demonstrating regulatory compliance and adding to your safety
8 case, adding to your regulatory confidence.

9 Throughout all this, your TSPA is of little use if
10 you then use the tool in an over conservative manner, piling
11 conservatism upon conservatism. Really, the usefulness,
12 utility of the TSPA is best realized when you apply it again
13 in this context of reasonable expectation. Again, tying my
14 themes here together deliberately because I do think it does
15 provide a useful theme for moving ahead.

16 I couldn't resist including our latest evaluation
17 of Yucca Mountain performance under nominal plus a seismic
18 scenario, just to kind of indicate that based on EPRI's work,
19 and others, Yucca Mountain itself has a site, performed with
20 substantial margin over the time frame demanded by the
21 regulation.

22 In terms of site screening, selection, and
23 characterization, I think there's a lot of interest in
24 learning a lot from the international scene in terms of
25 what's the best approach, how should we proceed. We now see

1 Finland, Sweden reasonably close to actually achieving
2 licensing of their facilities for construction. However, of
3 course, what works in one country is really highly dependent
4 on those factors in that country. And, I call attention to
5 the one obvious thing, is that in the United States, we have
6 state governments and they do play an important unique role
7 in policy and politics. And, so, that needs to be definitely
8 factored in. So, there really is no single best approach.
9 Nominative, top down, works in some areas and volunteer
10 approaches work in other countries.

11 One universal lesson that may be gained from the
12 history of Yucca Mountain from the Nuclear Waste Policy Act
13 process is that overly restrictive siting criteria should be
14 avoided initially in your screening process, because you run
15 the risk of possibly eliminating suitable sites, and
16 distracting from evaluating the most risk-significant
17 aspects. Again, focusing on favorable hydrologic conditions
18 that may later turn out not to be the case. Focusing on
19 ground water travel times, or setting cumulative and
20 fractional release limits.

21 Ultimately, the goal of our geologic repository
22 program is to identify and develop an adequately safe site,
23 good enough is good enough.

24 And, so, kind of the take-home here is a best site
25 really neither exists nor is necessary. And, that the

1 successful siting experiences do not necessarily translate to
2 other nations.

3 One of the compelling lessons, though, from the
4 international perspective is you immediately realize that all
5 nations seriously pursuing geologic disposal expect to
6 successful site one, regardless of their size, their geology,
7 their diversity of geology, the population, the population
8 density, et cetera.

9 And, so, in the U.S., we are again blessed with a
10 continental nation with geologic diversity. We have all the
11 geologies under consideration in other countries, so this is
12 an obvious lesson learned. I heard it raised earlier that we
13 have no shortage of candidate sites from a technical
14 perspective.

15 Along with the site selection, again, looking at
16 the system as a whole and risk informing that process, your
17 site selection cannot be totally divorced from your
18 repository design, because a repository design--ultimately
19 repository performance is determined by both natural and
20 engineered barriers working together. And, the existence of
21 multiple barriers provides you with margin to this defense in
22 depth principle.

23 And, the one possible benefit from the U.S. now
24 being back to square one in its repository program is we now
25 can benefit from the international experience. The

1 collective international experience offers a number of
2 repository design concepts off the shelf, if you will, that
3 are suited for a wide range of environments, geologies, you
4 know, again for each geology, you may have vastly different
5 repository designs, and also requirements. For example, the
6 need or design for reversibility or retrievability.

7 Also, another trend is the development of new
8 alternative repository designs that provide greater
9 flexibility and adaptability for integration into fuel
10 cycles. These would be ones that are hybrids between
11 storage, with the option to dispose.

12 So, the take-home here is that having the flexible
13 repository design allows for some degree of course
14 correction, should again those surprises and repository
15 characterizations occur. Again, this is not a failure of
16 your process. This is just what happens when you learn more
17 about a site. And, it's a benefit from having the ability to
18 mitigate some of those, some, not necessarily all, but some
19 of those deficiencies.

20 So, now, moving on, one parting comment or lesson
21 that I wanted to point out, and I think it's been reflected
22 here is the common mischaracterization that Yucca Mountain
23 was selected without any technical basis. It's clear that
24 the selection of Yucca Mountain occurred in an abridged
25 Nuclear Waste Policy Act process, and, again, to the

1 detriment probably of the overall program. But, there was a
2 process in place, and Yucca Mountain was a top site
3 determined in the composite ranking in a technically based
4 multiattribute utility analysis.

5 Now, that MUA process, that was criticized as being
6 deficient, as could any process be criticized. But, there
7 was a process in place. And, again, the figure here just
8 indicates the long history of the process leading to the
9 down-selection of Yucca Mountain, starting in 1957, going
10 through various restarts, down-selection from nine acceptable
11 sites, to five, to three, and then the ultimate abridgement
12 of the process with the Amendment of the Nuclear Waste Policy
13 Act.

14 Another comment that has not really been addressed
15 today is the need to distinguish between your technical and
16 your legal or other repository capacity matrix. There is a
17 big difference between what your repository system could
18 potentially hold versus what it's been advertised as being
19 able to hold. Legal or regulatory limits are established for
20 many reasons, non-technical reasons. In the case of Yucca
21 Mountain, this was tied to the status of the siting of a
22 second repository. I believe after the second repository was
23 licensed for construction, or perhaps after going
24 operational, then that 70,000 metric ton limit would be
25 lifted.

1 However, I think one detrimental aspect of this
2 focus on this legal limit was that you began to see fuel
3 cycle options being sold on the basis of the limits of Yucca
4 Mountain. From EPRI's perspective, and again, we did some
5 work on modeling the technical limits of Yucca Mountain and
6 the rock block there, we found that the site could contain at
7 least four times the legal limit, and possibly expandable up
8 to nine times that limit, with changes in repository design,
9 configuration, et cetera. DOE, in its Congressionally
10 mandated second repository report, came to a similar
11 conclusion.

12 So, finally, and perhaps a self-serving role, but
13 we certainly, EPRI, as an independent entity conducting
14 research, we certainly feel that peer review and independent
15 input into the process are really vital for a credible
16 program. And, again, we count ourselves amongst the Nuclear
17 Waste Technical Review Board, this Board, the National
18 Academy of Sciences, for better or for worse on some of their
19 reports, as well as the International Peer Community, among
20 being a vital and really a constructive part of informing the
21 process, and providing that credibility.

22 However, technical merits of a program only go so
23 far, and so it would be naïve for me to not recognize that
24 non-technical issues, the social, political, economic
25 dimensions, can and really typically do over-shadow the

1 technical merits of a repository program.

2 So, in summary, the objective of a repository
3 program that should inform and be kept in mind throughout the
4 development of the process and execution, is that the
5 objective is ultimately an adequately safe not a best site.
6 Because, again, "the perfect is the enemy of the good here."

7 The nature of the siting process, given this
8 progression from not even being able to bound your
9 uncertainties through understanding your uncertainties
10 through knowledge, really calls for an up front
11 acknowledgement of the fact that, you know, surprises will
12 happen. And, many programs around the world have moved to a
13 more flexible, adaptable, phased approach. Canada, for
14 example.

15 Another key nugget here is the importance of
16 treating the repository as a system because out of this falls
17 many other usual attributes of a meaningful and implementable
18 repository program. And, that is, you know, what really
19 matters is the protection of the human receptor downstream,
20 no matter what pathway contributed to the risk. The all
21 pathways, risk-based approach is really preferable.

22 You do have tools for demonstrating compliance.
23 The Total System Performance Assessment approach remains a
24 valuable tool for doing that. Risk-informing your evaluation
25 of your features, events, processes in screening site

1 selection and characterization is another useful outcome of
2 looking at your system as a whole. Focusing your resources
3 on where they need to be focused, and, finally, having the
4 ability to tailor your repository design to complement non-
5 fatal site deficiencies.

6 Also, the value and importance of independent
7 technical peer-review, credibility of the program overall.
8 But, again, recognizing that all the technical credibility in
9 the world, well, it's a necessary but not sufficient
10 condition for a successful program.

11 So, with that, here are our reports. Again, I've
12 only touched on the surface here, touched very few of the
13 actual details, and these reports, they are publicly
14 available and, again, contact me if you have any questions.
15 We also have put out a long string of technical reports as
16 well as our contribution to the process informing the public
17 debate.

18 So, with that, I thank you again.

19 GARRICK: Thank you. Thank you, Andrew. Andy?

20 KADAK: Andrew, I've got a question relative to your
21 adaptable approach. Are you basically endorsing the National
22 Academy of Sciences "One step at a time" approach, or do you
23 have something different in mind?

24 SOWDER: That statement was more of just a generic
25 statement about acknowledging the role of uncertainty, and

1 the nature of uncertainty, how it changes through time. But,
2 certainly, what the National Academy, the report I'm most
3 familiar with, or the opinion I'm most familiar with is the,
4 "Rethinking high-level waste disposal."

5 KADAK: Well, they wrote another one called, "One step
6 at a time," which is a little bit more prescriptive than I
7 think what you're talking about.

8 SOWDER: Right. Right.

9 KADAK: Okay. The next question is can you just give us
10 a quick feel for why your numbers are so much lower than the
11 DOE's numbers on the TSPA? What is it that was different in
12 your model than their model? And, clearly, you couldn't do
13 it to the level of complexity that they did.

14 SOWDER: Right.

15 KADAK: And, the reason we're asking is that if there is
16 a future TSPA done somewhere, the complexity of the TSPA that
17 DOE did perhaps obscured its real findings. And, just could
18 you share with us just some of the highlights of the
19 difference, because I know you looked at it?

20 SOWDER: Well, in terms of some of the key scenarios,
21 including this one, is some of this is driven by the seismic
22 results. I think certainly our evaluation of the seismic
23 processes were less conservative than those of the Department
24 of Energy, in terms of effects of rock fall on the
25 performance of the waste packages, et cetera. Other things

1 built in, in terms of dose from key nuclides, such as
2 Neptunium 237, for example, we screened out colloid
3 transport, for example, based on, again, on a systems
4 approach looking at the event tree that would have to happen
5 in order for the colloidal contributions to be significant.
6 Your probabilities fall off into dust.

7 KADAK: Okay, that's good.

8 SOWDER: Yeah, and I'll state right here, you know, EPRI
9 is not the licensee in this case, and so as I mentioned, we
10 took--a lot of this comes in terms of how you parameterize
11 best estimates versus moving towards perhaps more pessimistic
12 selections for your values of parameters.

13 KADAK: Okay, thanks.

14 ARNOLD: Right down the corner of the chart there,
15 reasonable expectations.

16 SOWDER: Right.

17 GARRICK: Bill, one more question?

18 MURPHY: This is Bill Murphy of the Board.

19 I have two questions. The first is do you think--
20 pardon?

21 GARRICK: Go ahead. One more two-part question.

22 MURPHY: Do you think that there are certain phenomena
23 from a geologic perspective that are more predictable on a
24 million year time scale, such as perhaps seismicity or even
25 colloid stability?

1 SOWDER: Off the top of my head, I don't think I can get
2 specific, but there are probably some features and events
3 that become less uncertain, or more certain over time. You
4 know, the fact that over a certain time frame, you're going
5 to have glaciation in some regions, you know, that's a known
6 fact in some areas.

7 MURPHY: Okay. And, my second question applies to this
8 figure, and I see Uranium 238 and its daughter, or sub-
9 granddaughter, 234 and Thorium 230 and Radium 226, all
10 relatively predominant, those contributors. These are not
11 related to fission at all. This is all coming from just the
12 Uranium content of the system. And, in natural systems that
13 contain Radium on time scales like this, the predominant dose
14 comes from Radon, which is the largest dose that people
15 receive under natural conditions. Why isn't Radon in your
16 graph here?

17 KESSLER: It goes up rather than out.

18 SOWDER: In terms of, again, the receptor here is that
19 18 kilometers downstream, in terms of the exposure pathways
20 followed, your Radon is going to off-gas. And, in terms of,
21 I think if you looked at the actual concentrations you're
22 looking at, I don't think--you're not going to get a
23 significant dose. And, that's certainly something that you
24 can look at, but can be screened out in terms of the impact.

25 MURPHY: Thank you.

1 GARRICK: Okay, thank you, Andrew. We're running a
2 little close to our schedule, so I think we're going to have
3 to terminate the discussion.

4 Our next discussion is on Deep Borehole Disposal,
5 and that's going to be handled by a couple of people we heard
6 from in the past, Pat Brady and Andrew Orrell. Pat?

7 BRADY: Lake Barrett stepped out a little while ago, so
8 he did my introduction for me. This is "the dog that won't
9 hunt" description of deep borehole disposal. And, it
10 actually is useful and I don't mean to be glib here because
11 if this country is to move towards a phased modular approach
12 for the disposal of high-level waste, like deep boreholes, we
13 have to make a distinction between what deep borehole
14 disposal entails compared to the traditional mined geologic
15 repositories.

16 This represents work that's been done at Sandia by
17 myself, Bill Arnold, and Jim Krumhansl. We have worked side
18 by side with our collaborators at MIT, Mike Driscoll and
19 Richard Lester, who pioneered this and have worked on it for
20 the last two or three decades.

21 This time last year, we were getting ready for a
22 workshop in Washington, D.C. that was attended by a lot of
23 the international people from Sweden and the U.K., and two
24 members of the Board came as well. That was Bill Murphy and
25 Dave Diodato. Whereas they could not speak and represent the

1 Board officially, they were there with their comments, and
2 their very presence assured that the importance of technical
3 peer review was held at the top of everybody's mind. So,
4 it's an honor to be here with you all today.

5 Now, first of all, let me describe what a deep
6 borehole entails. Essentially, it's five kilometer deep--
7 well, this is our reference design--a five kilometer deep
8 borehole using existing oil and gas technology. The waste
9 disposal zone is ideally in crystalline rock, typically a
10 granite. The waste disposal zone goes from a five kilometer
11 depth to three kilometers depth. So, you've got two
12 kilometers in which to stack waste.

13 You will see some pictures here showing how far
14 down that is. There's the bentonite on the outside. The
15 waste package is really not a package at all. It's nothing
16 more than traditional drilling casing that has, in the
17 reference design, it has two fuel assemblies stacked, and the
18 ends are sealed, and it's placed down the borehole. And, you
19 can get roughly 400 of those in one borehole. That's roughly
20 110 metric tons. You can do the math. That says that to
21 cover 70,000 metric tons at Yucca Mountain, you would need
22 about 600 boreholes. Roughly six for every nuclear power
23 plant in this country.

24 The reasons why deep boreholes are perceived to be
25 safe and require less site characterization than, for

1 example, Yucca Mountain or WIPP, it's a combination of
2 hydrological and geochemical factors. Hydrologically, there
3 is a density stratification of the water. As you go down
4 with depth, the solid content of the water goes up. The deep
5 boreholes that have been drilled in the former Soviet Union,
6 in Germany, they typically point to salinities on the order
7 of 4 molar. So, that density stratification causes a
8 resistance for subsequent vertical transport.

9 The other geochemical driving force for low doses
10 when you do PA's for deep boreholes is that these are very
11 reducing conditions. Typically, there's free hydrogen. Most
12 of the actinides are in their lower valent states. There is
13 one notable exception I'll get to towards the end.

14 On the less technical side, the attractions for
15 deep boreholes, there's about four of them. First of all, I
16 don't have the map here, but there's a map in one of our
17 reports showing the area of the United States that is
18 underlain by crystalline rock, which is two to three
19 kilometers deep. That is our target. A large fraction of
20 this country has crystalline rock very nearby. So, you don't
21 have to look far to find a place to put deep boreholes.

22 Secondly, it requires not vast technical
23 improvements, that is, we don't need--well, essentially,
24 these boreholes are done routinely in the oil and gas
25 industry, and, so, our approach has been to where we can,

1 take advantage of existing oil and gas technology.

2 The human intrusion scenario is rather extreme, to
3 the point of being non-existent in this case. And, lastly,
4 as Andrew Orrell will point out after I'm done, it's
5 relatively inexpensive. We've done some early calculations
6 that we're refining right now suggesting it would be
7 substantially cheaper to dispose of nuclear waste in deep
8 boreholes than in a mined geologic repository.

9 Now, when we first started off on this, we took
10 advantage of the work done by the Swedes and by the British,
11 and did something they did not do, which is do a performance
12 assessment. And, when we did it, we came up with one single
13 radionuclide of concern, that's Iodine 129, and I will cover
14 why that is in just a moment. But, even with the most
15 conservative assumptions, we ended up with iodide doses that
16 were typically about nine to ten orders of magnitude below
17 the regulatory limit.

18 So, what I'm going to do in my next five minutes is
19 talk about what we're doing in the meantime, as we work
20 towards doing a pilot for deep borehole disposal.

21 One of the take-home messages here is that there
22 are some truths we cannot arrive at just by doing
23 calculations. We actually have to demonstrate them, and show
24 that this is truly a viable concept.

25 So, I'm going to spend about four slides just

1 quickly running through some of the recent thermal hydrologic
2 modeling. The thermal mechanical modeling is going to be
3 very fast because I don't know a whole lot about thermal
4 mechanical linkages. We'll linger a bit longer on
5 radionuclides solubilities and sorption, which I do know more
6 about. And, then, I will tell you a little bit more about
7 some of the iodide sorbants we're developing, as well as how
8 one might achieve retrievability here.

9 This is Bill Arnold's work. Basically, we start
10 off, the reason we do the thermal hydrological models are to
11 establish how far apart the boreholes have to be so that they
12 don't see each. Typically, the borehole temperatures go up
13 30, 40 degrees above the ambient. That gets higher if they
14 get very close. We'd like to know how close they can come
15 before the temperatures start to build upon each other.

16 Now, here's some of the results from Bill. This is
17 sort of spent fuel assemblage. There's a 200 meter spacing
18 and 100 meter spacing. Essentially, there's a temperature
19 peak in about two to eight years. Like I said before, it
20 only goes up about 20 or 30 degrees. These things, you
21 really don't see them. They don't see each other. You can
22 put them fairly close together, within 100 meters, it doesn't
23 change the thermal profile a whole lot. What this means is
24 if the country were decide to go down to boreholes and put
25 them all in a single field, it wouldn't have to be that

1 large.

2 KADAK: How old is the fuel that you're disposing in
3 these boreholes?

4 BRADY: I don't know exactly for this one. The first
5 time we did it, we took the Yucca Mountain inventory and aged
6 it to 2117.

7 KADAK: 2117. So, it's very, very old fuel.

8 BRADY: Yes.

9 KADAK: Okay. I just want to be sure we understand
10 that.

11 BRADY: It goes higher if you use like the high-level
12 waste, we did some of the French fuels as well, and you can
13 get it up, it never really clears about 170, though.

14 The important point here is that, and what Bill has
15 done here is he's taken the temperatures and converted them
16 into a vertical water velocity. That is, when you look at
17 how quickly water, and presumably radionuclides can move, the
18 only way that you can get the radionuclides up to the surface
19 rapidly is straight up the borehole. And, the thermal pulse
20 basically expands the water. You end up with a vertical
21 driving force. And, what this slide shows here is that
22 depending on the hydraulic conductivity that you choose in
23 the borehole and in the disturbed rock zone around it, you're
24 typically talking about vertical velocities of about a
25 millimeter per year. Keep in mind that the thermal pulse

1 lasts for 100, 200 years tops. So, we're talking about
2 vertical movement on that order.

3 So, that's one of the inputs into the PA
4 calculation. If you've seen the earlier reports, you will
5 see that these specific discharges are about an order of
6 magnitude lower than the earlier conservative ones we did.
7 So, as we get into this further, the vertical velocity is
8 actually dropping.

9 The next thing he's going to do is explicitly
10 couple in the thermal haline stratification, and those
11 numbers will drop further.

12 Okay, skip the mechanical part. I'm short for
13 time. Let me go to the solubility and sorption. For the PA,
14 you anchor the concentrations of the radionuclides by
15 solubilities inside of the spent fuel. Now, those numbers
16 can vary. For example, look at technetium. Well, technetium
17 is kind of the poster child here. It's typically very low
18 because it's insoluble in reducing conditions. But, the
19 range of values is very, very large because we really don't
20 know what the solubility limiting phases are going to be.

21 Now, at Yucca Mountain when we calculated the
22 solubilities of something like uranium, we had to assume that
23 the fuel in an oxidizing environment was going to completely
24 dissolve. Everything that was in the fuel was going to go
25 into a water rich environment and then possibly come back

1 down. As, for example, thorium would drop out, it would be a
2 hydrated amorphous phase.

3 Under reducing conditions in a borehole, there's
4 not a whole lot of driving force for the spent fuel to
5 dissolve in the first place. And, that depends on how much
6 uranium is around in the ambient fluids to begin with. So,
7 it's harder to say with great confidence that it's going to
8 be the amorphous hydrated forms that establish the
9 solubility. There's a chance, there's a possibility that it
10 might be the oxides. We put them both up here for the
11 actinides.

12 Let me point out, though, it really doesn't matter
13 in the PA. These things never make it out of the granite.
14 The only things that do make it out of the granite are things
15 which we cannot assure there's a solubility limiting solid.
16 Let me point these out, because it identifies some of the
17 uncertainties that we'll have to grapple with on boreholes.

18 Carbon 14, well, you'd like to think that calcite
19 will form and limit that. But, bicarbonate levels are all
20 over the map when you look at what's coming out of the deep
21 boreholes that have been drilled before. Cesium, that's
22 easy, there's nothing that it's going to form a solid with.
23 It's a long-shot. Iodide might combine with some of the
24 metals, but that's more than a long-shot. And, so, we've had
25 to deal with that separately. Radium and strontium, well,

1 you can't just assume they're going to form carbonates,
2 because we don't know how much carbonate is there. We would
3 love to know what the bicarbonate levels are at these depths.

4 By the same token, we would love to know what the
5 levels of sulfides are at those depths. Chances are there
6 won't be sulfates there because of the reducing conditions to
7 form radium sulfate or strontium sulfate. But, that's on our
8 wish list. We'd like to know carbonate levels and sulfide
9 levels.

10 If you look down at the bottom here, these are
11 sorption k_d 's taken from a compilation by McKinley and
12 Scholtis maybe 15 years ago where they looked at these were
13 k_d 's they compared from a lot of the international repository
14 programs. They're all over the map. The important thing to
15 remember about them in an order of magnitude sense is that
16 for carbon and iodide, the k_d 's are effectively zero.
17 Iodide, and this is what causes the iodide to be our primary
18 dose driver in the PA for the deep boreholes, and so one of
19 the focuses of our research has been to develop ways to stop
20 the iodide from coming out.

21 And, I can't show the slides here because it's
22 patent protected, but we've been looking at basically
23 developing bentonites, which we've been able to construct,
24 that will give us k_d 's on the order of 20 to 100, which
25 effectively erases our iodide does. We don't know exactly

1 how it works yet, but it's encouraging, and the fact that
2 we're going to have bentonite in the annulus and in the seals
3 above it, it give us a way to target lowering our dose.

4 The other thing we're looking at is the seals.
5 Obviously, if the only transport pathway of concern is
6 vertical, those seals have to perform really well. We're
7 looking at the best combinations of just regular bentonite
8 and the chemically doped bentonites to give us defense in
9 depth, to prevent and protect the iodide moving forward.

10 So, before I wrap this up and hand the baton over
11 to Andrew, let me put in a plug for--well, I told you what we
12 do know. Let me tell you the stuff we don't know, the things
13 that we really have to demonstrate.

14 I mentioned the carbonate and the sulfide. We need
15 that just to refine the thermodynamic models. Keep in mind,
16 though, that for the things whose solubility are affected by
17 those, it's not like they're going to show up in the PA.
18 But, we would like to know what the solubility limiting
19 solids are.

20 But, if you think about doing a borehole, a bigger
21 concern is what happens if you get a canister stuck? What
22 happens if a decision is made to retrieve the spent fuel or
23 the other waste that you've put down in the bottom? These
24 are things that we can propose ideas for, but they're things
25 that we actually must test. We would like to have a pilot.

1 We would like to have a pilot where we fail. We want to have
2 a pilot where we get things stuck and have to pull them back
3 out. We'd like to have a pilot where we have to retrieve a
4 waste.

5 I'll close by pointing out that a lot of people say
6 that boreholes will never work because you cannot assure
7 retrievability. Sure, you can. One way to do it is to, if
8 you have to pull a canister out of the bottom, you don't pull
9 it out, you rublize it using existing drilling techniques,
10 and you solution mine it down a straw. This is how we got
11 the uranium in the first place.

12 Now, drawing this up on a sketch is one thing.
13 Proving it in real life is another, and that's one of the
14 objectives for our pilots. And, with that, I will close.

15 ORRELL: Let me first make a correction to the question
16 about the aging of the fuels. For thermal calculations, we
17 used 25 years from the date of discharge, the same as we do
18 for the Yucca Mountain license application, or PWR
19 assemblies. So, it was quite hot actually. And, then, on
20 top of that, we also did thermal calculations for the French
21 glass waste, which was even hotter. And, the conclusion is
22 still the same. There's very, very little thermal impact, if
23 you will, primarily because the granite and the ground water
24 make such a great heat sink. So, I just wanted to clarify it
25 was not 2117, it's 25 years.

1 KADAK: Okay, since you brought it up, we also did some
2 studies, not for spent fuel, but for glass waste, French
3 style two kilowatt packages, and we got much higher numbers,
4 to the point where, in fact, there was a concern that we
5 would be melting the glass again because of the poor
6 conductivity, if you will, of the host rock because we didn't
7 really know what the conductivities were. So, it's a
8 variable and a very important variable.

9 So, you know, we've talked about this before. I
10 would very much like to see some of those calculations about
11 the temperatures and the assumptions you're making about air
12 gaps, the casings, and so on and so forth, and the size of
13 the waste package.

14 ORRELL: Agreed. Right. And, I will talk about some of
15 our collaborations in a moment, yes.

16 KADAK: Okay.

17 ORRELL: So, as an adjunct to Dr. Brady's discussion on
18 the technical issues regarding deep borehole disposal, I plan
19 to discuss the programmatic rationale for why this disposal
20 concept is of particular interest, the benefits that it may
21 provide, and possibly a path forward to realize its
22 implementation.

23 So, why the interest in deep borehole disposal?
24 For me personally, it was developed essentially as a lessons
25 learned in working on several repository programs, and

1 realizing where the majority of the time and effort that was
2 spent on site characterization and performance assessment. I
3 was intrigued by the work of Mike Driscoll and Dick Lester at
4 MIT and Fergus Gibb in the UK.

5 So, several years ago, I assembled a small team of
6 researchers and charged them to complement the work at MIT,
7 and to look specifically at the safety case that could be
8 made for deep borehole disposal. In that effort, we also
9 identified a number of lines of arguments for why the deep
10 borehole disposal concept should receive serious attention.
11 What we desire in all repositories, regardless of the
12 geology, is a very high confidence in the isolation
13 performance of the repository over very long time frames, and
14 achievable at reasonable cost.

15 All traditional mined repositories present some
16 unique challenges that are a consequence of their location,
17 being only a few hundred meters below the surface.
18 Traditional mined repositories are tightly coupled to the
19 surface biosphere effects, which complicates the process of
20 understanding the effects of the biosphere on the repository,
21 and the effects of the repository on the biosphere. This
22 coupling between the surface phenomenon and the underground
23 disposal environment, which invariably complicates the safety
24 case and the assessment of performance, and may result in
25 expensive accommodations, is manifested in sometimes unending

1 debates and controversy, which can ultimately erode public
2 confidence.

3 For example, on Yucca Mountain, we spent huge
4 amounts of time and money on those very interactions between
5 the surface and disposal environment involving infiltration,
6 effects on UZ geochemistry, the effects on waste package
7 corrosion, and the ultimate effects on the projected dose.
8 And, we all anticipated that those effects would be the focus
9 of the licensing hearings.

10 In Sweden, similar issues are arising over sea
11 level rise and glaciation effects on the rock mechanics of
12 the repository, and the potential impact on the integrity of
13 the heavily relied upon engineered barrier system.

14 Regarding the desire for high confidence isolation
15 and reasonable cost, deep borehole disposal concepts appear
16 to provide such benefit. The multi-kilometer depth of deep
17 borehole disposal more effectively decouples the repository
18 from the bi-directional biosphere effects and, thus, makes
19 the process of assuring high competence performance and
20 safety perhaps somewhat easier. I believe this is also the
21 reason for a similar interest in salt repository, as salt in
22 appropriate settings is thought to offer near complete waste
23 isolation.

24 This intrinsic isolation capability is what makes
25 deep borehole an intriguing disposal concept. In contrast to

1 most mined repositories, I believe the smaller number of
2 features, events, and processes that would require inclusion
3 in a deep borehole PA could reduce the time and cost of the
4 site characterization and for developing a high confidence
5 safety case and licensing basis.

6 Consider, for example, the potential for debates
7 over future climate change and the effects on infiltration,
8 corrosion, et cetera, especially if performance assessment
9 periods remain on the order of 100,000 to a million years.
10 With deep borehole disposal, many such phenomena could be
11 screened out based on a lack of consequence. In essence,
12 deep borehole disposal could be faster and cheaper to
13 implement and with better higher confidence in isolation.

14 For many, traditional mined repositories seem deep
15 or deep enough especially when you are personally
16 underground. But, for many others, it is difficult to fully
17 appreciate the distances involved in either traditional mined
18 repositories or deep boreholes. This graphic is simply to
19 help grasp the difference between traditional mined
20 repository depth of a few hundreds of meters, and the multi-
21 kilometer depths anticipated for deep borehole disposal.

22 The red line is from the location of this meeting
23 at the top to the airport terminal, which is just about five
24 kilometers straight along Paradise Road. If you got out to
25 walk it, you'd be below the depth of most mined repositories

1 before you got to the end of the golf course right next door.
2 That would be the yellow line there. The yellow line
3 similarly is from the intersection of the Sahara and the
4 strip, just below the Stratosphere Tower, to the MGM Grand at
5 Tropicana, and the strip is about five kilometers long.

6 For height, when you leave today, take a look at
7 the Stratosphere Tower as the tallest object by far in the
8 Las Vegas horizon. It is 350 meters tall, about the depth of
9 Yucca Mountain, and a bit more than half the depth of WIPP.
10 Then, consider in a five kilometer disposal concept, it would
11 take 14 and a little more Stratospheres to make five
12 kilometers, and eight and a half of those would be used for
13 the plugging and sealing zones alone.

14 Let's talk about benefits. These are labeled as
15 asserted benefits because I recognize that all repository
16 concepts are though perfect before they are actually
17 implemented. When something hasn't been tried, there is no
18 shortage of positive qualities, such as those listed here. I
19 won't read each one. You are free to ask about any. But,
20 there are a couple I would like to emphasize in the next
21 couple of slides. One, feasibility and cost and, two, multi-
22 repository issues.

23 On cost and feasibility, data from enhanced
24 geothermal drilling estimates suggests an emplacement ready
25 deep borehole of sufficient diameter and depth might be about

1 \$20 million. Let's simply add another \$20 million for
2 operations, sealing, et cetera, for a total of \$40 million
3 per hole. For the U.S., that would be about 38 billion,
4 that's billion with a "B", for the entire U.S. inventory
5 anticipated through the year of 2030, or so.

6 Let's double that again just for government
7 uncertainty, and you get \$76 billion. Still \$20 billion less
8 than the last Yucca Mountain life cycle cost estimate for the
9 same inventory of about 120 to 130,000 metric tons.

10 Dry rod consolidation demonstrated at Idaho in the
11 1980's could conceivably double the utility of each hole, or
12 conversely reduce the cost of each hole by reducing the
13 needed diameter. But, the value engineering of this idea has
14 not yet been completed.

15 As importantly, for nations with small inventories,
16 such as Mexico, the linear scale cost and the relatively low
17 initial cost make it ideal for programs that can't afford a
18 significant portion of their GDP to fund a traditional multi-
19 decade mined repository program.

20 On the issue of multiple repositories, the
21 potential for deep boreholes has some potential advantage
22 over mined repositories. Crystalline basement rocks are
23 relatively common at sufficient depths, and this gives us
24 lots of technical siting options, and makes the idea of
25 regional repositories perhaps just slightly more conceivable.

1 Based on my personal experience in repository programs, I
2 worry about the simultaneous pursuit of two mined
3 repositories, especially if they were to occur in different
4 geologies.

5 These are two plots of the performance of the same
6 clay repository loaded with spent fuel on the left and high-
7 level waste on the right. Now, imagine if these were two
8 different repositories located in two different geologies,
9 but with the same inventory. Even though both exceeded the
10 performance criteria, imagine the contentions and protests
11 that would be raised about one repository being "safer" than
12 the other. We believe that deep borehole disposal fields may
13 not only have a very low dose projection, but they may also
14 be very comparable from field to field if the expected
15 uniformity of basement conditions holds true.

16 So, what might we do if we wanted to move from
17 concept to realization? The European Union had recently
18 formed the Implementing Geologic Disposal Technology
19 Platform, and it provides a model for how we might move
20 towards a deep borehole disposal pilot demonstration. In
21 2006, the European Council decreed that there should be an
22 emphasis placed on implementation oriented R&D activities of
23 all remaining key aspects of the deep geologic disposal of
24 spent fuel and long-lived radioactive waste.

25 Prior to formal organization, an executive working

1 group of interested implementers and R&D stakeholders worked
2 to define the technology platform and vision report specific
3 to the challenges of disposal in Europe. The waste
4 implementing organizations across Europe initiated the
5 Implementing Geologic Disposal Technology Platform to
6 "foster, to promote, and to accelerate the implementation of
7 geologic disposal."

8 The mission of the IGD-TP is to support confidence
9 building in the safety and implementation of deep geologic
10 disposal solutions. They are now in the process of
11 finalizing the strategic research agenda, and will soon begin
12 implementation of that agenda.

13 I fully acknowledge that deep borehole disposal is
14 still a concept that could spend easily another 20 years in
15 academic consideration. However, given the technical,
16 programmatic, and political developments of the past two
17 decades, I will suggest that the time has come to move from
18 concept consideration to full-scale pilot demonstration, if
19 for no other reason than to fully vet the promise or the
20 pitfalls of the disposal concept. The IGD platform may also
21 provide a model for doing this.

22 The conclusions. The point here is not that deep
23 borehole disposal is the best or only solution for geologic
24 disposal. The point is that the concept holds such a
25 significant promise that it warrants consideration of an

1 effort to accelerate its pilot demonstration, and to vet its
2 true feasibility and viability.

3 As the concept has merit for the U.S., perhaps to
4 address regional equity issues to Mexico to effect complete
5 disposition of its small inventory and avoid long-term
6 stewardship storage, and to Canada as well, with 2.8 million
7 CANDU fuel bundles in lots and lots of granite, given this,
8 it may be worth considering a multi-national collaborative
9 effort similar to the EU technology platform for implementing
10 geologic disposal. I am not suggesting a multi-national
11 repository, however.

12 Lastly, as a concept which could yield patentable
13 technology that would have direct and indirect applications,
14 such as with enhanced geothermal, industry RD&D participation
15 is conceivable, and could be a precursor to alternative waste
16 management models such as Fed Corp. The role of the
17 Department of Energy could well be to stimulate a cost-
18 sharing program between the drilling and waste management
19 industry implementers and the government and its cadre of
20 researchers who could accelerate the RD&D process, and
21 thereby create another option for the U.S. Government to meet
22 its outstanding obligations.

23 I think that's it. So, now I think Pat and I are
24 happy to answer any questions.

25 GARRICK: Okay, Ron?

1 LATANISION: Latanision, Board.

2 I haven't heard any conversation about the
3 mechanical loads on the canisters. Am I correct in assuming
4 that the bottom-most canister supports all the ones above it?
5 I am?

6 BRADY: You case it down to the bottom, you cement the
7 base of the casing, but yes, then you're stacking the
8 canisters on top of each other. We did calculations early on
9 to suggest that they would not squash, and Mike Driscoll did
10 the same thing, using a canister of cast iron.

11 LATANISION: So, 5000 meters is based on an estimate of
12 what the mechanical properties of the canister would be with
13 a load of however many--

14 BRADY: Two kilometers worth of canisters on top of it,
15 yes.

16 LATANISION: Okay.

17 BRADY: So, the bottom one sees--

18 LATANISION: I'm glad to know you've done that. I was
19 wondering about it. But, there is a metallurgical phenomenon
20 called micro plastic yielding, and what this means is that if
21 you have a mechanical metallurgical structure with a
22 sustained load on it for very long periods of time, even
23 though the loads may be below the ostensible yield point,
24 there may be micro plastic yielding. A classic example is in
25 spring steels. So, I'm just wondering whether you have

1 thought about such phenomena in such an application?

2 BRADY: The quick answer is no. But, you have to keep
3 in mind that if the micro plastic failure doesn't occur
4 before--if it occurs after we've emplaced the seals, it
5 doesn't affect the performance, because we took no credit for
6 those canisters. I mean, it would be good if they lasted
7 thousands of years.

8 LATANISION: Yes. You mean, if it were to crush, it
9 doesn't matter?

10 ORRELL: No consequence.

11 BRADY: No consequence.

12 ORRELL: We take no credit for the canister to begin
13 with. All we have to do is get it to the bottom hole. I'm
14 sorry, essentially, there's no consequence. If we get it to
15 the bottom of the hole, we seal the shaft essentially. Then,
16 we don't take any credit for the canister, we don't take
17 credit for the cladding. It does whatever it wants. That's
18 the whole point of why could we do this faster, cheaper,
19 better? Because most of the issues that we would be
20 concerned with near-surface, we can screen out because the
21 consequences are none.

22 LATANISION: Okay.

23 GARRICK: David?

24 DUQUETTE: Duquette, Board.

25 Have you assessed the current sites of the reactors

1 to see if it would be possible to set up a disposal field
2 directly at the reactors?

3 ORRELL: No.

4 DUQUETTE: Because it would obviously eliminate the
5 transportation problem of moving stuff around.

6 ORRELL: No.

7 DUQUETTE: Why not?

8 ORRELL: Money.

9 DUQUETTE: Your money or money that it would take to--

10 ORRELL: No, wanting to keep earning money. I'm sorry,
11 I couldn't read this. No.

12 DUQUETTE: Is it in your concept at all that the
13 disposal fields, for the most part, would be at reactor
14 sites. If you only need six boreholes per reactor, it seems
15 to me that that would be logical.

16 ORRELL: The thought did occur to us. We did consider
17 the idea of regional, the advantages of that. We did not go
18 to the specific siting of individual power plants themselves.
19 It was thought through in terms of the idea that each state,
20 for instance, could perhaps take care of its own burden as
21 opposed to each power plant, if you will. But, we have not
22 done, primarily because of not having the charge and the
23 funding, to look specifically at those kind of things.

24 GARRICK: Yes, Ali?

25 MOSLEH: So, you listed the benefits and advantages.

1 But, what are the disadvantages or the potential problems
2 with this method?

3 ORRELL: Well, the one that's often mentioned is
4 retrievability. And, what we think now is that these people
5 are beginning to rethink that issue of retrievability. Pat
6 mentioned that there might be ways to retrieve the material
7 if you so desired. But, it would be a formidable
8 undertaking. But, what we think is changing is the idea of
9 we shouldn't try to even dispose of it unless we really do
10 want it to be permanently disposed. In other words, there's
11 no reason or thought to have it retrievable. So, we tend to
12 look at it now more as an issue of for the purposes of
13 safeguard and security, non-proliferation of material, the
14 fact that it's difficult to retrieve is fabulous, it's a
15 positive.

16 Other disadvantages are as with all repositories,
17 you have this problem of once you get into it a certain
18 distance, you know, you've started to construct or build, or
19 whatever, you have this problem of well, now you want to make
20 it work. Right? What we would hope is is that the
21 individual cost of each of these holes, if you were to find
22 conditions that were for some reason unacceptable, predefined
23 conditions that were unacceptable, you could actually just
24 walk away from it and not really greatly alter your program
25 by \$20 or \$30 million.

1 We have reason to believe things like deep water
2 off-shore drilling that comes up dry is only about \$100
3 million as an industry idea. So, other disadvantages are it
4 hasn't been proven. It's easy for us to say that we can
5 drill a hole of sufficient diameter five kilometers down, but
6 we need to find that. That's the main reason why we think
7 that we could continue to wonder about this academically, but
8 we think that for the relatively small cost, and something
9 that industry might be involved in participating in, it's
10 worth going to a pilot to see if we can fully vet those
11 issues. What are those disadvantages?

12 GARRICK: What is the prospect of a pilot?

13 ORRELL: Right now?

14 GARRICK: Yes.

15 ORRELL: Zero. I mean, there's no particular effort at
16 this moment. This is simply a concept at this moment. So,
17 there's no particular effort to engage industry or other
18 countries in this concept.

19 GARRICK: Is there a campaign going on?

20 ORRELL: Just what you saw here. I mean, just to tweak
21 it wildly, the Laguna Verde plant in Mexico is very rapidly
22 approaching its spent fuel pool capacity, and it is now
23 thinking through how it's going to move its spent fuel into
24 dry cask storage. For the U.S., that's not a great thing,
25 we're not really keen on the idea of them having dry cask

1 storage for various reasons. They may serve as a great pilot
2 opportunity to simply go straight from the pool, straight
3 into permanent disposal. They've got plenty of favorable
4 geology, and we could do it under the auspices of the non-
5 proliferation program as opposed to the waste management
6 program.

7 GARRICK: Yes.

8 MURPHY: This is Bill Murphy of the Board.

9 I'm curious about the extent to which you've
10 evaluated the heterogeneity of the basement. I've done a
11 little work looking at water chemistries in cratons, and
12 there's a lot of heterogeneity, and I've looked at core from
13 the Swedish repository site and the Finish repository site,
14 the latter which is often called granite, but it's not
15 granite at all, it's kind of a migmatite or a metamorphic
16 rock. So, I can anticipate that there's quite a lot of
17 heterogeneity.

18 And, following on that, it may not make a
19 difference, as you point out, however, what kinds of
20 heterogeneity could you discover once you got down five
21 kilometers that would make the system look bad?

22 BRADY: Well, Bill, you're absolutely right. There's
23 going to be heterogeneity down there, and that's not an area
24 that geologists spend a lot of time looking at. And, so, the
25 solution is the one you put your finger on. We want to

1 establish a set of criteria ahead of time before drilling,
2 go/no go criteria. For example, if you encounter geo-
3 pressure zones, that would be one that would disqualify a
4 site. Lord knows, you might encounter uranium ore body.

5 But, I think the primary one we would worry about
6 would be substantial vertical fluid flow, the possibility of
7 oil and gas resources, areas that we once thought were
8 radiologically inert like tight shales are now an economic
9 boon, that's the kind of thing we would like to avoid. So,
10 we started down that path. We haven't finished it. I think
11 those are the two big ticket ones. Also, unexpected hydro-
12 geothermal activity would be a third, and then we'd fill in
13 from there.

14 ORRELL: This brings up one less explicitly defined
15 advantage. We think it might be possible to predefine the
16 conditions that are acceptable, as opposed to site
17 characterization, and then trying to find out if it's
18 acceptable, et cetera. We think we could probably do enough
19 up front work to define a broad set of conditions,
20 thermal/chemical conditions that would say if it meets this,
21 you're going to get the order of magnitude performance that
22 you expect.

23 No more characterization is done, other than what
24 you drill for the hole itself. You don't have to
25 characterize the entire field. And, that may result in an

1 approach similar to the combined operating license mentality
2 that we use today. Is it possible? I don't know. Is it
3 conceivable? Certainly.

4 GARRICK: Two quick questions. One from Andy and one
5 from George.

6 KADAK: Could you take a minute and describe the hole,
7 size of the hole, and how big you have to drill it to get to
8 the minimum diameter that you need for the five kilometer
9 depth?

10 BRADY: I can tell you the bottom one better than the
11 top one. Originally, we started off with the bottom hole
12 diameter being 17 inches. That would allow you to get the
13 cases with a fuel assembly in it. Now, Andrew mentioned the
14 consolidation scheme.

15 KADAK: Is that doable with today's technology?

16 BRADY: I'm getting to why we're moving towards--right
17 now, we're looking at about 11 inches. With today's
18 technology, that's at the outer edge of what they could do.
19 Talk to the oil men and they will say yeah, we can do it, it
20 will take a little extra, which that's not defined. But,
21 what we find is, and we're having the folks doing the cost
22 calculation, once we get down to about 10 inches, 10 to 11
23 inches, that's within their existing operating environment.
24 So, yes, that's doable, and the costs drop proportionally.

25 KADAK: And, the fuel assembly, cross-sectional

1 diameter?

2 BRADY: No, that's where you take off the spacers and
3 you pack--

4 KADAK: Consolidate the fuel?

5 BRADY: Yes.

6 KADAK: Okay.

7 GARRICK: George?

8 HORNBERGER: Yes, actually a follow-on to that. I was
9 curious about the technology for getting this down the hole.
10 You're unpacking the fuel, you're repacking it, you're
11 hooking it to a cable. How heavy is it? The oil and gas
12 people don't usually drop things down in the hole that weighs
13 a few tons.

14 BRADY: Well, our calculations say that each hole has
15 about 300 metric tons in it. About half of it is--five
16 kilometers of casing is about 150 tons. It's about 110 tons
17 for two kilometers worth of spent fuel assemblies, and when
18 we talked to the oil and gas people, they say oh, yeah, we
19 can actually carry all of that, which was a surprise to us.

20 GARRICK: Thank you. Thank you very much.

21 It's now time for our 15 minute break.

22 (Whereupon, a brief recess was taken.)

23 GARRICK: As I indicated earlier, my colleague, Andy
24 Kadak, will be moderating this panel. And, so, I will turn
25 over the time to Andy.

1 KADAK: Okay, thank you, John. This panel we've
2 organized as a special panel looking at possible ways to
3 figure out how to do some site selection, assuming we're
4 going for a next repository. And, Dr. Hardin and his
5 colleagues have written a paper on the topic, which will be
6 presented at a conference I think next month, Ernie, if I'm
7 not mistaken.

8 And, unfortunately, one of our speakers couldn't
9 fly out of Oklahoma, or someplace. So, he is now on the
10 line. He will listen to our panel. And, then, he has a
11 presentation which you will also hear and see. Okay? So,
12 we're going to try to make up for the fact that he's not
13 here. And, then, we will open it up for a dialogue with all
14 the panelists, including Andrew Orrell, who is here
15 somewhere.

16 Okay, so let me introduce Ernie Hardin. He is from
17 Sandia National Laboratory.

18 HARDIN: I'm here representing the men and women,
19 scientists and engineers at Sandia who have been working on
20 deep geologic disposal for 30 plus years, and I'm here to
21 tell you that the USA really does have many geologic settings
22 suitable for disposal.

23 We say this with substantial confidence that we can
24 demonstrate compliance with regulatory standards such as
25 those that we have worked with in the past. And, because we

1 have done and are in the process of doing generic work to
2 address the potential for compliance in these different media
3 with different disposal concepts.

4 We're going to talk about rock types, including
5 salt, shale--I use that term loosely, it's clays or shale and
6 granite, and that's another loose term, which in this context
7 could mean any massive competent rock type. And, we will
8 also hit on the deep borehole disposal concept, which you now
9 know a lot about. And, we have media-specific disposal
10 concepts that we'll talk about as well.

11 Some general considerations for siting. The host
12 medium depth, unit thickness. Generally radionuclide
13 migration occurs in a vertical direction. Uniformity and
14 structure. These are attributes that bear upon the effort of
15 characterization and the complexity of safety analysis.
16 Seismicity, seismically quiet conditions favor design and
17 operations, and in post-closure performance as well.

18 And, I have to point out here also that this is an
19 important point that the starting point for a screening
20 exercise, such as we're going to contemplate here, is the
21 regulatory frame work, and whether site suitability criteria
22 exist in the regulations.

23 So, these are some general attributes of the
24 geologic setting that would be desirable for siting.
25 Hydraulic conductivity, 10 to the minus 12 meters per second.

1 This is a number that is typical for the shales that are
2 under consideration in Europe, also for clay buffer
3 materials. And, sometimes they do better than this, but this
4 is a nice round number.

5 In addition, we would like to have a medium such as
6 salt or a plastic clay which is capable of self-sealing,
7 whereby our excavations would close naturally. And, we think
8 that in the low permeability medium, this would re-establish
9 diffusion dominated transport. Also, we would like to see
10 reducing chemical conditions in the host rock.

11 This is a little map taken from an earlier report
12 done by Bush, et al. By the way, I give the references for
13 these maps on the back page of the backup materials for the
14 power point. But, this is outcrops of granite, granite taken
15 to mean crystalline rock.

16 The USA did have an R&D and siting program for
17 crystalline rock until the 1980's, the second repository
18 program. A look at granite going forward would probably
19 include fractured and unfractured, saturated and unsaturated
20 conditions, although the fractured unsaturated would probably
21 give us a set of conditions most resembling those that have
22 been used in Scandinavia. And, we have optimism that we
23 could find a suitable site, given international progress.

24 This is a map of shale provinces shown by age. So,
25 Cenozoic, Mesozoic, Paleozoic and so on. Generally, the

1 induration or the lithic character of the shale will increase
2 with its age. So, the softest most plastic shales would be
3 the youngest. Those are shown here in blue. Gulf Coast goes
4 back approximately 100 million years in age. But, there are
5 other large shale basins available in the Continental U.S.

6 The U.S. also had an active shale repository R&D
7 program in the 1970's and '80's, which included some
8 laboratory and in situ scale thermomechanical tests. And,
9 here again, our confidence is strong because of international
10 progress and particularly the French program at the Bure
11 locality.

12 And, here's a map of salt deposits, which I'm sure
13 some of you have seen. It shows both vetted and domile salt.
14 The domile salt is in the cross-hatched areas. Again, the
15 salt basins tend to look geographically similar to the shales
16 because they are in fact similar depositional environments.

17 The U.S. has supported significant investigations
18 in salt in the past. Project Salt Vault done in Western
19 Kansas, Avery Island, Louisiana, and of course WIPP, where
20 some limited thermal testing had been done. And, currently,
21 international interest in salt disposal is high, particularly
22 in Germany.

23 This is a map of depth to basement, which we take
24 then as a surrogate of the general suitability of certain
25 terrains for deep borehole disposal where you need to find

1 the basement within a range of approximately three kilometers
2 of the surface, or less. And, here, we see that most of the
3 Continental U.S. could be investigated for suitability of
4 deep borehole disposal.

5 This is, again, for crystalline basement rock, that
6 may be preferred, but in my view, not necessarily required to
7 implement the deep borehole disposal. And, we have some
8 interesting possibilities there.

9 Now, to talk about disposal concepts. We use the
10 term, I'd like to define it, it consists of a waste stream, a
11 geologic setting, and a concept of operations for the
12 repository. And, in addition, the disposal concept then
13 brings in the--I'm back to a regulatory frame work, and any
14 siting criteria that makes the site suitability criteria.

15 So, again, when we go to screen areas for potential
16 suitability, we're looking at not only the geoscientific
17 attributes of the geology, but also we're considering the
18 disposal concept itself and what we would build there.

19 So, I have some slides here that review disposal
20 concepts. They were prepared for a somewhat more general
21 audience. I don't need to fill in your understanding of the
22 KBS-3 concept either vertical or horizontal, as shown here.

23 In clay or shale, there are sort of pre-conceptual
24 concepts out there being investigated in France, Switzerland,
25 Belgium and even in the USA, we at Sandia have analyzed a

1 configuration in the last year or so. And, these differ
2 mainly in respect to the emplacement mode, whether it's
3 borehole or in-drift and possibly in measures taken to
4 address ground control, such as Belgium has taken in the
5 plastic clay at Mol. So, a little bit different design, same
6 emplacement mode.

7 This is a reference configuration for a mined
8 repository in salt. This is a report about two years old
9 that was compiled by some folks at Sandia and Savannah River,
10 I believe. It's based on WIPP experience.

11 In this configuration, the waste packages shown
12 here and here would be placed on the floor of dedicated
13 alcoves, and covered with crushed salt that would heat and be
14 subject to re-consolidation, and ultimately, the entire
15 repository excavation would close due to crete of the roof
16 floor and walls of the opening.

17 And, this is the well worn figure of the deep
18 borehole concept.

19 This table compares them. I don't have time to go
20 into all the details here and the thought process that went
21 into the table. But, suffice to say that in salt, we have
22 high thermal conductivity. We have practically impermeable
23 conditions. At the same time, we have potential for
24 dissolution.

25 Now, if you move over to shale, we have potentially

1 very low permeability, which is good. We have sorption
2 potential here. But, resistance to heat is somewhat lower
3 than it is in other media.

4 For granite, if it's fractured, it's going to be
5 permeable, and that means that in all likelihood, some
6 engineered barrier system is going to be required.

7 In the deep borehole concept, what we're really
8 relying on here I think is low permeability in situ.

9 So, moving along, when you read technical in these
10 slides, I'd like you to read geoscientific. I don't want to
11 slight any of the social scientists in the room. These are,
12 you know, we anticipate that the siting game probably will
13 change as we revisit policy issues that were debated earlier
14 in the twentieth century.

15 We recognize that we are going to have to have a
16 regulatory frame work before we can move out with a technical
17 evaluation of factors affecting suitability. But, I think at
18 this point, we can say that the U.S. has multiple,
19 technically promising geologic disposal options, and I'm
20 going to try to make that point here by showing you some
21 example screening data.

22 These maps come from GIS files. They come from the
23 USGS by way of the National Atlas website. So, these are
24 basically available to anyone to download off the internet.
25 And, I'll show a set of layers and build up a base map, and

1 then overlay the geology figures that we just saw on that,
2 and talk about those.

3 This is the extent of the southern advance of the
4 Illinoian and late Wisconsin glacial cycles. This is not a
5 necessary criterion for siting. Clearly, the Scandinavian
6 programs are dealing with the likelihood of glaciation. But,
7 it's a factor that we might want to consider.

8 After that, I've added a plot from the same GIS
9 database of recent volcanoes. Now, I haven't seen a map of
10 probabilistic volcanic hazards. I'm not sure one exists. We
11 did a map on assessment, which would be a map like product
12 for Yucca Mountain, but for a limited region. So, this will
13 have to do for this particular exercise. The volcanoes shown
14 here are in the legend on the right. So, they are broken
15 down into very recent, kind of recent, and Holocene, and then
16 there's an uncertain category.

17 After that, we can add the occurrence of faults or
18 fault zones. You will see a different character here between
19 western and eastern. Well, that's because there's more
20 uncertainty in the east, and the seismic characteristics of
21 the crust are different. This green zone is an area of
22 growth faults, which has been identified as a zone by the
23 USGS. Some of them are quite old, and they are the faults
24 that occur seaward dipping as the thick sediments
25 consolidate.

1 After this, we could add seismicity, so this is a
2 plot of historic seismicity. These are felt earthquakes
3 using Mercalli scale, pretty intuitive here.

4 After this, we can add a map of seismic hazard.
5 This particular map is the horizontal peak ground
6 acceleration, with 10 percent probability in 50 years. The
7 colors represent, they're shown in the legend here, fractions
8 of G. Somebody pointed out to me that the blue color and the
9 gray is not in the legend because we sort of sub-sampled the
10 original data. But, they are less than 10 percent.

11 So, there's the base map. And, if we overlay the
12 granite map on this, you know, you can see that even given
13 the relatively limited occurrence of surficial granite in the
14 area, that there are still sub-regions with apparently
15 promising characteristics.

16 Now, you know, I'm going to give you some caveats
17 on this later, but it's important to realize that there are
18 limitations in any such exercise on the scale of the data,
19 and how it's presented, and what it's based on.

20 If we overlay the shale map, now you can see that
21 there are rather large areas in the Great Plains and the Gulf
22 Coast that might be investigated further.

23 And, if you look at the occurrence of salt, you can
24 draw a similar conclusion, since the deposition environments
25 look rather similar. So, we conclude from this that if

1 there's ever reason to suspect, we will be successful in the
2 future screening exercise.

3 And, this is the caveat slide. It's important when
4 we use geographic data for studies like this, that we
5 represent all important aspects of the system performance.
6 There are many other types of data that should be, and will
7 be, brought into this exercise when we officially undertake
8 it. The advantage of geologic diversity within the
9 Continental U.S. is great, but remember, it couples to the
10 disposal concept. And, so, we're in a sense screening on
11 attributes that affect the performance of both the natural
12 and the engineered barriers. It's not purely a geohydrologic
13 screening exercise.

14 Data resolution is important. By the way, this
15 USGS database is excellent, but it will be limited. You will
16 get down to the scale of a state or a county where the
17 underlying data support needs work. And, so, I expect we'll
18 be in that situation.

19 The uncertainty on the data, since these maps are
20 all composited from multiple sources, some care should be
21 given to how you understand and take account of the
22 uncertainty in different parts of a map.

23 With all that said, the U.S. already has siting
24 experience. Ken Skipper with USGS is here and reminded me
25 earlier in the day that they were closely involved with DOE's

1 siting program prior to 1988. We have experience from Sweden
2 and France where they have done a progressive phased
3 screening process. It wasn't all successful, but there are
4 lessons to be learned there.

5 We recognize that in its implementation, that this
6 exercise will be phased, and it will involve transparent
7 decision making, stakeholder review and consultation.

8 So, to conclude, the U.S. does indeed have
9 multiple, technically promising geologic disposal options.
10 The geography is coupled with the disposal concept. We
11 expect that there will be a new waste management policy that
12 will strongly affect how these screening, siting and
13 suitability evaluations are performed, and that to do that,
14 we're going to have to have a regulatory frame work in place.

15 KADAK: Okay, thank you very much. I just want to say
16 that when I was organizing this panel, a lot of the stuff
17 that you saw here was not in Ernie's paper, so he did a lot
18 of extra work in doing these overlays, which I want to thank
19 you personally for doing. It's very helpful and very
20 informative. And, the USGS, of course.

21 I think I would like to now, if I can, Bill, plug
22 in Professor Jenkins-Smith. He's going to give us a
23 different perspective on the siting, not necessarily the
24 technical, but the sociopolitical side. I heard him
25 testifying before the Blue Ribbon Commission about a month,

1 or so, ago and I thought he made some very important and
2 compelling points about the siting process.

3 So, Hank, are you there? Hank, can you hear me?

4 JENKINS-SMITH: Yes, I can hear you.

5 KADAK: Okay, you're coming in well, and just let us
6 know when you want us to change the slide.

7 JENKINS-SMITH: Fantastic. Will do. And, I appreciate
8 being able to attend at a distance here. The fog in Oklahoma
9 this morning was unbelievable, and I regret not being there
10 in person.

11 What I'm going to describe today is some work
12 that's been done jointly by the University of Oklahoma and
13 Sandia National Labs, trying to understand the evolution of
14 the American public's understanding of nuclear energy.

15 I'm sorry, I'm getting quite a lot of backfeed
16 there.

17 KADAK: You're getting feedback?

18 JENKINS-SMITH: Yes. Sorry about that. Actually, you
19 know what I'm going to do, is pull out my ear phones, and
20 that way, I won't hear feedback.

21 Okay, this project has been going on for some time.
22 If you would move to the next slide, I'll review what I'm
23 going to identify here. I'm going to start with a brief
24 discussion about public beliefs concerning used nuclear fuel,
25 and then focus on preferences as they exist currently for

1 alternative strategies for managing used nuclear fuel.

2 There are some issues having to do with policy
3 design and facility design that I want to address that might
4 be of importance for your consideration. And, finally, I
5 want to get to the question of proximity as we begin dealing
6 with regional location of facilities which this issue will
7 loom large.

8 Next, go to the next slide, please.

9 The project is taking on something rather tough
10 here. We're trying to measure the views of average Americans
11 on a complex policy issue that involves a lot of technical
12 issues, that involves terms and levels of understanding that,
13 frankly, are not of great import to most people in their
14 ordinary lives, and to try to measure these beliefs in a
15 systematic way that gives you some reflection of the likely
16 response to the public to a real siting case presents some
17 interesting challenges.

18 This project does this in a time series fashion in
19 which every year in the late spring, we do the large
20 nationwide survey that attempts to get at people's
21 understanding of the nuclear issues from a variety of
22 different dimensions. In 2011, our chief focus was on
23 perceptions of nuclear waste issues, nuclear disposal,
24 nuclear materials management more generally.

25 We employ a mixed mode approach to survey data

1 collection. In current times, it's difficult to find a
2 single way of talking to the American public that gives you a
3 representative sample. We use a mix of telephone surveys and
4 internet surveys, both of which are designed to generate a
5 cross-section of the public, but they do tap different strata
6 of American society. Our view is that using a mixed mode
7 approach is much more likely to tap the real views of the
8 public than would be a peer design of any kind.

9 We do have a system that gets very high responses
10 from the public, both in the internet version and in the
11 phone version. And, I could bore you with the details of
12 that. But, the issue that's really challenging is trying to
13 present issues that are very complex and have very different
14 perspectives associated with them in a way that is
15 representative of what people perceive when they watch the
16 news, hear policy debates, and engage in discussions with
17 their neighbors.

18 The result of this is we have to present these
19 kinds of questions in a way that captures the different
20 arguments that are mounted by proponents, opponents, people
21 with different levels of concern, different levels of
22 background.

23 And, as you will see, the design requires a rather
24 lengthy survey. Our respondents, on average, spend about a
25 half an hour talking to us each time we do one of these

1 surveys. And, we interview several thousand people every
2 year for this, so it's a rather extensive process.

3 Go to the next slide, please.

4 We provide first a bit of background on what people
5 currently perceive to be going on with spent nuclear fuel.
6 We ask what they believe is currently being done with spent
7 nuclear fuel in the United States, and we provide them with
8 four options, including the materials stored on site, shipped
9 to Yucca Mountain, sent to regional repositories, or
10 reprocessed and reused. And, we randomly provide those
11 answers.

12 And, as you can see, over time, since 2006, there's
13 been quite a mix of responses. Back in 2006, we had a
14 plurality thinking that Yucca Mountain was operating and
15 doing just fine. And, only recently has there been an
16 increase in the perception that on-site storage is in fact
17 the mode that's being employed.

18 And, what this tells you is that there's a real
19 mixed sense of what it is that's happening with spent nuclear
20 fuel in the United States. There's a dawning awareness that
21 we are accumulating spent fuel on site at nuclear power
22 plants, and perhaps a growing recognition that we don't have
23 an operating facility at Yucca Mountain.

24 Tap it again to bring in the bottom frame, please.

25 When we ask people these questions, after we get

1 their initial responses of what they believe, we inform them
2 that currently, we are storing the bulk of used nuclear fuel
3 on site or near site at over 100 reactors across the country.
4 And, then, we ask to the best of their knowledge, whether
5 they believe nuclear fuel is being stored above ground at any
6 power plants in their state. Only 12 percent of our
7 respondents were able to correctly answer this question, and
8 that's less than we would have expected by random chance.
9 And, so, there really is, at this point, a soft understanding
10 of the problem, of the nature of the issue.

11 Now, in the background here is another problem,
12 which is that people perceive nuclear waste to be a very
13 frightening material, which half of the public essentially
14 believes that spent nuclear fuel can accidentally explode
15 like a nuclear bomb. Nearly two out of three who venture an
16 opinion would say that even if the dose was the same, the
17 exposure to man made materials, or the radiation from man
18 made materials is greater, is more toxic than that from
19 naturally occurring radiation. So, there is a background
20 level of risk that comes from the popular media, the history
21 of nuclear weapons testing, and elsewhere, that has not gone
22 away.

23 Over time, the chief change that we see with
24 perceptions of things nuclear is a growing appreciation that
25 nuclear energy does afford a way of providing secure domestic

1 supplies of energy, that it is a stable and secure form of
2 production that isn't dependent on the weather, and that
3 those factors have lead to a growing sense that there's
4 valuable in nuclear energy.

5 But, you have to keep in mind that in the larger
6 public, there are substantial misperceptions of the nature of
7 the material. There's a real sense of potential catastrophe
8 associated with the management of it. And, so, at present,
9 the perceived benefits outweigh the risks, but those risks
10 are not trivial in the public mind. And, any major event
11 globally with respect to nuclear materials, of course, will
12 resonate with those underlying perceptions of risk.

13 That's basically all I want to say about the
14 background of public beliefs about nuclear materials and
15 nuclear energy.

16 Let's move on to the next slide. What I'd like to
17 do now is turn to the question of preferences concerning
18 current and alternative used nuclear fuel policy options.

19 Slide 6 provides a set of the introductory
20 questions we asked about storage. We've been asking now
21 since 1996 what people think of continued on-site storage,
22 and as I mentioned we have to provide some background on
23 these type of questions for people to give us any kind of
24 coherent answers.

25 We are not trying to tell people the absolute

1 technical truth about on-site storage, or any of the other
2 options. What we're trying to do is to describe for them
3 what they're likely to hear about these things from a mix of
4 perspectives in the popular media. You can see the frames
5 that we provide there, in which we talk about how opponents
6 think about continued on-site storage, the location problems,
7 the potential for leakage into the cooling pools, the fact
8 that the ground level on storage of these materials might
9 make them more vulnerable to terrorists, which incidentally
10 is one of the touch points of public concern.

11 Supports then argue that there is great risk in
12 moving the materials around, that it's less expensive to
13 continue to store on-site than it is to try to consolidate.
14 And, as you can see, what we're trying to do is capture the
15 dominant arguments that are made in a policy dialogue on
16 these questions to see how people in that situation respond.

17 If you could tap forward so you can see the
18 distribution of responses?

19 This has been extraordinarily stable for public
20 responses since we began asking the question in 2006. So,
21 I'm just showing you the distribution for that overall time
22 period. And, you can see that once presented with the
23 arguments, you get about 44 percent opposing continued on-
24 site storage, 30 percent who are divided, undecided, and
25 another 26 percent, about a quarter of the population who

1 support continued on-site storage.

2 And, you can see there's a distribution there
3 associated with this in terms of the strength of the
4 positions taken. So, there's a slight leaning against
5 continued on-site storage. And, in fact, if you look at the
6 upper end, there's really no strong support for continuing to
7 do this.

8 Next slide, please?

9 Starting in 2010, we began looking at questions of
10 the number of storage sites that the public might prefer to
11 see. We gave them several options, the chief of which were
12 these two: to construct six to eight regional storage sites
13 that could be more easily secured and provide longer term
14 storage. And, we pointed out that if we were to move to this
15 option, it would require transporting spent nuclear fuel over
16 moderate distances, and that it would generate political and
17 legal opposition. We need them to consider this.

18 The alternative is two large centralized storage
19 sites, one in the west, one in the east. They could be more
20 secure, provide permanent storage. This option requires
21 transport over longer distances, and is likely to generate
22 political and legal opposition. The respondents to this on
23 the web survey are able to see these questions and compare
24 them on a screen, and they are able to fairly carefully
25 consider these.

1 The responses are shown, move a bit forward there,
2 to the regionalized and the centralized repository, are
3 interesting, because in both cases, the distribution is
4 fairly broad. The bulk of the respondents in the middle,
5 undecided. There's slightly more support for the regional
6 repositories than there is for a centralized repository.
7 That's a statistically significant difference, but in my
8 judgment, not terribly substantively significant. What we
9 see here, given the background of what people know about
10 nuclear issues, is a soft position that there is room,
11 latitude, for policy development.

12 Next slide, please?

13 One of the questions that loom large in policy
14 debates is the question of retrievability. In the European
15 context, it actually became quite a sticking point in a
16 number of debates, in which retrievability, or even
17 reversibility, which is designing a process in which disposal
18 approaches can back up and take a different turn, were
19 raised. In the U.S., this hasn't been very thoroughly
20 explored. This year, we asked for a public response to this,
21 whether radioactive material should be managed in a way that
22 allows access to retrieve the materials in the future, or one
23 that seems to permanently block access.

24 You can see the wording that we applied to the
25 options. In the end, we gave them the choices provided in a

1 random order, and if we tap forward, you can see that by
2 better than two to one margin, retrievability is preferred
3 over permanent disposal.

4 Now, this is something that has puzzled me for
5 quite a while. I've seen this type of response in focus
6 group settings and other places for some time as I've studied
7 this issue. And, mostly in conversation, what people will
8 tell you is that over the course of their lives, they've seen
9 substantial change in technology, in capacity, and to assume
10 that what we know right now is the final answer for safe
11 disposal, they think is just a little crazy. And, so,
12 there's a tendency for people to think that permanently
13 disposing of spent fuel right now when future generations
14 might want to see it as a resource, or might have a better
15 way of reducing the toxicity of the materials, is something
16 that gives them pause.

17 So, in the background, we're thinking about
18 disposal processes. This issue comes up, and I will get back
19 to it when we get to the design. The related question, of
20 course, is reprocessing. Obviously, one of the reasons one
21 might want an accessible disposal facility is because you see
22 the material as having some resource value.

23 The next slide shows the question wording that we
24 asked. We provide quite a bit of information in the course
25 of our surveys about reprocessing and about the nature of

1 spent nuclear fuel. A lead in to this particular question
2 describes reprocessing, makes the point that there are
3 remaining radioactive materials that have to be safeguarded,
4 and that the process also produces plutonium, which like the
5 uranium, can be used to make nuclear weapons, and we're
6 trying to be sure that all of the different elements of the
7 debate are included, that nobody is happy with the way
8 reprocessing questions are asked. Because opponents can site
9 all kinds of things that could be added that would make it
10 seem less desirable. Proponents could also add a great deal,
11 and then you end up with large fetuses on this question.

12 What's interesting to me is that many different
13 researchers have attempted to understand the reprocessing
14 question, and almost all get the same answer in the graph
15 below, and that is that there's substantial support for
16 reprocessing. It doesn't matter what words you use. I've
17 seen people playing around with trying to call it recycling
18 and various other things to see whether that changes the
19 level of support. Overall, the people who ask this question,
20 whether they were pro-reprocessing or anti-reprocessing, tend
21 to get this pattern of response with the public see the
22 material as a resource, implications for how we think of
23 disposal processes.

24 Storage depth, which has been the focus of much of
25 the discussion today, is also something that we approach.

1 Now, this is an issue that is new to the public. What's
2 interesting is that even at this new stage, we're seeing
3 variations in the way people respond to different storage
4 depth options.

5 You see up here three different options that we
6 present to respondents. We give them a more lengthy
7 description of each of these patterns, and then randomly
8 present these options, and ask them to indicate both how much
9 they would support or oppose that option, and then to rank
10 order that option compared to the other two.

11 Now, I want to point out that we do these surveys
12 in the late spring. This survey was conducted in late May of
13 2010. That was right in the middle of the Deep Water Horizon
14 disaster in the Gulf where there was a lot of discussion of
15 drilling deeper and the potential problems associated with
16 that technology and the way that they handled it. It was
17 probably the worst possible time to broach the question of
18 deep boreholes.

19 And, so, with that in mind, take a look at the
20 pattern of responses that we did here. Note that all of the
21 options are getting sort of mid-scale type preferences. The
22 mined type repositories that could either be permanently
23 sealed or could be designed to allow materials to be
24 retrieved, comes out substantially more favorable in the
25 public mind than either surface storage or boreholes.

1 Surface storage and borehole options are statistically
2 equivalent in these public responses. None of them are
3 rejected. But, you get more on the opposition side for
4 surface and borehole options than you do on the mine options.

5 This is one that I fully expect to see evolve as
6 the conversation continues. Presumably, when we return to
7 this question in a few months in the field, we'll be away
8 from the Deep Water Horizon problem, it's been some time
9 since that was capped. I will be curious to see how stable
10 the perceptions are of the appropriateness of these different
11 depths.

12 But, this pattern of responses indicates that there
13 really is, the public is pretty open minded about these
14 options. Right now, there's a leaning toward a preference
15 for mined type repositories, but there's no rejection of
16 other options at present.

17 Next slide, please?

18 That gets us to the question of policy design
19 variations and their implications for disposal. Now, we have
20 been doing experiments in the question of bundling of the
21 facility attributes for used nuclear fuel, and it's useful to
22 start out by thinking what we were doing with Yucca Mountain.
23 We had a bundle there, and the bundle was a once-through
24 waste with a permanent disposal option. There was a lead
25 period, a substantial period of time before closure, but that

1 was seen as essentially a loading and preparatory period. It
2 wasn't about retrieval. There were no other functions
3 associated with Yucca Mountain.

4 These attributes shape the way people talk about
5 what it is you're doing. When the Nevada newspapers
6 described the repository as a dump, it resonated in large
7 part because it was a disposal only facility. The material
8 was seen as having no value. In fact, it was seen as having
9 negative value, and that's why we were isolating it and
10 removing it.

11 There wasn't anything else to describe about the
12 facility. It wasn't producing any value anywhere else. And,
13 these kinds of attributes create this sort of narrative that
14 colors the policy debate. Other facility attributes might
15 have included combining the repository with a function like a
16 research laboratory, the potential for treating the waste as
17 a potential resource in the future, or even talking about
18 long-term revenue and jobs for the host state. These were
19 features that really didn't loom large.

20 Now, we've been doing survey experiments to measure
21 the effect of varying the design for bundling repositories to
22 see what effect it might have on public acceptance. To do
23 this, we use an experimental design. We first provided
24 people with a background option. Half of our respondent
25 heard that we were considering a mine option, two underground

1 mine-like repositories, one in the east, one in the west.

2 And, you can see the description.

3 We made clear that they would have to meet all
4 technical and safety requirements for federal and state
5 agencies. The other was a borehole option at seven regional
6 sites. These were chosen just to provide experimental
7 variance to see whether design attributes mattered when
8 applied to one of these two bases.

9 The starting point, once you fully describe these
10 facilities, because both of them are slightly more than
11 they're opposed, you see the mines fare a little bit better
12 than the boreholes, at a mean value of 4.77, with indeed a
13 majority saying they would support it in some measure.
14 Boreholes slight below that. Neither rejected nor
15 overwhelmingly supported. But, that's the base case. That's
16 where we started.

17 Now, let's see what happens when we vary the
18 design. The next slide shows what happens if you ask people
19 about co-locating a research laboratory with a repository.
20 And, what I've done here is to split out for each of the two
21 base cases, those people who initially supported, were
22 neutral or opposed to the site. So, you can see for the
23 mine-like repositories, 58 percent initially supported it, 26
24 percent were neutral and 16 percent were opposed.

25 Now, what happened to those people if they were

1 asked, what would happen to their support if in addition to a
2 repository, we had a research laboratory that was focused on
3 evaluating the material and studying ways to more safely
4 dispose of it. And, you can see that amongst those people
5 who were opposed initially, that 16 percent, half of them
6 said that their support for the repository would increase if
7 the repository were coupled with a laboratory. Similarly for
8 the deep borehole repository.

9 And, what we're wondering here, the point of this
10 kind of research effort is to see whether design attributes
11 have an effect on those people who were initially inclined to
12 oppose the facility. The bottom panel shows what happens to
13 those who support if you co-locate a reprocessing facility
14 with the repository. And, it has quite similar effects to
15 that of a research laboratory. You get roughly half of those
16 people who initially support the facility, saying that their
17 support would increase if you in fact had a combined facility
18 of that sort.

19 Next slide?

20 Now, this kind of an effect might seem that it's
21 abstract and hypothetical and, therefore, it might not work
22 in the event that you were talking about a real repository
23 where there was already lots of controversy. This one is
24 showing some data that were collected way back in 1995. We
25 had large samples that were taken in Nevada in counties that

1 had nuclear power plants, and in the other counties in the
2 United States. In each subset, there were over 1000
3 respondents.

4 Look at the Nevada panel, the first two columns
5 with numbers in them there. Initially, 77 percent said they
6 opposed Yucca Mountain and they would prefer to continue on-
7 site storage. These people were then asked what would happen
8 to their support for Yucca Mountain if the repository itself
9 was co-located with a research laboratory. And, you can see
10 that half of those people who were opposed, that 77 percent,
11 said that their support for Yucca Mountain would increase if
12 that kind of a co-location were undertaken.

13 And, so, the point behind this is that it's not
14 simply a matter of people with relatively little exposure or
15 concern. Right in the heat of this battle over Yucca
16 Mountain, half of those people who were opposed within the
17 State of Nevada said that their support for the repository
18 would go up if it were in fact combined with other
19 activities, in this case, a research lab.

20 Next slide shows some of our studies of the
21 implications of compensation. I don't want to dwell on this.
22 I simply want to point out that compensation, when it's
23 offered for the states that host a repository, do generally
24 increase support. But, look at those people who were
25 initially opposed to the facility. They're roughly split

1 fifty-fifty in terms of those who would increase versus
2 decrease their level of support for the repository when you
3 do things to offer financial compensation. There is a
4 substantial bump in support for those who are already in
5 favor. But, financial support, as opposed to design changes,
6 has relatively little effect on those people who started out
7 opposing the repository.

8 Next slide, please?

9 Finally, let me just add two things about proximity
10 and the NIMBY kind of effect, the "not in my back yard" kind
11 of element.

12 Next slide shows what happens to the support for
13 the mine-like repositories versus the deep borehole
14 repositories, as the respondents believe they are closer to
15 their home. We first asked what happens to their support if
16 they knew it was going to be in their state. You see, in
17 general, a positive response. The closer it gets, 300 down
18 to 50 miles from their home, the greater the level of
19 opposition becomes. This is what one would expect in the
20 abstract, that as the repository itself gets closer to one's
21 residence, the greater the hesitancy that's associated with
22 it. And, this is where we begin to run into problems when we
23 start talking about specific sites, particularly when we do
24 so before there is opportunity for people to consider what
25 the benefits might be.

1 The next slide, however, shows a real world
2 experience. These are the data tracking the overall level of
3 support for the Waste Isolation Pilot Plant from 1995 up
4 through 2001. You can see the dashed line there, which was
5 the date that it was opened. And, in fact, in that very
6 period, in the spring of 1999, there was a 10 percent jump in
7 support for the facility for the day it actually opened.
8 And, there is a sort of reluctance until the site is
9 operating that creates an image in people's minds that there
10 could be catastrophe. Once it's actually operating, there
11 appears to be a dampening effect. It's something that
12 engineers often call a bow wave effect in siting facilities.

13 But, the reason I show you this is because it's
14 important to see the longer-term trends. In fact, if I took
15 us all the way back to the 1980's, there was over two to one
16 opposition to WIPP in the late 1980's. And, gradually over
17 the course of time, support grew, particularly once the
18 facility was open.

19 Now, what's surprising about this is the proximity
20 effect. The next slide shows the relationship between
21 support for WIPP and distance from the facility. The closer
22 you get to WIPP, the greater the support. Now, this won't
23 surprise anybody who's been watching the Nevada case, because
24 the towns closest to the Yucca Mountain project tended to be
25 the least opposed, and in some cases, the most supportive of

1 the facility. This has been something that we have observed
2 in many other siting cases.

3 The difficulty we have in the United States is that
4 what we count as the host is the jurisdictional question that
5 moves across layers from localities through states to the
6 federal government, and you tend to have people who are
7 further away, as you see, the greater the distance the
8 greater the opposition in the case of WIPP. You have
9 communities further away from the facility that tend to be
10 more opposed.

11 In designing a process here, you have to address
12 the concerns of those who are further away, as well as those
13 who are nearby the facility. One of the things that become
14 of interest to the OECD in its efforts to look at nuclear
15 facility sitings globally has been to try to get at this
16 question of what do we consider to be a host community? How
17 do you address this in a way that both deals with those who
18 are nearby and those who are further off? It's turning out
19 to be a very challenging issue that gets at how you think
20 about representation by distance when you're doing this kind
21 of siting. And, it's a new and fascinating area.

22 The bottom line here, as you look at the
23 relationship, is that you cannot assume that proximity is
24 going to have the kind of negative effect that NIMBY
25 prescribes. It's often those who are closest to the facility

1 who are most ardently in favor of it. And anybody who has
2 seen Mayor Bob from Carlsbad talk about the WIPP facility
3 will know what I'm talking about here.

4 Okay, let me briefly wrap up here. Public
5 understanding of used nuclear fuel and current UNF policies
6 isn't well developed. It's interesting, though, beliefs are
7 integrated. The more people are fearful, the more they worry
8 about aspects of the program, the more persuasion would be
9 required, the more opposition you see. There really isn't a
10 public consensus yet on a preferred option.

11 However, we can see retrievability and reprocessing
12 as fairly robust preferences by majorities in the United
13 States. And, I want to point out again that this is
14 something that we're seeing broadly. It's not just our
15 studies. We see it reflected at people who take very
16 different approaches to this question.

17 The bundles of attributes that are associated with
18 a repository matter enormously. I think, again, attributes
19 of the Yucca Mountain project were interesting in the way
20 that they affected the course of the policy debate and the
21 kind of public description that went on about that facility
22 and the kinds of reasons that people would have for
23 supporting or opposing a facility.

24 The laboratory option is quite interesting. It
25 addresses much of the underlying concern associated with the

1 material. It gives people a reason to say well, yeah, we
2 don't like living near radioactive stuff, but we've got
3 people working on making it safe for future generations. So,
4 you have, in essence, conceptually for people who are
5 thinking about living near this thing, a reason for them to
6 say they're doing something good for somebody else. In
7 debate of this kind, that's a very powerful lever.

8 State-level funding generates mixed reactions. My
9 view is that it's ultimately going to be necessary,
10 particularly to deal with those communities that are further
11 away from a facility, but within the state jurisdiction.
12 But, it's something that should be addressed after you have
13 dealt with the features and the facility and the more general
14 concerns about the safety of a repository.

15 Proximity is a problem. It does not eliminate
16 support, but it generates a strange dynamic associated with a
17 facility where the greatest opposition tends to come from
18 those at more distance, with the greater support coming from
19 those nearby.

20 And, I will wrap up with that. The next slide
21 simply shows how you can reach me if you want more in-person
22 discussion. But, I'm just going to hang in here and deal
23 with questions.

24 KADAK: Okay, thank you very much, Professor. Can you
25 hear me?

1 JENKINS-SMITH: You might need to turn up the mike a
2 little bit now so I can hear you a little better.

3 KADAK: Okay. Thank you again. I don't know if you saw
4 Ernie's slides. Did you get a copy of those in advance?

5 JENKINS-SMITH: I saw an early version of them, yes.

6 KADAK: Okay. Well, just to summarize it, it appears
7 that there are parts of the country that, not talking about
8 specific towns, but certainly states that have suitable
9 locations. And, as you mentioned, and as we talked about
10 earlier today, without state buy-in, it's a very difficult
11 process. Can you address the state buy-in question as
12 opposed to the local question?

13 JENKINS-SMITH: Questions associated with compensation
14 were about compensation for states as opposed to localities
15 because we were attempting to see whether that would address
16 that problem. But, we have not looked at it in depth.
17 However, that is going to be a primary focus in our survey
18 coming up in several months for just that reason.

19 KADAK: And, one other question and then I will open it
20 up. In terms of the volunteer siting process, do you have
21 any surveys or any experience that would deal with that given
22 where we are in the perhaps restart of siting?

23 JENKINS-SMITH: Yes. The point behind the volunteer
24 process is to provide an opportunity for communities to think
25 about the relationship that they might have with a repository

1 before they see themselves as the focus of an outside effort
2 to locate a repository there. There's a dynamic that takes
3 place there that we have seen globally now, and that is that
4 if a site, if a potential host community is identified and
5 singled out before they venture forth with a proposal to site
6 the facility, that the whole dynamic of the debate is shifted
7 in the direction of defensive. It's very difficult to
8 persuade people in that setting that they have a real voice
9 in what the proposition, whatever the proposed repository
10 might be.

11 Canadians studied this fairly extensively before
12 they developed their process. And, of course, we have seen
13 in both Finland and in Sweden, a real effort to generate
14 competition amongst sites for becoming host communities.

15 But, I think that this comes close to the kind of
16 an issue that we can--in social sciences, we have almost
17 reached consensus that you cannot successfully engage in a
18 siting process without leaving some room for the community to
19 advocate its own role there.

20 WIPP was a fascinating case because it had such a
21 strong local proponent community. That's apart from most of
22 the other areas where we've tried to do this. This was not
23 an open volunteer process for WIPP, but it was different in
24 that it had an organized local business and political lead
25 that went out and sought this and pushed for it and fought

1 back against more distant communities' effort to stall the
2 process. And, so, in a way, WIPP is the exception that
3 proves the rule.

4 It's very, very difficult to site facilities
5 without a sense on the part of the potential host communities
6 that they chose to be there before they were fingered as a
7 likely target.

8 KADAK: Okay, thank you. I'm going to open it up to
9 other Board members. Mark Abkowitz?

10 ABKOWITZ: Abkowitz, Board.

11 I actually have a question for Ernie, and then
12 would like to ask Hank a couple questions.

13 Ernie, I'm a big proponent of GIS, so I'm really
14 pleased to see that you're starting to leverage those
15 sources, and it sounds to me like you have an appreciation
16 for both the advantages and the pitfalls of the quality of
17 the information you're working with. So, that's important,
18 and I acknowledge that you acknowledge that that's important.

19 My question to you is that you have provided some
20 very interesting criteria upon which to judge the suitability
21 of certain locations, and I was curious as to whether you are
22 expanding that criteria base going forward. One of the big
23 concerns I have has to do with climate change, and I didn't
24 know the extent to which you are looking at IPCC scenarios,
25 for example, and mapping those in terms of where we may see

1 more frequent and violent storms, greater periods of drought,
2 higher mean and max temperatures, and what that might do to
3 the qualifications of a site.

4 HARDIN: Okay, first, let me say that Frank Perry of Los
5 Alamos is the lead for the used fuel on this. And, I think I
6 might defer part of the answer to some future presentation by
7 him. So, as far as climate change goes, there's really one
8 comment I can make about that. You will notice that I didn't
9 present some of the available layers, such as mean annual
10 surface temperature, rainfall, and that was deliberate.
11 Those might pertain, but in my view, they probably are not
12 critical to performance. And, so, for example data suite
13 here I didn't include them.

14 So, it's possible that, I'm conjecturing here, that
15 climate change variables, such as the ones you mentioned,
16 would not be critical to screen.

17 ABKOWITZ: Okay, we'll leave that for others to respond
18 to. I would like to use the rest of my time talking to Hank.

19 First of all, Hank, I admire the work you're doing.
20 I have some questions about the experimental design and what
21 implications that has on the suitability of the results that
22 you're reporting.

23 The first question I had is that you mentioned that
24 you did both the telephone and internet survey, and it looks
25 to be about 75 percent of the data is coming from the

1 internet sources. Yet, the representative and reliability
2 issue looks to have been investigated predominantly on the
3 phone survey side. And, I was curious whether or not you
4 could talk to us about what you were able to do to
5 demonstrate that the internet respondents were also
6 representative, because obviously, the internet is a more
7 volunteer process than somebody who answers the phone when
8 you call them.

9 JENKINS-SMITH: Yes, that's a really good point. The
10 internet survey is based on a panel of volunteers of about
11 six million people, and the way that that's handled is that
12 we draw from that a proportionate sample based on census
13 data. Essentially, there's a subset that's drawn that looks
14 like a cross-section of the United States, and then we
15 randomly sample from that panel that looks representative of
16 the United States.

17 The reason we do the paired phone and internet
18 surveys is in order to compare and track over time the
19 changes that we're seeing in both the phone and the internet
20 version. And, we've seen some very interesting differences.
21 I mean, we usually are tracking means, but in the internet
22 version, people are actually able to look at the questions
23 and pick an answer based on scale width. And, you get
24 essentially much better behaved responses, far fewer extreme
25 responses than you do in the phone version. And, so, one of

1 the things you get with the internet surveys are more
2 considered responses on the part of the participants.

3 The mean values and the changes over time in the
4 mean values by the phone and the internet surveys track
5 fairly closely. Generally speaking, phone survey respondents
6 are older. They tend to be more conservative. They tend to
7 be more pro-nuclear, amongst other things. Their perceptions
8 of threats tend to be more in the direction of national
9 security, and they perceive less in the direction of
10 environmental threats, and increasing, we're seeing that the
11 characteristics of telephone respondents become different,
12 reflecting the demographics of that group.

13 But, overall, the work we do, and many other social
14 scientists, trying to understand the relationship between
15 internet and telephone users, has confirmed that the internet
16 is, unless you're actually measuring internet use or
17 behaviors that are related to internet use, you're getting
18 patterns of behavior that are reasonably consistent with
19 those that are collected in other modes.

20 ABKOWITZ: Thank you. I have one other observation I
21 would like you to comment on, and I'm just going to pick two
22 examples from the surveys that you shared here, the results
23 you shared with us. And, my question has to do with the
24 perception of the respondent to the way that certain
25 questions are worded.

1 For example, you had one slide that talked about
2 the preferences for the number of permanent storage sites.
3 And, the distinguishing feature seemed to be six to eight
4 regional storage sites in one case, and two large centralized
5 storage sites in the other case. But, I notice in the
6 wording that in the regional storage sites, you make
7 reference to this being a longer-term storage option.
8 Whereas, in the centralized storage sites, you refer to this
9 as a permanent storage option. Those have very different
10 connotations, and I don't know whether that was by design,
11 and if so, aren't you mixing two different factors in trying
12 to isolate one effect?

13 Let me also--well, go ahead, you can answer that,
14 and then I'll bring up the other one.

15 JENKINS-SMITH: Okay, very good. The snippets that I
16 showed you, I couldn't put in the full set of question
17 wordings about the characteristics of each of the sites.
18 But, that reference to longer-term had to do with longer than
19 on-site. And, when the full description is there, both the
20 deep geologic and the regional sites, or the two centralized
21 sites and the regional sites, are described as being
22 permanent repositories.

23 The key thing to remember is that we're describing
24 these things in terms of the mix of things that one might do
25 with used nuclear fuel. Disposal is just one of those things

1 that one might be doing with it. And, so, the language
2 reflects that.

3 ABKOWITZ: The other example I wanted to give you is the
4 one on reprocessing.

5 JENKINS-SMITH: Yes.

6 ABKOWITZ: And, in the second sentence that you shared
7 with us, I'll read this out. "After reprocessing, most of
8 the uranium and plutonium can be captured and reused to
9 generate electricity, reducing the amount of uranium that
10 must be mined in the U.S. or purchased from other countries.
11 Remaining materials are radioactive and must be safeguarded,"
12 et cetera.

13 My concern is that to the uninformed, they would
14 believe this to say that most of the uranium and plutonium is
15 being captured and reused and, therefore, there's little or
16 no waste left over afterwards. And, I don't know that that
17 is representative of many of the reprocessing scenarios that
18 are being discussed. And, so, my question to you is are you
19 concerned about coming to such a broad conclusion as the
20 public being favorable towards reprocessing based on the
21 language that's in this phraseology?

22 JENKINS-SMITH: You're touching on something that is a
23 real concern, and that is how much does wording and design
24 influence the pattern of responses? And, for this question,
25 for the question of reprocessing in general, the responses

1 are uniform, regardless of variations in wording.

2 The Nuclear Energy Institute has sponsored a number
3 of surveys that Ann Bisconti has undertaken, in which she has
4 been looking at reprocessing and she finds consistently,
5 since the early part of this century, great support for it.

6 MIT's study, which was a great deal of that was
7 concerned with the security of nuclear fuels and non-
8 proliferation questions, had a reprocessing question in it
9 which had a substantial majority favoring reprocessing.

10 And, I guess your question is very well informed
11 and important. We do have to be very attentive to the way
12 these questions are asked. For this particular topic, I
13 would say that the pattern of responses we're getting across
14 a wide array of different studies are very consistent. I
15 intend to push this one a lot harder.

16 What I would like to do would be to unfold this
17 question in a way that really challenges people's initial
18 disposition either in the direction of opposition or support
19 to see what happens when fuller, more descriptive arguments
20 about the pros and the cons are raised to see how stable it
21 is under those circumstances. This is a remarkable topic
22 because it is one that we have seen such consistent results
23 from such a wide array of different attempts to measure it.

24 ABKOWITZ: Thank you.

25 KADAK: Okay, thank you. Bill, you have a question?

1 MURPHY: This is Bill Murphy of the Board.

2 I have a question for Ernie. I see in your
3 supplementary slides that you considered ground water
4 resources, and I'm curious if you have considered including
5 mineral resources or fossil fuel resources. It seems like
6 there could, for example, be a big overlap between your
7 argillite sites and fossil fuel resources.

8 HARDIN: Yeah, those would be part of the study. No
9 question about it. And, I should point out also with Dr.
10 Abkowitz's question is that, you know, it's very clear that
11 I'm just looking at post-closure variables here, things that
12 affect post-closure performance. And, I didn't touch
13 transportation or socioeconomics and some of your climate
14 change ideas might in fact play out there.

15 MURPHY: I have one other question that you may or may
16 not be willing to answer. Given the whole perspective and
17 your knowledge and background, do you have a favorite site
18 for a mined repository?

19 HARDIN: I'm tempted to answer Yucca Mountain, but I'm
20 going to say no, you know, given the tone of this
21 presentation is that there are any number of different
22 possibilities out there.

23 KADAK: Okay, anyone else on the Board have a question?
24 Ron?

25 LATANISION: Latanision, Board.

1 Let me just follow Bill's question by asking it a
2 little differently. If any of you gentlemen were given the
3 responsibility of leading a siting team, how would you
4 approach it? What would be the criteria you would use given
5 what we know today, based on the public opinion, comments
6 we've gotten from Hank, your studies, Andrew's work, what
7 would be your approach? How would you go about this?
8 Because, you know, we're getting to the stage where siting is
9 obviously going to reappear. So, how would you start?

10 HARDIN: That's a good question. You know, as I said,
11 you've got to have the regulatory frame work established.
12 The process stakeholders need to be identified. You know,
13 the lead authority needs to be defined and empowered. But,
14 given all of that, I will say that I think that what we're
15 probably going to be doing over the next few years is
16 establishing the capability to identify not the nominative,
17 as Andrew Souder said earlier, but in fact to be able to
18 answer specific questions about specific sites. So, is this
19 site okay? Or how does this site compare with some
20 alternatives? Or, is it representative of a certain disposal
21 concept? That's really where we're going.

22 There are a whole lot of other clearly, from the
23 discussion, a whole lot of other factors involved other than
24 geoscientific. So, we're in a position where we are
25 preparing the capability to answer questions about several

1 different media, references and concepts. And, we'll do that
2 across the entire U.S., or we envision our capability to do
3 that across the entire U.S., if that's what's required.

4 KADAK: Let me see if I can follow up to that question,
5 because that was too easy. Let's just say for the moment
6 science matters. Okay? That's a hypothetical. And, let's
7 just say for the moment the criteria that you have identified
8 in terms of geology and all of the layers that you had, would
9 you not logically say here are the candidate states, if you
10 will, that have suitable geological, hydrological conditions
11 that would warrant an exploration of whether a mined or a
12 borehole process would be acceptable?

13 And, then, instead of wasting everybody's time
14 going to California and trying to site it on an earthquake
15 fault, why not just simply begin looking in those areas where
16 there are favorable geological conditions? And, then,
17 perhaps explain to the public that this is the science that
18 shows that you state, for better or for worse, has favorable
19 features?

20 Now, Hank, you can chime in if you like here, and
21 then say okay, this on a science basis, these are the things
22 that make this area appealing. Then what?

23 HORNBERGER: What would the governor of Massachusetts
24 say?

25 KADAK: Well, that's my question. It really ultimately

1 boils down to a state question. Because I heard what Hank
2 said about a very strong local community mounting a campaign
3 to sort of overcome the state opposition, which is kind of
4 what he said when New Mexico first started this.

5 But, I just wonder if the process that we are
6 trying to embark on, perhaps the new one, has to be somewhat
7 different, and that's what I'm trying to seek your opinion,
8 not naming a particular state, but as a process. Would that
9 make any sense? And, maybe Andrew would like to answer that,
10 I don't know.

11 ORRELL: Well, I'm not going to let Ernie answer it.

12 I'm not sure it's going to answer your question,
13 but this issue about finding a suitable technical domain, our
14 general feeling is is that that's not really the constraint,
15 that there is an awful lot of territory which could be
16 suitable. So, it would be like saying in your approach, I
17 think, here's the maps and here are the, you know, one-third
18 of the country that has suitable basic criteria, what
19 community wants to volunteer in that region. And, I'm not
20 sure that would be particular effective.

21 My concern with this focus on volunteer communities
22 is we have great evidence that states are able to mount an
23 effective opposition, and not just from Nevada. I am
24 concerned that the mounting, overcoming a state opposition in
25 the case of WIPP, that was something that occurred 20 years

1 ago, and would not necessarily play out in the same way
2 today. And, for simple reasons of technology, the way things
3 were communicated.

4 I'm one of the few people in the room who lived in
5 both Carlsbad and Nevada, and I was there when there was no
6 internet. I know what it was like not to have a viral
7 campaign. Things that would happen would be reported three
8 or four days later, and they had lost a lot of their impact.
9 Now, we're seeing whole regimes being pressured in and out of
10 office based on Twitter.

11 So, I believe that our issue about how we overcome
12 state resistance is perhaps now myopic. We need to be
13 thinking about whole regions. How do you get an entire
14 region that could benefit, where it has stakeholder interest
15 in a repository implementation, to support it? I don't know
16 that answer, but I think looking at it from just a local or a
17 state region is kind of ill-fated. We need to be thinking in
18 terms of the kinds of things that were done for the
19 Appalachia. Personally, I think this is what needs to be
20 done. What was done for Appalachia over a period of 20 years
21 with the TVA to remove it from dead last in poverty to, you
22 know, an economic force in the country today? What would
23 happen if you took that kind of approach with certain areas?

24 KADAK: Hank, do you have any comments on that?

25 JENKINS-SMITH: Yes, I do have some comments on this.

1 Part of what may have driven much of the state response was
2 the Nuclear Waste Policy Act, particularly after '87,
3 specified what it was we were asking states and localities to
4 do in a way that made it extremely difficult for either the
5 residents there or the representatives of those communities
6 to defend the decision to pursue a disposal facility. And,
7 it did so, made it think about what it is that somebody has
8 to say to explain their support for bringing a repository
9 into a community.

10 We focus chiefly on providing financial benefits,
11 or economic benefits of one form or another as the
12 justification for Fremont County, or any of the other
13 potential candidate sites for MRS's or permanent
14 repositories. And, I think we have to think about this
15 distantly. I think there has to be policy, design
16 considerations that make it possible for somebody to see why
17 it's in the national interest, in the interest of future
18 generations for them to take on this kind of hosting.

19 And, it takes thinking about policy a bit more
20 creatively, but we have to stop thinking about the back end
21 of the nuclear waste cycle as a first off terminal, and
22 secondly, disconnect it from everything else that's going on.
23 And, part of this change that's happened in the what's been
24 referred to as the nuclear renaissance is the recognition
25 that these things are connected, that carbon emissions and

1 other factors are related. And, I think that's where we're
2 going to turn this corner.

3 KADAK: Okay, thank you. John?

4 GARRICK: Yes, it's getting late and I don't think it's
5 any of the reasons that have been given. I think the real
6 issue is the development of a national will to solve the
7 problem. I think that's not been done, and that can only
8 come from leadership. I think if this nation wants a nuclear
9 power program, we've got to have a waste program. We can't
10 separate the two.

11 And, I think that until we decide at the top that
12 we're moving forward with a nuclear power program, and true,
13 we have a waste program regardless of whether we move forward
14 or not, but looking in the longer range, until somebody is
15 able to tell the nation that this is what we're going to do,
16 and the reasons why, that it is manifested as being in our
17 best societal interest, and that there is indeed a national
18 will to do something, we won't, none of these approaches, in
19 my judgment, will work. And, I think it's that simple.

20 KADAK: Okay, well, we'll leave it at that. Hank, thank
21 you very, very much. I appreciate your willingness to
22 participate at a distance. Sorry you couldn't be here. And,
23 thank you, Ernie and Andrew, very much for your
24 participation.

25 John, back to you.

1 GARRICK: Okay, we now come to the opportunity for
2 others to let off a little steam. I have four names that
3 have been advanced to me, who would like to make public
4 statements. It is now 5 o'clock. We would like to adjourn
5 as close to 5:30 as we possibly can. I don't know if all
6 these people are here, Bob Gamble, Anne Clark, Judy Treichel
7 and Dr. Jacob. Are they all here? Yes.

8 Okay, well, let's start with Bob.

9 GAMBLE: May I?

10 GARRICK: Sure. That's the better place.

11 GAMBLE: My name is Bob Gamble. I'm with Nye County,
12 actually the Nye County Nuclear Waste Repository Project
13 Office.

14 I do appreciate the fact that the Board has come
15 back to Nevada after a long absence in touring the rest of
16 the country. I also appreciate, I think he may have left,
17 Lake Barrett's kind remarks about Nye County and our
18 participation, constructively, in the process.

19 Just as a little refresher for everyone, a few
20 facts about Nye County, which most of you may already know,
21 but it is larger than probably a half a dozen eastern states.
22 The Nevada Test Site, now the Nevada National Security Site,
23 which is larger than Rhode Island, is wholly contained in Nye
24 County. There were approximately 900 underground tests that
25 released uncontained radionuclides above in the ground water

1 on the test site, all within Nye County.

2 At the time the Act was passed when Yucca Mountain
3 was identified as a potentially acceptable site, there were
4 probably not much more than 10,000 people living in Nye
5 County. At the present time, there's just over 40,000 people
6 in Nye County. And, it's the host to Yucca Mountain.

7 There is a lot made of the need for local support.
8 A lot of people think of small communities. Well, we have a
9 state size county with a small population that has opted to
10 take a constructive approach. We didn't volunteer for
11 anything. Very few people, there is little leverage to do
12 anything really in the process. But, again, we took a
13 constructive approach, and particularly when the Act was
14 amended in '87, it gave an opportunity to Nye County to
15 designate on-site representatives.

16 I was until the DOE/OCRWM office here in Las Vegas
17 closed, the official on-site representative of Nye County.
18 My office was in the DOE building. And, in terms of
19 interaction, transparency, the ability to discuss issues, I
20 think that was a wonderful provision of that Act. Now, the
21 State did not take advantage of that. They also had that
22 opportunity, but did not choose to do that.

23 We entered into agreements with DOE with respect to
24 our own independent scientific investigations. They were
25 funded through oversight money. There was the agreement

1 regarding our role as an on-site representation. When the
2 site was designated, recommended and designated in 2002, the
3 Board of County Commissioners passed resolutions documenting
4 the intent to constructively engage DOE in this process to
5 ensure that the repository was safe, transportation was safe,
6 and that the citizens and the environment in the county were
7 protected.

8 In terms of more recent things, we were a
9 cooperating agency with DOE on the Supplemental EIS. In
10 fact, DOE, one of the things that have been talked about,
11 benefits, it's not so much the benefits as an acknowledgement
12 of potential impacts on the county. DOE did an analysis at
13 our behest looking at 80 percent of the repository workers
14 being employed in Nye County. That's in Appendix A of the
15 Supplemental EIS. It shows the employment, changes which are
16 substantial in a small county, a county with a small
17 population. It shows the change in discretionary income. It
18 shows the change in gross domestic product for the county.
19 All substantially in a county with a few tens of thousands of
20 residents.

21 Last week, the county, the Board of Commissioners,
22 the chairman sent a letter to the Blue Ribbon Commission
23 documenting some of our comments and our views. I would like
24 to--I would like to enter that into the record. But, I would
25 like to read just one small part of that. "Given the fact

1 that Yucca Mountain is by law the designated site for the
2 nation's geologic repository for spent fuel and defense high-
3 level waste, we would like to point out one more time that
4 strong local community support for Yucca Mountain exists at
5 the host county level." Again, bearing in mind the Nevada
6 Test Site was there. A lot of the people who live in Nye
7 County certainly are familiar with it and who worked at the
8 Test Site.

9 "Our own research conducted with Nuclear Waste
10 Policy Act funds convinces us that the science embodied in
11 DOE's license application and its supporting technical
12 documents is sound." We documented that in December 2008 in
13 our petition to intervene.

14 We raised certain contentions that were more a
15 matter of confidence building than of concern about the
16 safety of the repository, and said in that petition that if
17 our issues were addressed, we saw no reason that the Yucca
18 Mountain repository couldn't be constructed, operated and
19 closed safely.

20 At a minimum, what we recommended to the BRC was
21 that for the sake of science and other lessons that could be
22 learned from the experience, we recommend completion of the
23 NRC review of the Yucca Mountain license application. People
24 talk about fatal flaws and cases never having been made.

25 Well, that case is now before the body with the

1 capability and the responsibility to make that judgment in an
2 adversarial adjudicatory proceeding. Anyone who wishes to
3 challenge any of that case is welcome. We're a participant
4 in the proceeding, the State, Clark County and other rural
5 counties, NEI, and that's the right venue to go through the
6 issues. At a minimum, it would be a learning experience, and
7 the answer might be really interesting.

8 Thank you.

9 GARRICK: Thank you. Anne Clark?

10 CLARK: I'm a lot shorter than everyone else.

11 I wanted to just get back to the discussion earlier
12 before lunch about the significant difference between Yucca
13 Mountain and WIPP. And, it has been beaten to death about
14 the volunteerism issue, but I do think that it's important to
15 note in addition to the things that have already been talked
16 about in terms of the volunteerism, is that one of the slides
17 from the most recent presentation on public opinion showed
18 that in New Mexico, the public opinion of WIPP declines, it
19 becomes more negative as people are further away from the
20 WIPP site.

21 And, I think that there may be an interest in
22 finding out what the correlation between that distance is and
23 the locations of populations that have been negatively
24 impacted by previous nuclear or radioactive materials issues,
25 namely uranium mining and the lab, Los Alamos National Lab.

1 There is a strong opposition in the northern part
2 of the state because of its history of uranium mining and the
3 history of the lab that is significant, I think. And, so,
4 it's not just about the distance in terms of less economic
5 benefit, which is one of the big implications that people see
6 in that negative opinion going up as you get farther from the
7 site. It's also that they have previous negative experience
8 with nuclear issues, and, Carlsbad did not.

9 Okay, so the other two main issues that I think are
10 important that did not get talked about is that in New
11 Mexico, with WIPP, New Mexico, the State of New Mexico got
12 regulatory authority over WIPP through the RCRA permit. And,
13 this gives the state a lot more say into the general day to
14 day operations of what happens at WIPP, and this was an
15 important development that happened in the confidence
16 building of the state as a whole as to letting WIPP go
17 forward.

18 In addition to that regulatory authority through
19 RCRA, there was also established very early in the process an
20 independent technical oversight entity called the
21 Environmental Evaluation Group, and that entity was very
22 successful in maintaining its independence and frequently
23 came under criticism by the federal government because of any
24 criticisms that it had of WIPP, but because it was
25 independent and it did have some criticisms, it helped to

1 instill additional public confidence in there being
2 participation from the public and an influence over the
3 situation.

4 So, those two things being said, it also came up
5 earlier that why would it be important to have the federal
6 government in a public private partnership? Why is the
7 public part of that partnership important should we have a
8 nuclear repository for high-level waste and used nuclear
9 fuel, at least that's spent nuclear fuel, so I'm learning new
10 terminology today.

11 And, I think the reason it's important to have that
12 public part of that partnership, that there's that kind of
13 approach developed, is that that creates a clear avenue for
14 the public once again to be involved in the process and to
15 get some sense of control over this situation.

16 Lastly, I just want to close with an illustration
17 of how difficult and complex it is to get that public buy-in
18 for a repository like WIPP. It took over 20 years to open
19 WIPP from the time that it first began being discussed, as
20 many of you are aware.

21 I am also, my role, I didn't really introduce
22 myself, I'm Anne deLain Clark. I'm the coordinator, New
23 Mexico Radioactive Waste Consultation Task Force, and I'm
24 also co-chair of the Western Governors Association's
25 Technical--WIPP Transportation Technical Advisory Group. So,

1 there's a huge history through that group and through the
2 State of New Mexico of developing that public confidence
3 across the state. And, in the role that I have, I have a
4 library of that history, and when I took this job almost ten
5 years ago, I purged a lot of the files in that library as not
6 being relevant anymore, probably 30 to 50 percent of those
7 files. I still have the equivalent of 45 feet, when you
8 stack those files one on top of the other, of files on those
9 discussions.

10 So, I think that's a good illustration of how much
11 of a challenge there is in terms of really getting that buy-
12 in wherever you go. And, I do believe that it made a huge
13 difference that Carlsbad pushed the state, the additional
14 parts of the state to get over their objections to opening
15 WIPP. It was their strong support, and they still do that
16 now, to keep WIPP there and to expand the use of WIPP.

17 Thank you.

18 GARRICK: Thank you, Anne. I think if one of the points
19 you're making is that the support is more complicated in
20 terms of distance from the project than that simple
21 exponential curve illustrated, I would agree with you. It's
22 much more complicated than that.

23 CLARK: Yes, thank you.

24 KADAK: Could I ask you a quick question?

25 CLARK: Sure.

1 KADAK: As you probably know, there's been a lot of talk
2 about using WIPP for the DOE wastes, the solidified wastes.
3 I don't know anything about Carlsbad relative to its support
4 of that particular position. Do you have any opinions on
5 that?

6 CLARK: You're talking about waste that already meet the
7 waste acceptance criteria at WIPP? No. Are you talking
8 greater than Class C waste? No.

9 KADAK: No, I'm basically talking about the solidified
10 military waste that's--

11 CLARK: That's from reprocessing, that type of waste?

12 KADAK: Yes.

13 CLARK: Okay. It has been the position of the State of
14 New Mexico, now we just changed gubernatorial administrations
15 in January, that we would not--we would take the political
16 stance that New Mexico is not in the interest of accepting
17 high-level waste, whatever type of high-level waste that is,
18 at WIPP. And, it has been the position that New Mexico does
19 not want the WIPP Land Withdrawal Act to be amended.

20 Now, the current, the new administration may not
21 take that same stance. It is my impression that they are
22 certainly more open to the idea of expanding the role of
23 WIPP. And, the new governor did come from the southern part
24 of the state, and I think she is very sympathetic to the
25 economic concerns of that area, and there are concerns that

1 WIPP will be closing in 2035, and that they've seen a huge
2 economic benefit to their area from WIPP being there, and
3 they want to see that perpetuated in the long run.

4 KADAK: I think you're raising another interesting
5 point. The past administration was not supportive of
6 expanding WIPP. This administration potentially could be.

7 CLARK: Yes.

8 KADAK: And, then, the next administration could be
9 potentially against it.

10 CLARK: Yes.

11 KADAK: And, then, the next administration could be
12 potentially for it. How does one address some of these
13 fundamental needs, let's just say, to deal with, say, even
14 the defense waste that everybody agrees has to be disposed
15 of?

16 CLARK: I do think that the--okay, so 20 years, right,
17 that it took to get--New Mexico has a history of changing
18 parties with each new governor. So, there were changes in
19 political environment over those 20 years. However, once the
20 governor's office started to buy into it as being good for
21 New Mexico economically, and once our senators who stay
22 pretty consistent, or I think mostly, Bingaman was in the
23 attorney general's office when it first started, once they
24 both bought into it, then there was a consistent path towards
25 opening WIPP. So, that did help quite a bit, even though

1 there was change in political parties.

2 GARRICK: Okay, thank you.

3 CLARK: Okay.

4 GARRICK: We'd better move on. Judy?

5 TREICHEL: Judy Treichel, Nevada Nuclear Waste Task
6 Force.

7 I sort of have a list of things to go through here.
8 I was concerned when Bill Boyle was originally making his
9 presentation, and then after that, Andy Kadak asked him,
10 "Well, when will we have a repository," and Bill went on to
11 say that there was a fear of the public since, you know, that
12 Yucca Mountain had sort of stifled public acceptance, and I
13 think that's true. And, I think a lot of things have to
14 happen in this country before you actually have a repository.
15 I think the worst mistake that could be made is if somebody
16 now just launched off, assuming Yucca Mountain is gone, to
17 find another site. We're not ready to do that at all.

18 And, Bill said it's important that everyone know
19 that they have a fair shake, and that is very important, and
20 there has to be a process that's a lot longer than just
21 taking a map, such as Ernie showed, and figuring out that
22 this is the kind of thing we want, and going and starting
23 again and repeating what happened here in Nevada.

24 On the first panel that you had, it seemed to be
25 that Lake Barrett and George Dials and Chris Kouts, they sort

1 of had the opinion that people didn't know enough about the
2 project, or didn't know enough about DOE and what it was
3 doing.

4 And, I would say that just the opposite is true. I
5 don't think the Department of Energy and whoever was in
6 charge of siting knew enough about Nevada and Nevadans. And,
7 they came with this idea that--and, we heard this a lot
8 toward the beginning--that we had happily hosted the Nevada
9 Test Site so we would, therefore, not blink an eye at a waste
10 repository. And, that isn't true at all, and you needed to
11 find out more about that before it even started.

12 So, it would seem to me that if a location puts
13 itself up as being willing to just consider, just barely get
14 in at the beginning, that the population not only has to
15 learn about the project, but the people promoting the project
16 need to learn about that population as well.

17 And, I was astounded when Lake Barrett said, as he
18 was making a point about something, that EPA at one point was
19 considering or proposing a part of the standard that would
20 have required every bit of the grounds you comply with
21 whatever that was. I'm not sure what it was that he was
22 talking about. And, he said that at that point, he could
23 have gone to Congress and told them at Yucca Mountain wasn't
24 suitable. But, instead, he went to EPA and told them that
25 Yucca Mountain couldn't comply, and then he said they backed

1 off.

2 Well, you see, the implimator and the standard
3 setter shouldn't be doing that. There was no public
4 conversation about that. Nobody ever knew that happened, and
5 I don't think it should have happened. And, I would say that
6 that goes into this fair shake idea that the public knows
7 that they got something that they were a part of.

8 I would say that you've got to start out knowing
9 that the public in general, as was done in Canada, actually
10 believes that there is a nuclear waste problem, and whether
11 or not they believe that something needs to be done. If they
12 do, what they think should be done. If they really want, as
13 John pointed out, new nuclear power plants, do you understand
14 that waste comes with that, would you play a part in solving
15 the waste problem. But, there's a huge conversation that
16 goes on around this, and I don't think it's a yes or no
17 situation when you're going out to find a willing host for
18 this.

19 There was a speaker at one of the Blue Ribbon
20 Commission meetings, his name is Thomas Webler, and he said
21 he wasn't in favor of the idea of a veto, you'd have to get
22 all the way down with everything that's happened, and the
23 site is recommended, that the governor can then veto. He
24 thought of it more as when you go to the doctor and the
25 doctor says well, there's something very wrong with your leg,

1 and I think perhaps you're going to need surgery on that.

2 So, then, he recommends that you go to another doctor for a
3 second opinion. You can either go to that doctor or not.

4 So, you decide you will, and that doctor says well,
5 you're going to need tests and I think we need to know about
6 this or this or this, and I think you should do that. At
7 that point, you can decide to continue on to that. And, you
8 go all through these steps before you're actually on the
9 operating table, and as he put it, by the time they're
10 putting the mask on your face, you really should have had a
11 very solid agreement that you want this surgery.

12 So, I would say that you start out with willingness
13 to go along, and then you keep checking that, and people
14 have, they have consent for each additional step that goes
15 and at some point, no, you can't back out anymore. But,
16 that's all part of a process, and I think that process has to
17 happen before anybody can tell you, Mr. Kadak, when there's
18 going to be a repository.

19 So, thank you.

20 GARRICK: Thank you, Judy. Is Dr. Jacob here? No?

21 Okay, are there any questions from the Board?

22 KADAK: I just want to comment. Judy, I think you
23 misinterpreted my comment or question. I was trying to see
24 if DOE had any plan whatsoever for a repository. And, the
25 answer I got was no.

1 TREICHEL: Good answer.

2 KADAK: And, what I would like to frankly suggest is I'd
3 like to put you on a siting commission to find a repository
4 site, and to see how much fun you can have doing that.
5 Because I really believe it's an important job. And, you've
6 got a lot of experience opposing sites, I think now it's an
7 appropriate time perhaps for you to help solve this problem,
8 given all your experiences with opposing it. How does that
9 sound?

10 TREICHEL: You and I have not agreed on what the problem
11 is.

12 KADAK: Okay.

13 TREICHEL: I'm not going to serve you up my solution
14 because it may not be yours.

15 KADAK: That's okay, but I'm open to any solution. The
16 question is what do you think the problem is? Is there a
17 need to solve the waste--

18 TREICHEL: That's the first conversation we need to
19 have, the first discussion.

20 KADAK: Okay.

21 TREICHEL: Is what is the problem? Because it's real
22 hard to solve before you've agreed on that.

23 KADAK: Okay.

24 TREICHEL: You'll get better, Andy, you will.

25 GARRICK: Any comments from anybody?

1 DIODATO: You lose.

2 GARRICK: All right, then, I'm going to consider this
3 meeting adjourned. Thank you.

4 (Whereupon, the meeting was adjourned.)

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C E R T I F I C A T E

I certify that the foregoing is a correct transcript of the Nuclear Waste Technical Review Board's Winter Board Meeting held on February 16, 2011 in Las Vegas, Nevada, taken from the electronic recording of proceedings in the above-entitled matter.

February 28, 2011

=====

Federal Reporting Service, Inc.
17454 East Asbury Place
Aurora, Colorado 80013
(303) 751-2777