

UNITED STATES
NUCLEAR WASTE TECHNICAL REVIEW BOARD

WORKSHOP
On Evaluation of Waste Streams Associated with
LWR Fuel Cycle Options

Tuesday
June 7, 2011

Hilton Arlington Hotel
950 North Stafford Street
Arlington, Virginia, USA 22203

NWTRB BOARD MEMBERS PRESENT

Dr. Mark D. Abkowitz
Dr. William Howard Arnold
Dr. David J. Duquette
Dr. Ronald M. Latanision
Dr. Andrew C. Kadak
Dr. Ali Mosleh

PARTICIPANTS

Marie-Anne Brudieu, AREVA
Sven Bader, AREVA
Paul Murray, AREVA
Professor Eugene Shwageraus, MIT
Steven J. Piet, INL
Robert Gregg, NNL
Greg Love, MITRE Corporation
Terry Tyborowski DOE EM

NWTRB SENIOR PROFESSIONAL STAFF

Bruce E. Kirstein
Gene W. Rowe
Douglas Rigby
Daniel S. Metlay

NWTRB STAFF

Nigel Mote, Executive Director
Linda Coultry, Meeting Planner

I N D E X

	<u>PAGE NO.</u>
Welcome	
Mark D. Abkowitz, Member U.S. Nuclear Waste Technical Review Board	194
Benchmarking Exercises Performed by IAEA, NEA and MIT	
Steve Piet	194
Phase 4 Analysis Results: Steady State Reprocessing and Fabrication of PWR MOX and Recycled UOX Fuel	
Facilitated by Nigel Mote	214
(Summary of analysis results and individual pre- sentations by participants, followed by comparison of results and discussion of differences)	
Phase 5 Analysis Results: Impacts of Reprocessing Combined with Recycling	
Facilitated by Mark Abkowitz	260
(Summary of analysis results and individual pre- sentations by participants, followed by comparison of results and discussion of differences)	
Lunch	287
DOE-EM: Presentation on Model of Waste Management at DOE Sites	
Facilitated by Nigel Mote	288
Where Do We Go From Here?	
Facilitated by Nigel Mote	309
(Discussion by participants to reach consensus on areas of agreement, differences, and suggestions for future interactions and direction)	
Public Comments	
Mark Abkowitz	352
Closing Remarks	
Mark Abkowitz	353
Adjourn	353

P R O C E E D I N G S

1

2

9:00 a.m.

3

4

5

6

7

8

ABKOWITZ: Between that and the coffee, hopefully that will get us going here a little bit faster. I want to welcome everyone back to Day 2 of our Workshop. We have a pretty busy agenda today, especially given some additions that we've made based on yesterday's conversations. So, we'll launch right into it right now.

9

10

11

12

13

14

15

16

17

18

19

On the formal program, the first session is on the Phase 4 analysis. We're going to put a couple of things in front of that. You may recall yesterday that there was discussion about other benchmarking exercises that have been performed recently by various organizations for various reasons. And, there are three that were brought forward: one, the IAEA; another by NEA; and one performed by MIT. And, both Steven and Eugene have been gracious enough to be willing to share their thoughts on those experiences, what was discovered and how it relates to what we're trying to do here.

20

21

22

So, I'm going to turn it over to Steven to start off with the IAEA and NEA discussion, and then Eugene on the MIT side of things.

23

24

25

PIET: I got a few slides from one of my colleagues, Brett Dixon, who has been involved with actually all three of the benchmarks that you mentioned, and so I'll do a few

1 slides here that he sent me last night that we've talked
2 about.

3 So, background that Brett put together, this was
4 two years ago, system codes, like we've been talking about,
5 are difficult to verify. No surprise. Benchmarking provides
6 one of the means for doing data validation. If you can't do
7 the experiment of going 50, 100 years into the future, how do
8 you validate. You can go backwards, but I can always trittle
9 a code to reproduce history.

10 VISION has been benchmarked in two separate
11 activities, the NEA benchmark, the MIT benchmark, and I
12 guess, Eugene, you'll talk more about this.

13 There was also an IAEA benchmark that we put a lot
14 of time into, but Brett believes, and I agree with him, it
15 will never get finished. It actually got too complicated,
16 took too long, and the key person at the IAEA moved on to
17 other activities. So, it's just going to dock. It's too
18 bad. One of the things that was in that particular exercise
19 was heavy water basis that hadn't been in some of the other
20 ones.

21 The NEA benchmark--I'm not too good at this thing--
22 had three cases, an open cycle, just once through, mono
23 recycling, or a single recycle of plutonium and PWRs as MOX,
24 very similar to what we'll be discussing later today, and
25 then the same thing as this, followed by fast reactors. So,

1 this is very similar to GNEP option space.

2 Benchmark specifications took several iterations.
3 They grew, they became many, many pages long, specified all
4 the reactor properties, the core properties, the fuel,
5 input/output, compositions, the schedule for when separation
6 plants would come online, and specified electricity
7 production year by year.

8 What they looked at was natural uranium, SWUs, fuel
9 fabrication and flows, inventories, various places in the
10 system, how much fuel was separated, mass flows, and so
11 forth.

12 What's not on this list, what is unique about the
13 benchmark here is more focused on individual isotopes. So,
14 no two benchmarks, just like no two codes, are exactly the
15 same. Different people have set them up to look at different
16 things. This was really focused on what's going on with the
17 reactors more than anything else. Yeah, they talked about
18 storage, but the real focus in the discussions and the
19 iterations was why were you getting different numbers of
20 reactors and a different amount of fuel.

21 So, the first case was an open cycle. For some
22 strange reason, they don't care about US graph, which of
23 course is something different about this benchmark. So, it
24 was a very exciting scenario there, constant electricity for
25 120 years. VISION at the time only did 100 years, so that

1 gave us some headaches. We had to change the model so it
2 could further.

3 The second case was almost as exciting. There was
4 a phase-in with MOX, and then 115 years with MOX and UOX.
5 And, then a fast reactor scenario. I never understood why
6 they did this. They had this specification of MOX coming in,
7 phasing out, and then fast reactors coming in. I don't have
8 a clue why someone dreamed that up, which is my way of saying
9 don't ask me because I don't know.

10 So, some of the conclusions to be drawn from this,
11 benchmarking is not easy. It is simply not easy. Even a
12 simple case ended up requiring many pages of input. There's
13 always differences of interpretation that require iteration
14 of specifications. Once we got through all that, all the
15 codes did demonstrate similar behavior, especially when we
16 realized that the purpose of these codes is not am I going to
17 get ten grams of this and twelve grams of that. That's not
18 what these codes are all about. These codes are looking at
19 what is the behavior of the system, or possible system.
20 Where are the choke points. Where do you get into trouble.
21 Where do you--where do things break down. Where is it
22 fragile. Not the exact numbers, none of these are really
23 designed to say oh, twelve grams versus ten grams.

24 Basically, differences tended to be traced back to,
25 gee, I got more time steps here, or less time steps there,

1 and none of the benchmarks tend to deal with the advanced
2 features of models. VISION, I don't know about the other
3 models, VISION will--I can run it in two ways. I can tell
4 it, for example, in introducing MOX or introducing fast
5 reactors, I can tell it I want you to build exactly this
6 profile of reactors. I can do that.

7 But, the real part of the code is when you let the
8 model, using various algorithms, see how the system naturally
9 should evolve over time, because then you learn more about
10 the dynamic behavior of this option versus that option.

11 And, so, benchmarks, you generally throw all those
12 advanced features off. You've done down the model in order
13 to force a consistent behavior, the same sort of situation.

14 And, so, what we really ought to be doing, personal
15 opinion, is understanding whether different models are
16 telling us the same thing about fuel cycles. How fast can
17 they be introduced? And, I'll leave you with an analogy that
18 I've come up with. I used to fly a twin seat plane, single
19 engine plane. Well, a fuel cycle is like I'm taking off, I'm
20 flying somewhere, but I don't know where I'm going. And, I
21 move the stick, or I change the throttle, and nothing happens
22 for 20 years, and it's dark and it's raining outside, and oh,
23 by the way, I'm not the only pilot. There's these guys from
24 AREVA, and these guys from NRC, and everybody else and we're
25 all trying to fight over the controls of this airplane, and

1 we don't even know where we're going. That's what a fuel
2 cycle is. And, that's what playing with these models over
3 time tells you.

4 ABKOWITZ: Thank you, Steven, for such a rosy picture.
5 I think we have a collective identity crisis now.

6 Let me ask a question, and then we've got Andy and
7 some others. This is now your third, fourth, fifth
8 benchmarking exercise, depending upon how you count, I guess.
9 I think you've identified for us some of the things that are
10 valuable and some of the things that we'll never accomplish.

11 Do you have any general guidance going forward for
12 a better way to do these kinds of things in the future?

13 Because, I mean, at the other end of the spectrum are, you
14 know, policymakers and technical analysts who are trying to
15 come to terms with where the airplane should go.

16 PIET: Right. I don't have a simple answer. At least I
17 haven't dreamed up one. Any of these models, any of these
18 benchmarks, you need to first think what do I want from the
19 model or models. Then, what sets of things can I do to
20 convince myself that the models are telling me what I need to
21 do?

22 Now, of course, none of the international
23 benchmarks care a whiffle about US parameters. Okay? So,
24 one of the things that was valuable for me in playing the
25 models through these scenarios was I spent more time on US

1 history than I have before.

2 One of the reasons I sort of kind of blew off the
3 32 and 39 historical benchmark--burnup, as part of the
4 benchmark is I wanted to see how well the model could
5 replicate the history. So, I gave it a histogram and played
6 around with it. That gave me more confidence that I had a
7 reasonable way of approaching the last 40, 50 years of the
8 US. So, that gave me more confidence in certain things about
9 our model.

10 So, what are you really looking for from the model?
11 I submit if it's ten grams versus twelve grams of isotope X,
12 and 40 years, this isn't the way to get there. So, what are
13 you looking for? And, then, what sets of things do you need
14 to do to get there? Now, VISION was put together to look at
15 the range of parameters necessary to judge fuel cycles, with
16 relatively less emphasis on what's certain, as I said
17 yesterday, so you have to decide what that emphasis is.

18 If you want to get into see how much in this fuel
19 cycle, how much is going to produce low-level waste or high-
20 level waste, or greater than Class C, these models can tell
21 you that with the right input, but it really comes down to
22 what is the right input, and these models can't tell you what
23 the right input parameters are. That's another set of
24 questions, and my other talks today will get into that. So,
25 I don't have a simple answer to the problem.

1 ABKOWITZ: Okay. Andy?

2 KADAK: Kadak, Board.

3 In terms of the second bullet and the models that
4 were run, was there any, when you say significant difference
5 in, say, if they're looking at numbers of reactors, that were
6 meaningful in terms of this benchmark?

7 PIET: (Nods head no.)

8 KADAK: In other words, would one say, well, we needed
9 15 reactors when only ten were required? So, there's no
10 statistically significant difference?

11 Now, if you can go back to the slide that talks
12 about the last one with fast reactor introduction, I just
13 want to speculate on--I'm going to reason why they phase out
14 MOX. We had a conversation last evening about this. And, my
15 sense is it's probably due to this availability of plutonium
16 for feed stock for fast reactors, but perhaps AREVA can
17 validate that, or others. Because the MIT study was
18 criticized because we didn't go into a MOX cycle first. We
19 proposed directly going to a high enriched uranium start-up
20 core, with then recycling the bred fuel. Could that be a
21 possible explanation for that?

22 PIET: I'm not in a position to speculate on that.

23 KADAK: Okay.

24 PIET: One of the issues that we try to look at in our
25 model is that facilities, not just reactors, but all the

1 facilities in a fuel cycle have a finite lifetime. And, when
2 I look at this type of thing and say well, gee, that sort of
3 implies I built a whole MOX infrastructure and am going to
4 run it for 70 years, are we're going to run these plants for
5 35 years and replace it halfway through?

6 One of the things that you may, when you conjure up
7 some of these fuel cycles, is if you're not careful, you end
8 up specifying something where a given real facility, implied
9 by that model, would have a ridiculously long and a
10 ridiculously short lifetime. I'm not going to build a MOX
11 fabrication and separation plant and only run it for 20
12 years. That would be kind of stupid. So, you need to, at
13 some point, think through how you're going to do things from
14 the standpoint of real facilities, and how am I going to
15 stage them, how long are they going to last?

16 KADAK: And, these models didn't include any economics?

17 PIET: No.

18 KADAK: Just benchmarks, okay.

19 PIET: Some of the models can do that, although when you
20 go into an international benchmark, then, you know, what
21 currency are you messing with.

22 KADAK: All right.

23 ABKOWITZ: Any other Board member questions? I know
24 Andy would like to speak. Changing microphones today, I see.

25 WORRALL: I think Steve has made a really important

1 point, in that the industrial experience and expertise into
2 these fuel cycle models is imperative. It's things like, for
3 example, claiming crazy separation factors of the efficiency
4 of a reprocessing plant. You've got to ask the guys from
5 AREVA, because if you don't get that right, it can give you
6 all sorts of crazy ideas and numbers, have bigger
7 reprocessing plant, can really be-- can be 2000 tons a year
8 or 20,000, you know, you see some of these scenarios, crazy
9 things, that's not going to happen either. So, that's why
10 you need the input of an AREVA or a reactor vendor, a fuel
11 manufacturer.

12 But, flip that around a little bit, is that these
13 models can go also, therefore, help inform the industry, and
14 that's the other way around, I think. Sometimes it's the
15 tail can wag the dog, but sometimes the dog has to wag the
16 tail, because, for example, it's a bit like a safeguards by
17 design approach. You could almost go through this kind of
18 analysis, and certainly then says this suggests we need a
19 fuel plant that's 2000 tons. Well, maybe that is possible.
20 You know, it just kind of begins to make the industry think a
21 little bit differently.

22 You know, you achieved this success, whatever this
23 success may be, this is what the industry needs to look
24 towards achieving, is that actually achievable, and it just
25 makes things--it's just in--form, the industry a little bit,

1 too. You know, looking at things like, you mentioned a MOX
2 fabrication facility. Can it last for 40 years? Well, maybe
3 and maybe not. Go and ask the guys who know, ask AREVA or
4 anybody else. Maybe they could stretch to 50 years. And, if
5 you could stretch to 50 years, then it will save you the cost
6 of, you know, 4.6 billion, whatever the, you know, M triple F
7 is running at the moment. You could say you've got a refit
8 would be the obvious thing to do instead, so you can look at
9 a refit, because it's only stretching it by ten years.

10 So, it does work both ways, but I think it's really
11 important, though, Steve raised a really important point,
12 these things must be real, fed into by the industry, and
13 don't let some crazy decision be made by these modelers. You
14 know, that's what could happen.

15 ABKOWITZ: Thank you. Given that unpaid commercial
16 advertisement, Paul, do you want to comment on the
17 willingness of AREVA to participate in the manner in which
18 Andy would like?

19 MURRAY: Okay, Paul Murray from AREVA. Most people know
20 me in this room.

21 Yeah, we're willing to participate, but, you know,
22 I can answer the question there quite simply by the MOX--tail
23 it off. If you were supplying MOX to light-water reactors,
24 at some point, you've got to switch over to supplying the
25 plutonium to fast reactors, so you've got to slowly tail off

1 one customer and build up another customer. So, that's
2 probably why you tail off. Yes, we participate, but we're
3 industry, we know how to build things. So, as long as you
4 stay based in reality, we'll support you. But, when you
5 start talking about fast reactors, very high temperature
6 reactors, molten salt reactors, some future fuel cycle, we
7 can't help.

8 ABKOWITZ: I think one of the interesting ways you might
9 be able to help is establishing what I guess I would refer to
10 as boundary conditions.

11 MURRAY: Yes.

12 ABKOWITZ: Giving some sense as to where the exploratory
13 thinking should stop, because it just gets into craziness.

14 MURRAY: I could give a really good example of that. Is
15 in obvious models and various programs produced, and Steve,
16 you've heard me many times talk about this, the transition
17 scenario is going to drive everything. It's one of the big
18 problems we have. We're currently in one fuel cycle today,
19 and a lot of these models just instantaneously change over to
20 a new fuel cycle, and all of a sudden, we've got 50 sodium
21 reactors going, and all the light-water reactors have
22 disappeared.

23 That's not going to happen. We're going to
24 transition over to a new fuel cycle over hundreds of years,
25 and we're going to change all the time as we transition. We

1 don't have to commit to any one fuel cycle. And, that's the
2 big thing that's missing from these models. The further you
3 get, the more flights of fancy you get.

4 ABKOWITZ: Howard?

5 ARNOLD: As a long-time employee of another industrial
6 company, I want to make sure that you understand the
7 utilities don't buy a plant until they have seen one like it
8 operate.

9 ABKOWITZ: Ron?

10 LATANISION: Mark, it seems to me that what's emerging
11 from all these conversations is that we have at this table
12 the participants, a group of people which has a very
13 definite--each of which has a very definite sort of agenda
14 and constituencies. I mean, you're interest in--

15 ABKOWITZ: You're saying that in a positive way?

16 LATANISION: In a positive way. Oh, absolutely. But,
17 your interest is in recycling. Your focus may be on advanced
18 fuel cycles. And, you know, we have the skills on that table
19 to do almost anything that's of interest. But, what's
20 missing is to frame the question in a way that's tractable.
21 What are we really trying to answer? What is the question we
22 really want to get? I think that's what you were saying,
23 Steve.

24 I'm convinced that the skills to answer almost any
25 question that's of interest to us, probably are represented

1 on that table. But, I think--

2 ABKOWITZ: And, if not, in the room altogether.

3 LATANISION: Well, yeah. But, I mean, I think the
4 challenge for this workshop ought to be to frame a question
5 that is of interest to everyone who is here, and then to
6 decide perhaps not at this--at the conclusion of the
7 workshop, but maybe in the next step. But, I think this may
8 be the first step in the development of something that may be
9 useful to the whole industry, to DOE and to the NRC. Let's
10 frame the question in a way that makes sense.

11 ABKOWITZ: I think that's an excellent observation. I
12 see Nigel scribbling fast here, because--

13 MOTE: It's chicken scratch.

14 ABKOWITZ: Okay. But, the purpose of the last session
15 in this workshop, Where Do We Go From Here, I think that's a
16 very legitimate issue to raise.

17 Thank you.

18 MURRAY: May I just make one comment?

19 ABKOWITZ: Sure. If you could come to the microphone?

20 MURRAY: The actual workshop you're doing in really,
21 really important to industry. That's why we're here to
22 support it, because as industry, GNEP, we all ran our codes
23 and our analysis for the waste, and we all came up with
24 different answers. And, even the Blue Ribbon Commission
25 said, you know, as industry, why can't you give a consistent

1 answer. So, the work you're doing here today is really,
2 really important to industry.

3 ABKOWITZ: Thank you.

4 PIET: One thing I would add to what Paul said--two
5 things. I'm a little more optimistic on advanced reactors
6 than I think you are. But, we can debate that over a beer or
7 wine. But, one of the ways we should, but don't, assess fuel
8 cycles is how much a given choice along the way opens or
9 closes doors, flexibility. So, at least we agree on that
10 score.

11 There is the agility of the system. None of us
12 know what's going to happen five years or ten, twenty years
13 with regard to uranium. Now, I can talk to five different
14 people that will tell you five different things on uranium.
15 The waste management rules, we know what the rules are today,
16 what are they going to be twenty years from now?

17 ABKOWITZ: Probably--well, never mind. Just look where
18 they were twenty years ago.

19 PIET: Right. So, we can make choices that increase or
20 decrease flexibility, agility. That's something we need to
21 do more thinking about.

22 ABKOWITZ: Okay, thank you. Eugene, do you want to
23 follow on this?

24 SHWAGERAUS: I want to preemptively apologize for not
25 probably providing all the answers to questions that might

1 follow because I wasn't directly involved with this
2 benchmark.

3 ABKOWITZ: We also only gave you 18 hours.

4 SHWAGERAUS: So, a few years ago, I guess three, 2008,
5 or so, there was another attempt to benchmark various codes.
6 It was initiated by MIT. That was the first time that a
7 CAFCA code was compared to other codes. There were four
8 participants, COSI code from CEA, VISION, DANESSE from
9 Argonne, and CAFCA. All these codes have, as you know by
10 now, they all have different levels of complexity for their
11 models and assumptions and things that they can do.

12 And, the benchmark compared only common
13 capabilities of the codes. Obviously, there's one more thing
14 that all codes could do, which is economics, but that wasn't
15 part of that particular benchmark.

16 There were three scenarios with three different
17 fuel cycle scenarios that involved light-water reactors,
18 light-water reactors with MOX, and fast reactors with
19 different conversion ratios, with different combinations to,
20 you know, to light-water reactors, followed by fast reactor
21 with conversion ratio one, which is a self-sustainable fuel
22 cycle, that was one of them.

23 A two-tier scenario, something similar to that
24 where you start with recycling PWR fuel in the form of MOX
25 and then that followed by a fast reactor with different

1 conversion ratios.

2 So, there were three of those, I don't remember
3 exactly how they were put together or formulated, which
4 conversion ratio would work, two-tier or one-tier.

5 And, there were three prescribed energy growth
6 scenarios: no growth, modest, and ambitious. The report, by
7 the way, the benchmark was eventually summarized in the MIT
8 report, which is available, and I can give you reference for
9 those who are interested, or just send you an executive
10 summary of that report.

11 And, the conclusions are very similar to what Steve
12 has been describing. All codes, if you sufficiently tune the
13 assumptions, will give you the same answer. So, if you
14 prescribe a recipe of how you built things to the extreme
15 level of details, all codes will give you exactly the same
16 answer.

17 If you let codes decide based on their internal
18 logic whether it's hard wired or user specified, it's prone
19 to interpretations, also some internal assumptions that
20 discrepancies can be large, and they were observed to be
21 large.

22 But, if sufficient effort was put into sort of free
23 iterating these assumptions, the agreement could be
24 exceptionally good. So, that gave confidence that if we
25 model the same thing, we'll get the same answer. And, even

1 if not, as Steve also pointed out, all codes gave the same
2 trends, which is what you would, from the beginning, want
3 from these types of tools. You're not looking for a specific
4 number, you know, this many grams, that many grams. You want
5 to know how the system behaves, whether it will go up and
6 down, at least.

7 My view of how the ultimate dream code should look
8 like and what type of things it should provide, and I don't
9 have all the answers, or I don't have a clue how to get
10 there, but everything that we put in has enormous
11 uncertainty, which almost adheres to my answers, basically
12 what does it mean if I have an answer, like number three,
13 what does it mean. And, it could be plus or minus 100
14 percent, so what do I learn from this. So, some of the
15 outcomes of this benchmark, one of the outcomes is that
16 whether things go up and down, is already--that already has a
17 value. It already tells you something.

18 So, how to incorporate these enormous uncertainties
19 that basically every input parameter that you can put in, how
20 does that affect what the behavior of the system, what time
21 would be. I don't know how to get there, and formulating
22 questions also was pointed out already today, is a crucial
23 thing. What do I want to know? Because if we can specify
24 fitness function to a complex system that can give you many
25 outputs, and for this benchmark, it was again a list of these

1 parameters, you know, how many kilograms of TRU in storage,
2 how many separate work units you need of natural uranium, and
3 how many reactors and reprocessing capacities. All those
4 were included and given sufficient effort to put all the
5 initial assumptions in line between participants, you will
6 get good agreement.

7 So, formulating the answers and how to incorporate
8 uncertainties in this analysis I think is important
9 challenges that need to be addressed in the future, in future
10 codes.

11 ABKOWITZ: Thank you. Ali, you had a comment or
12 question, please?

13 MOSLEH: Yes, a question. This is Mosleh, Board.

14 On this benchmark you just described, was the
15 convergence a result of specifying the input or did it also
16 require changing the code to comply?

17 SHWAGERAUS: The models in all these codes have
18 different structure. So, maintaining, for example, constant
19 capacity for codes like COSI, which is not a constant--which
20 follows batches, unlike other codes that can do continuous
21 mass flow, were some of the things that were difficult but
22 not impossible to overcome. And, that resulted in some
23 oscillatory behavior because you're approximating something
24 constant or a smooth function with discrete batches. You
25 know, some codes account--the simple way of accounting things

1 on the 1st of January versus the 31st of December--

2 PIET: That was one of them.

3 SHWAGERAUS: --you know, things like that were
4 discovered over and over again, and helped to understand
5 where all these differences came from. Another important
6 outcome, I would say, is that although notable differences
7 were observed in some cases where not that many iterations
8 were made to make them converge on the same answer, the
9 source of these discrepancies was pretty well understood, I
10 think. And, it all boiled down to these initial assumptions
11 or the way how different codes approached modeling different
12 things.

13 ABKOWITZ: My take-away from this conversation, which I
14 think has been a really important conversation, is that the
15 modeling community is--its capability is at a reasonably
16 decent level, and it's really more a matter, as Ron said, of
17 framing the question and trying to focus on what the
18 performance measures are, if you will, that address the
19 question appropriately.

20 PIET: Yes.

21 ABKOWITZ: And, so, you're basically sitting there on a
22 toolbox looking for better guidance on where you should be
23 applying your trade.

24 SHWAGERAUS: Yeah, tell us what you want.

25 ABKOWITZ: Yeah.

1 PIET: And, sometimes better data.

2 ABKOWITZ: Right. Well, that gets back to the issue of
3 uncertainty. Although I will say that I think there's a
4 danger in trying to develop models that are too
5 sophisticated.

6 PIET: Yes.

7 ABKOWITZ: Because when you do that, you introduce that
8 many more parameters that you don't have a lot of confidence
9 in, so you create a perception that you're modeling things
10 with more precision when, in fact, you're introducing
11 opportunities for more errors that actually have a chance to
12 multiply more aggressively.

13 SHWAGERAUS: Yes, absolutely.

14 ABKOWITZ: Any other comments or questions on the
15 benchmark review?

16 (No response.)

17 ABKOWITZ: Thank you, both of you, for your willingness
18 to do this. I'm going to turn the program over to Nigel
19 Mote, who will be moderating the next session.

20 MOTE: We are going to pick up now from where we left
21 off yesterday a little early, and see if we can't bring today
22 in early as well.

23 And, yesterday, we changed the order of the
24 presenters from the participants, and today, we're going to
25 mix it up a little bit. So, we're going to start this one

1 with Gene, and then run down the order that you have them on
2 the--actually, the way they are on the Excel spreadsheet now,
3 turned into a PDF on the full screen there.

4 So, Gene, is it best to run through all six first,
5 or just--yeah, let's do all six for each of the participants
6 in order.

7 ROWE: Okay, the first couple of slides are just going
8 to be copies of what's on the screen on the right side, just
9 the results. You will notice that I've got some of the boxes
10 colored yellow. Those are the actual values that we
11 requested from each of the companies.

12 I did one other set of scenarios, okay, which are
13 the ones that don't have the yellow boxes. And, the reason
14 for that will become more obvious on the next slide. This is
15 showing the uranium savings. And, there's been a lot of
16 discussion on the amount of uranium savings, and I can give
17 you any number from 5 to 60 percent uranium savings,
18 depending on what the assumptions are.

19 And, so, the reason that I added this second
20 scenario down at the bottom is to show you the variation.
21 They both use the 3000 metric ton capacity, but if you will
22 notice, I have also added another column, the third column
23 over, which is the actual fabrication mass. Okay? And, I
24 did some analysis a while back and I came up with a new term,
25 and that was what it was is the ratio of the reprocessing

1 mass to the fabrication mass. Okay? So, that if those
2 masses are equal, basically, and I don't like to use the word
3 "steady state," but you're reprocessing everything you're
4 discharging, and then you're refabricating the assemblies to
5 compensate for those that you have discharged.

6 And, the curve was very interesting. It was a very
7 straight line, and it showed that as the reprocessing
8 capacity--as the ratio of reprocessing to fabrication goes
9 above one, okay, i.e. you have higher reprocessing capacity
10 than what your actual need is, i.e. you're reprocessing
11 inventory not just what you're discharging this year, then
12 the uranium savings goes up, and it's almost a linear
13 function.

14 And, so, the reason I showed this is if you'll look
15 at the second, this bar here, you can see that the amount of
16 mass that was reprocessed is considerably larger than the
17 amount of need of reprocessed mass. And, therefore, you'll
18 get very high uranium reduction.

19 On the bottom three lines, you can see that as the
20 actual reprocessing mass goes down, your fabrication mass is
21 about the same, but your uranium savings goes down
22 significantly. And, I mean, it's pretty obvious, I think,
23 that that should be the case, but I think this illustrates
24 that point quite well.

25 The table on the right is another table that I

1 added, just to show you what the percentage of reprocessed
2 PWR assemblies are. And, again, as the percentage of
3 reprocessed assemblies goes up, obviously your percent
4 uranium reduction goes up also. So, I think it's pretty
5 obvious, but I think these numbers clarify it quite well.

6 I'm not going to spend a lot of time on these.
7 Again, these are the numbers that show up on the spreadsheet
8 on the right screen. Reasonable agreement with some of the
9 other vendors, and we'll talk about that sheet later
10 probably. Let's go to the next one.

11 Same thing. The numbers are just transposed over
12 into the other spreadsheet. Next one? Okay, this shows,
13 again, the process that's actually happening here. The red
14 dotted line is the total metric tons discharged. The solid
15 red line is the total metric tons in inventory. The green
16 line is the number of metric tons reprocessed. And, I show
17 the purple line also just because it happens to be part of
18 this report, but it's an interesting one that shows how many
19 dry storage casks you have in storage.

20 And, for the 1500 metric tons case, as we all know,
21 we end up with less reprocessing capacity than the amount
22 that we're discharging. So, we never run out. So, we
23 saturate at 1500, and those can stay constant throughout the
24 life of the analysis. Go to the next one.

25 This shows the overall mass flow of this particular

1 scenario, and it shows several things. In this one, we have
2 also added these little yellow barrels, the amount of low-
3 level waste that's generated from each of the processes.
4 And, I categorized it as to the various categories in the US,
5 mixed greater than Class C, greater than Class C, low-level
6 waste and mixed low-level waste. And, so, I do try to
7 capture the amount of low-level waste that's being generated.

8 As I said yesterday, from this graph, you can go
9 and you can draw a circle around any of these nodes, and you
10 can do a mass balance and that mass balance comes out, but I
11 think we all know what the actual material flows are. So, I
12 won't go into anymore.

13 ABKOWITZ: Gene, can you go back to that slide for a
14 minute? This question may come up later. You've got one
15 very large number in the low-level waste category that comes
16 out of reprocessing. Can you talk a little bit about how
17 that's generated?

18 ROWE: Okay, the basis for the calculation is an
19 analysis done by Savannah River. I think a lot of the people
20 are probably familiar with that. Savannah River did some
21 estimations of the various categories of low-level waste
22 based on various reprocessing techniques.

23 And, the last slide that I had yesterday in the
24 overview, I showed you one of those graphs that came out of
25 that report. It was a curve that showed, as you increased

1 the capacity or the mass per year, then the amount of low-
2 level waste decreases per unit mass. And, I used those
3 curves for this calculation.

4 One of the Board members had some questions on
5 this, and these numbers appeared to be--this number--sorry,
6 go back one--this number here was questioned because it was
7 quite a bit higher than what AREVA had been reporting. And,
8 I have some other slides that if we need to get into that
9 level of detail, but this is an uncompacted number, and I
10 requested from Paul some information on compaction ratios.

11 And based on the compaction ratio of six, this
12 number differs from the AREVA number by 7 percent. And, that
13 is, first of all, the low-level waste calculation is
14 extremely difficult to do. There's a whole bunch of
15 variables in it. And, so, I figured two completely
16 independent calculations that agree within 7 percent, I'm
17 happy with that. I've very happy with that.

18 So, I think this number, it is large, but I think
19 it is a reasonable approximation of what the amount of low-
20 level waste generated is. And, like I said, I can go through
21 that in more detail if you like, Andy.

22 KADAK: Well, maybe Marie-Anne, if we can plug your
23 computer in, we can do a spot check.

24 ABKOWITZ: Let me just ask quickly. Is a compaction
25 ratio of 6 within the boundary conditions of reality?

1 ROWE: (Nods head yes.)

2 ABKOWITZ: Okay.

3 BRUDIEU: Just to add on that, it depends on which waste
4 are you talking about, not out of the low-level waste is
5 going to be able to be compacted, you know, I mean whether
6 it's based on what material you use, and also what the
7 radioactivity level, sometimes compaction is just not an
8 option. Otherwise, you know, you raise the concentration of
9 radioisotopes too high. So, for the parts that can be
10 compacted, yeah, the 5 to 7 compaction ratio is actually
11 correct. That's what we have at the La Hague plant.

12 ROWE: Because of those issues, that's why I don't want
13 to report compacted volumes, because there's just too many
14 variables in there that I just don't want to try to address
15 and justify.

16 ABKOWITZ: Well, let me ask one other question. Does
17 that include the dry storage casks that would have to be cut
18 up at some point--

19 ROWE: No.

20 ABKOWITZ: --if they can't be dealt with some other way?

21 ROWE: Let me make one point. I'll address it. For the
22 repository, I also calculated--well, this one is zero because
23 this particular scenario doesn't have a repository, so it's
24 zero. But, in the calculation, the assumption that is used
25 in the DOE report, the Savannah River report, is that the

1 amount of low-level waste you generate is dependent on how
2 the waste is received at the repository. If you receive the
3 repository in TADS--and, Jeff, you'll be happy to hear this--
4 if it's received in TADS, you generate a lot less low-level
5 waste.

6 And, so, the calculation I do for the repository,
7 there's a curve that is a function of the percentage of waste
8 received in TADS, not DPCs, TADS. Okay? And, as the number
9 increases, the amount of low-level waste decreases. None of
10 the information in the Savannah River report includes the
11 disposal of the DPCs, whether you ship that DPC to a
12 repository or to a reprocessing plant. And, that is a
13 considerable amount of low-level waste.

14 If you do the math, you know, DPC is six or eight
15 feet in diameter, 14 feet high, times 10,000, you get
16 literally millions of cubic feet uncompacted, millions of
17 cubic feet of low-level waste that you have to deal with from
18 the DPCs. Yes, sir?

19 KADAK: I think you're suggesting that I may have asked
20 this question. It's hard to read that chart. But, if you
21 take the uncompacted low-level waste, 10,040 cubic meters,
22 what is the input stream of spent fuel to compare that to,
23 cubic meters-wise?

24 ROWE: I don't have it in cubic meters. I'd have to--
25 it's based on 1500 metric tons.

1 KADAK: And, what would that be in cubic meters? The
2 reason I ask this is that the criticism of reprocessing, at
3 least one of them is, that we're taking a finite volume of
4 high-level nuclear waste, and making possibly an increasing
5 volume of total waste to be disposed of. So, what problem
6 have we just solved, and what's the goal here?

7 ROWE: Well, I think in the report, the AREVA report,
8 there's I remember a .6, a reduction of fuel, one fuel
9 assembly is about .6 cubic feet. I've got that on another
10 slide. But, there is a reduction. There's no question.

11 KADAK: Okay.

12 MOTE: Quick calculation is 50,000 cubic feet. It's
13 1500 tons.

14 ROWE: 50,000 cubic feet?

15 MOTE: Yeah.

16 ROWE: Cubic feet or cubic meters.

17 MOTE: Cubic feet. So, you divide by ten. 5000 cubic
18 meters.

19 KADAK: So, we're doubling the waste, plus, the high-
20 level waste.

21 MOTE: Not ten. You divide by 30.

22 ABKOWITZ: Let's be careful here, because we're not
23 getting into policy, but I do think it's important if we can
24 stick to how the calculation needs to be done, so that what
25 comes out of these models is representative.

1 WORRALL: That's a package volume. Remember, Nigel's is
2 not a package volume. You take your spent fuel and you have
3 to overpack containment, whatever containment is. So, just
4 be careful with those comparisons.

5 ABKOWITZ: But, do you understand the point? The point
6 is, I think, an important one. As a Waste Board, we need to
7 think through what we're actually ending up as total waste
8 that needs some--the solution. And, some of that low-level
9 waste has no disposal pathway, which is also a question that
10 we should address. I would suggest that one of the outcomes
11 from this workshop might be an effort to try to come up with
12 a low-level waste calculation methodology that we can all
13 subscribe to in some way.

14 WILLIAMS: This is Jeff Williams with DOE.

15 I just wanted to say we have just posted a--
16 provided a report to the BRC on that. You might want to look
17 at their website and check it out. Okay?

18 ABKOWITZ: What was the report on?

19 WILLIAMS: The report was on low-level waste generation.

20 ROWE: Was this from the Savannah River?

21 WILLIAMS: Yes. That was the source document.

22 ROWE: Yes.

23 WILLIAMS: The data that--the basis for this was the
24 report from Savannah River.

25 ROWE: What's the gentleman's name? I'm sorry, I can't

1 remember. Joe Carter?

2 WILLIAMS: Well, no, it was Robert Jones.

3 ROWE: Yeah, Robert Jones. And, I talked to him, and
4 it's a difficult calculation, but, I mean, it's pretty
5 straightforward.

6 The other thing, if you're talking about low-level
7 waste, or waste in general, the other thing you have to
8 consider is the tails, and I know that AREVA hates this when
9 I say this, but especially the tails from the recycled
10 uranium is, right now, no one really knows what category
11 those tails are going to be classified as. And, so, that's
12 also a significant volume of waste that needs to be looked
13 at.

14 ABKOWITZ: Let me just say, though, in fairness, there's
15 a picture of tailings coming off of the natural uranium
16 process that needs to have a calculation beside it just for
17 total life cycle assessment purposes. And, I know we're
18 working on that.

19 Paul, I'm sorry, you've been patient.

20 MURRAY: Just to say we really need to have a closer
21 look at the low-level waste numbers, and compare apples and
22 apples, because we looked at the Savannah River numbers, we
23 looked at the GNEP PEIS, and we couldn't make head nor tail
24 of them. So, we really need to have a separate exercise
25 where we look at the specific low-level waste numbers before

1 we start.

2 ROWE: Well, you know, in the Savannah River report, as
3 you well know, there was a, for each of the curves, there was
4 also an AREVA number in there. Okay? And, there was a
5 series of curves for each of the waste forms, categories of
6 waste. Okay? And, I took the lowest one.

7 MURRAY: What we need to do is go back and compare waste
8 packages as well. How did Savannah River package waste?

9 ROWE: Again, this is not packaged. And, I don't want
10 to get in--I don't want to. That doesn't mean that I won't
11 be forced to. But, I don't want to get into that because it
12 depends on the techniques. You know, to estimate the low-
13 level waste depends on the design of the facility, depends on
14 the operating philosophy of the facility, and there's just so
15 many variables in there.

16 MURRAY: You're comparing waste packages of the high-
17 level waste.

18 ROWE: I think that's an easier calculation. I think
19 there's less unknowns.

20 MURRAY: One of the big things I want to point out is
21 that this is a benchmarking exercise. We shouldn't be
22 drawing firm, fixed conclusions from this benchmarking
23 exercise. That should be the subject of the next workshop,
24 not this workshop.

25 ABKOWITZ: I think we've identified a place here where--

1 MURRAY: Yes.

2 ABKOWITZ: --it's an important calculation that we don't
3 have consensus on, and, therefore, there needs to be more
4 work done in this area.

5 MURRAY: But, my worry is we're throwing out huge
6 numbers now, and it's going to be the subject of public
7 records, and as AREVA, we can't validate the numbers that are
8 being thrown out.

9 ABKOWITZ: Okay, I think we've stimulated an interest
10 here. Go ahead, you're next, and then Steven.

11 PHILLIPS: Chris Phillips from Energy Solutions.

12 I just really want to support what Paul was saying,
13 that again, when we conducted the GNEP exercise, in the same
14 way that AREVA did, we came up with a whole range of waste
15 volumes and masses. They weren't identical to AREVA's,
16 although they were similar, and the reasons for that were
17 different assumptions. But, again, they differed markedly
18 from the PEIS, which Paul refers to.

19 So, I would just like to support, there is a real
20 need to get into the detail here, look at the assumptions,
21 look at the packaging assumptions, and come up with some real
22 details.

23 The only other thing I would mention, in relation
24 to the point made about how reprocessing may end you up with
25 a bigger volume of waste that you originally started with,

1 you've also got to look at where the radioactivity goes.
2 And, reprocessing allows you, and we know this from European
3 reprocessing plants, to concentrate the radioactivity, over
4 99.5 percent of it, in a smaller volume of vitrified product.
5 Sure, you've got a larger volume of low-level waste, but it's
6 a tiny fraction of the total radioactivity that was in the
7 original used nuclear fuel. And, we don't need to lose sight
8 of that.

9 ROWE: I think everyone is aware of that. But, I think
10 also on the other side of that coin is, in the United States,
11 we have just as large a problem siting low-level waste as we
12 do high-level waste.

13 VIENNA: Absolutely not. Absolutely not. You can't
14 defend that. We don't have a high-level waste repository.
15 We have four low-level waste.

16 ROWE: My point is that low-level waste is not an easy
17 solution, and there have been, to the best of my knowledge,
18 no new low-level waste sites.

19 VIENNA: Andrews, Texas.

20 KADAK: But, that's one for the country, and it's only
21 permitted for, was it Texas, Vermont, and those are the only
22 two states for which B and C waste can be shipped.

23 ABKOWITZ: Okay.

24 VIENNA: They're taking out compact waste now.

25 KADAK: They are?

1 VIENNA: Yes.

2 ABKOWITZ: Okay. Let's reserve this for an off-line
3 conversation, and I'm going to ask Steven if he would like to
4 offer the next comment?

5 PIET: I have to echo what Paul and Chris said. But,
6 let me go back to the idea that if you think of waste space
7 as longevity and heat, high-level waste, high heat, high
8 longevity, low-level waste, low heat, low longevity. To me,
9 the unexploratory in terms of how much, what are the right
10 strategies of dealing with it, are the other two boxes. High
11 heat, low longevity, low heat, long longevity. Greater than
12 Class C, if you want to use the current legal formulas, but
13 it's those two boxes, personal opinion, that are going to
14 determine whether recycling improves things as much as some
15 people believe, or not.

16 Low-level waste, we know how to site that. It's
17 difficult, but we have sites in the US. High-level waste,
18 we've done zero. Okay? So, the number of high-level waste
19 sites is zero. Well, zero is less than a finite number.
20 But, it's the greater than Class C situation that has not
21 been explored enough.

22 ABKOWITZ: Okay. What we've identified here, I think,
23 is a very important need to calculate the various families of
24 waste, other than high-level and spent nuclear fuel, in the
25 manner that everyone can understand and subscribe to, even if

1 it ends up with several different types of results, depending
2 upon the types of assumptions that you make.

3 I'm going to ask Gene to return to his
4 presentation. And, I apologize because I started all this.

5 ROWE: Let's go to the next slide, quickly.

6 I just want to spend a second on this. This is the
7 300 metric ton case, and I think all of the people got
8 similar results. You can see that we eventually ran out of
9 waste to reprocess because we're reprocessing more than we're
10 discharging, and it happens around, what, 2060, or something
11 like that. And, then, it varies for the remainder of the
12 time, depending on the amount of plants--the volume of waste
13 being discharged. Again, I think that everyone, all the
14 other companies got the same type of results.

15 I think the next one is the same thing, which is
16 just the same flow chart, different numbers, because of the
17 high volume of waste.

18 I think that's it. Thank you.

19 MOTE: Thanks, Gene. The next one up is Robby or Andy,
20 whichever.

21 GREGG: Okay, to be honest, the results aren't that
22 different to everyone else's. So, there's no particular
23 point in laboring it.

24 Basically, the assumptions which are made are
25 similar to what they were before. And, the total and new

1 build fleet, which I assumed the size of it in this phase was
2 100.3 gigawatt a year, as it was for all the others. It
3 wasn't defined in the benchmark. So, that's why I put it
4 there.

5 And, all reprocessing throughputs are like they
6 were before, are given as heavy metal mass rather than total
7 fuel mass. So, some of the differences might be attributed
8 to that. And, the numbers are quite similar to NWTRB, and
9 I'm not surprised that the percent of the fleet and PWR MOX
10 is quite similar in all six scenarios, which are essentially
11 in the same model as us.

12 There is nothing really there of importance, I
13 don't think. Okay?

14 ABKOWITZ: I just wanted to offer an observation. I'd
15 ask whether the folks that did this work agree. It seems
16 like the age of the reprocessed fuel really has little to no
17 effect on the types of results that were seen. Is that a
18 fair assessment?

19 ROWE: Yeah.

20 GREGG: No, not really. Well, the Plutonium 241 content
21 would vary with age. But, the Americium 241 content might,
22 because it's reprocessed and then used straight away.

23 ROWE: And, you can see that uranium savings goes from,
24 you know, like in our case 18 percent down to 15 percent.
25 So, there was some effect because of decay of Plutonium 241.

1 ABKOWITZ: Okay. I was using as my basis the ten versus
2 twelve arguments that people were using earlier.

3 GREGG: I guess the scenario is slightly different, and
4 one of the things which varied was the age of the separated
5 plutonium, and that would have a bigger effect on the
6 numbers, but that wasn't the case.

7 MOTE: Any more questions for Robby?

8 (No response.)

9 MOTE: Okay, Steve?

10 PIET: Well, I can see over here where the outline is
11 that one thing that was different about our calculation is I
12 did not have data in the right form to do calculations that
13 involved re-enrichment of uranium. And, that could be some
14 of that difference. It might be all of it, I don't know.
15 So, let me talk a little bit about what we did do.

16 In our recipe of fuels library, we've got one for--
17 that uses recovered uranium and plutonium, so we're taking
18 used light-water reactor fuel, in this particular recipe, the
19 plutonium is about 11 percent of the metal in MOX.

20 Now, we know from independent physics calculations,
21 that the lower end uranium in re-enrichment, that a one
22 recycle of plutonium in the form of MOX saves 14 percent.
23 That's if I've got it for a whole system at equilibrium.

24 Well, in this case, it's about two-thirds of the
25 fuel, about two-thirds of the time period, so integrated over

1 time, numbers work out to be about 6 percent. Now, I made a
2 goof, I started in 2040 instead of 2030. I must have had DOE
3 on my brain, because 2040 is what we say in the fuel cycle
4 program now. So, I'll have to redo those calculations and
5 get the numbers to you.

6 At 1500 tons a year, uranium savings go from 3.8 to
7 3.2 percent. Same number. But, at least you see what the
8 trends are. 3000 here, these two numbers are the same. That
9 always gives me a warm fuzzy. And, of course, per the
10 specification, BWR fuel is not recycled.

11 Now, I've got a bunch of graphs that I'll go
12 through quickly, because some of the trends are perhaps of
13 interest. If you look at the uranium ore used over time,
14 going back from 1960 on up, this is showing you that one
15 recycle MOX just doesn't do a whole lot, it just plain
16 doesn't.

17 In the questions we were asked is depleted uranium
18 tails, again, you can see what these numbers are. It's just
19 not a big effect. And, it takes a hell of a long time to see
20 it.

21 We were asked about the recycling rate. These are
22 the six cases. 1500, 3000, so you can see my color code
23 here, the dotted lines are the higher recycling rate. Solid
24 lines are the lower rate. What happens is in a model at a
25 given--when you set a different age limit, what happens is

1 you run out of backlog at a different time. So, for example,
2 if I've got the requirement that fuel only ages five years,
3 and I start a recycling plant at 3000, then it will go to
4 2080 before it runs out of backlog.

5 If, on the opposite side, I'm over here at the
6 dotted green line, so I build a plant and turn it on at 3000
7 metric tons per year, and I require that fuel has to be 50
8 years old before it can go into the plant, well, it runs out
9 of backlog in about ten years, and then it drops down because
10 only a certain amount of fuel that's 50 years old. So,
11 that's what the model is telling you.

12 So, the age doesn't change all the much what goes
13 into the plant, but it changes how much you can send into the
14 plant, what passes the rule.

15 I took the calculation out further, to 2160, and
16 you get the same behavior. You start seeing the same
17 behavior, but for the smaller recycling rate. Again, the
18 first turnover is for the 50 year fuel specification. So,
19 you can work off the backlog, but it takes longer.

20 One of the questions we were asked is the
21 composition of used fuel, and this has real implications on
22 designing a real facility. A real facility has got to deal
23 with a constantly varying input stream. So, this is, in one
24 of the particular cases, you can see that the composition
25 changes over time. It changes depending on what your

1 composition rule is, the 50 year or 5 or 25.

2 So, all these cases that are in the spreadsheet
3 that I provided, which I have to redo now because I got the
4 start date wrong, but recognize this as a log graph, so each
5 one of these has to deal with quite a bit of difference in
6 composition over time.

7 So, one of the things I plotted, this is just
8 plutonium coming into the plant as a function of time. When
9 you work off backlogs, then your numbers come down, and in
10 general, if I've got the ability to have younger fuel, so
11 five years or greater, then I've got more plutonium coming
12 into the plant. If I require the fuel to be older, 50 years
13 or more, then there's somewhat less plutonium, and that's the
14 Pu 241 decay. This is just a little easier to see. But, it
15 bounces around.

16 Americium only, here the trend is the opposite,
17 because Pu 241 has turned into Americium 241. So, the
18 Americium content goes up the longer I wait.

19 Now, I looked at the total heat in the separation
20 plant. This is no longer a log scale. This is linear, it's
21 actually in gigawatts. We model the separation plant
22 typically as having a quarter of a year stockpiled in any
23 incident of time. And, so, the younger fuel case, I've got
24 more heat. Older fuel, I've got less. But, it's a factor of
25 two or three. So, by waiting, I've reduced the heat that the

1 separation plant has to contend with. But, I've lost some of
2 the fuel value. Pu 241 is good stuff, it's good fuel, so the
3 longer I wait, I have less heat in the separation plant to
4 contend with, but I've lost some of the value.

5 This is the same thing, but instead of heat, it's
6 gamma emission, and I honestly don't remember what these
7 units are. But, think of it as a relative comparison.
8 Again, you get maybe a factor of four instead of a factor of
9 two, and it's because you've got the short lived isotopes are
10 decaying off.

11 Neutron emissions, same sort of pattern. So, by
12 waiting to have longer cooling before coming into the plant,
13 you reduce heat down to neutron, but it's less valuable fuel,
14 and you've had to build a whole bunch of storage facilities.
15 So, that's a policy trade-off, not a model trade-off.

16 And, I think that's it. Questions?

17 MOTE: Steve, I'd like to make a comment. What I just
18 saw there was fascinating, and following Paul's comment about
19 let's keep our feet on the ground, that is really a way to
20 see the implications of demanding 50 years cooled fuel.
21 However, for benchmarking exercise, what we have seen with
22 the Board and NNL is, as we said, an unlimited currently of
23 50 years cooled fuel. Unrealistic it may be.

24 PIET: Yes.

25 MOTE: But, in terms of benchmarking, what we wanted to

1 do was look at how the curves compared. And, while it's
2 fascinating, that's a later chapter in the book than the
3 comparison that we were doing here.

4 Could I ask, I maybe missed this and you maybe said
5 it, for your numbers of the uranium reduction, did you base
6 those on these curves, or did you assume an unlimited
7 quantity of 50 years cooled fuel?

8 PIET: I based them on these numbers.

9 MOTE: Okay. So, we're not comparing apples with
10 apples.

11 PIET: Right.

12 MOTE: Because your feed stream is very different from
13 what we had specified.

14 PIET: Yeah, I don't have a--I'd have to--

15 MOTE: I understand that. I know you said that this was
16 all you could do in your model. I didn't know whether you
17 had found a way to manipulate the input that meant that there
18 were in fact numbers that were compatible.

19 PIET: I could do that, but it would take--

20 MOTE: Okay. I just wanted to be sure that we knew the
21 basis for the numbers then. Okay.

22 PIET: And, again, I didn't do uranium re-enrichment
23 here.

24 MOTE: I'm sorry. Say that again?

25 PIET: I did not do the uranium re-enrichment.

1 MOTE: Yes. Yes. Okay, so it's a different number.

2 PIET: Yes.

3 MOTE: I just wanted to be sure that I was understanding
4 that correct.

5 PIET: Absolutely.

6 MOTE: Okay. Questions, comments, discussion?

7 (No response.)

8 MOTE: Well, thanks, Steve.

9 WORRALL: I just have one quick one.

10 MOTE: I should have known.

11 WORRALL: It is an interesting observation about the,
12 and Robby alluded to in his presentation, is the build-up can
13 change of the plutonium 241 to the Americium, is that clearly
14 one of the--and, again, this is kind of outside the
15 benchmark, just bear in mind, is that if you give it time,
16 and again, the French model is very good, the French approach
17 is very good, minimizing the amount of separated plutonium
18 having been stockpiled at any one time is a good objective
19 for a safeguard to cure, et cetera, but, it's also a way that
20 you ensure that your Americium doesn't build up.

21 Now, that's because it sends you in energy output,
22 of course, but also, it sends you in terms of fuel
23 manufacturing because Americium is not a good thing from the
24 fuel plant for the dose and operators, and so on, heat. And,
25 in fact, so all of that is really important. That's exactly

1 the situation in the UK.

2 Now, we separated 100 tons of plutonium, not all of
3 it is plutonium 241, fuel reprocessed plutonium, its
4 plutonium composition has low 241, so the Americium is not
5 such an issue, we can store it for a lot longer. But, all
6 the other fuel, the AGR in particular, does have the opposite
7 problem. We get lots of Americium in those.

8 So, it's important, and the reason I mention in the
9 modeling context is it does beg the question in the next
10 phase of this. Somehow the models, the tools are going to
11 have to reflect this kind of dynamic position that the
12 plutonium aging will have an impact on the fissile quality
13 when you begin to look to recycle it. So, that dynamic
14 situation has to have feedback, and the fact the total
15 quality of plutonium has on how much fuel you can make, or it
16 will come and bite you later. So, there is a factual
17 application in the modeling, but also more or less reflects
18 reality.

19 PIET: I should have pointed out in this graph, it's
20 neutron emission, the drop is not Americium and plutonium.
21 It's Curium 244, is the dotted--exchange.

22 SHWAGERAUS: Additional comment on the same subject. If
23 you take high burn-up fuel, plutonium from high burn-up fuel,
24 and let it decay for a long time, in order to produce MOX for
25 MOX plant, or for MOX reactor, you would need high loading of

1 plutonium. And, one of the things that may limit the loading
2 is the reactivity coefficient. That puts an ultimate limit
3 on how much plutonium you can have. And, that is not
4 reflected in any of the models, and I actually don't know how
5 to incorporate it. So, it's not just the fissile value, that
6 you need a certain amount of kilograms to drive your fuel to
7 certain burn-up, you might not be able to put this many
8 kilograms because of the safety constraints on the reactor.

9 PIET: Yes, this case did 11 percent plutonium in the
10 MOX, and that's probably too high. I believe the French,
11 it's 10 percent is your limit.

12 BRUDIEU: The limit is 12.5 percent.

13 SHWAGERAUS: Yes.

14 ROWE: This is Gene Rowe.

15 The reason we specified 14 in the specification is
16 because we knew that at 55 gigawatt days per ton, you were
17 going to be less than 14, and even though--we didn't want to
18 run into that limit. And, even though 14 may be not a
19 practical number for this exercise, we didn't want to run
20 into that upper limit.

21 SHWAGERAUS: Maybe for partial loads, and things like
22 that. But, 14 percent for MOX--

23 ROWE: You can't. As Paul says, this is a benchmarking
24 exercise, and that's why we didn't want to run into that
25 limit. Okay? And, the numbers if you look at the--and,

1 that's why we wanted to report the Pu percentage and the
2 quality, okay, and except for AREVA seems to be a little
3 high, but NNL and we are in reasonable agreement on the Pu
4 percentage.

5 MOTE: Thanks, Steve.

6 GREGG: Quality will be based on the ORIGEN
7 calculations, which I've done to calculate what the
8 composition of the spent fuel is. And, then, the percent
9 plutonium depends on what model you use to calculate what is
10 our content you need in your fuel, and for NNL and NWTRB,
11 because we gave you the date, we calculate what percentage
12 plutonium we need in the fuel. So, it's not surprising that
13 those numbers are the same.

14 MOTE: All right, anymore comments on the INL
15 presentation?

16 (No response.)

17 MOTE: Okay, Eugene, are you presenting, or is it
18 Stefano?

19 PASSERINI: So, those are the results from CAFCA for
20 Phase 4. As Nigel was saying, we did assume the capacity to
21 be fully saturated for two cases, for this scenario, but of
22 course not for the following one. And, those were for the
23 four metrics that we were required to calculate.

24 First of all, just a reminder. As I said
25 yesterday, for our 100 gigawatt electric LWR fleet, we

1 required about 20 hundred metric tons of fuel per year, and
2 that from our CAFCA model corresponds to a natural uranium
3 requirement of about 16,000 metric tons per year. And, that
4 was used, of course, to calculate the uranium--the decrease
5 in the uranium demand following the production of MOX
6 elements and the recycled uranium, too.

7 And, here, we reported the vectors that we used for
8 our calculations for the different aging of the fuel. And,
9 as you can see, of course, the content of plutonium 241 goes
10 down, as was said many times, and of course that affects
11 again the amount of plutonium also that is available in the
12 reprocessing and for the final decrease in the uranium
13 demand.

14 So, for the first three scenarios, or the 1500
15 metric tons per year of reprocessing capacity for the three
16 cases, as you can see, there is a reduction in the natural
17 uranium demand, and between the three scenarios, of course,
18 it decreases. And, other than that, I think all the other
19 numbers are kind of consistent. I already e-mailed I think
20 in the consolidated version of the Excel spreadsheet, you
21 will find those. So, all the other numbers that I felt that
22 were not directly calculated from these numbers, but I had
23 them, so you will find a better comparison also of the other
24 numbers here.

25 And, the same for the scenario 4, 5 and 6, so

1 doubling the reprocessing capacity and steady state, assuming
2 full operation of the reprocessing facility, doubles also the
3 natural uranium reduction, and also the production of the
4 recycled fuel and recycled--and the production of the MOX
5 fuel elements compared to the previous cases. And, of
6 course, also the tails decrease compared to the previous
7 case. Of course, they have a different distribution, so we
8 have more tails from the MOX facility and the recycled
9 uranium, and less from the uranium--from the principal
10 uranium enrichment facility.

11 MOTE: Okay. Any questions on the MIT results?

12 (No response.)

13 MOTE: Okay. All right, well, now we have the pleasure
14 of results from AREVA. So, Marie-Anne, take it away.

15 BRUDIEU: Thank you. Okay, I'm just going to go back to
16 the specifications that we didn't go through yesterday
17 because we did not talk about Phase 1, 2, and 3. So, as a
18 reminder, because I said there were, you know, questions, I
19 want to go back to the whole discussions on what codes and
20 benchmarking and everything. But, then again, this is the
21 part of a code that would be the very end of, you know, the
22 other codes that we talked about. And, it's really a
23 calculation focused on the back end only.

24 Just to compare to what a more general fuel cycle
25 code would be like, the COSAC, COSI code, COSAC and COSI are

1 nearly the same rate. COSI is the CEA code. COSAC is the
2 AREVA MP code. Others are here, but we use today for the
3 NWTRB, really has a fixed input of fuel cooling time and
4 burn-up. Then we use CESAR to look at the isotope
5 compositions. And, then Excel micros, based on, you know, La
6 Hague and MELOX data to see what's coming out of it. So, we
7 have data based on existing recycling plants.

8 Now, on a more generic code like COSAC, what you're
9 going to have is multiple inputs with reactor types, fuel
10 cycles, scenario comparison, and then you get into different
11 codes, that includes CESAR, but you also have the ORIGEN, you
12 know, ICRP tables and equations. And, then, you have the
13 overall integration that's going to give you proliferation
14 index, isotopic, you know, heat optimizations. We felt that
15 this is not responding to the needs today. We didn't want to
16 have something too complex, and we wanted to choose the right
17 toolbox. Now, then again, you know, if we decide and we
18 frame the right question, as was mentioned earlier, we do
19 have other toolboxes that we could use. This is just not the
20 one we use today.

21 Just to mention the COSAC code was benchmarked
22 twice, once with COSI and OECD scenarios, and there was the
23 NFSS--I'm not sure how that's called--which is the IAEA code.
24 So, that was just a--for the recycling models, the Phase 4
25 that we're talking about here today, the type of fuel has

1 initial enrichment of 4.4 and a burn-up of 55 gigawatt days.
2 And, we talked about how the results are going to be affected
3 by the cooling time, I would just like to mention that based
4 on my experience of what's going on in the recycling plant,
5 the burn-up is also very important. When you have low burn-
6 up, you know, you don't need to cool the fuel as much, and
7 when you have higher burn-up, you need to cool it a lot
8 longer.

9 So, here, 55 gigawatt is pretty high, and if we
10 look at the reality of what would be the overall fuel in the
11 US, I'm guessing, and I don't know that much about that fuel,
12 it's probably much lower burn-up and, therefore, you would
13 have different impacts.

14 The annual discharged was calculated to be 1880
15 metric tons per year. And, as mentioned, we used the CESAR
16 code for all the isotopes, and we had different scenarios, so
17 we also calculated for the isotopes, the actual fuel that
18 would be recycled in case of Legacy fuel, not just the output
19 of the year.

20 Now, the recycling capacity in the model, we
21 include also the 800 metric tons per year. And, why did we
22 do that? It's because in the past, we've been communicating
23 a lot about the recycling plants that would be 800 metric
24 tons. So, people can make the data on that.

25 Also, you did ask for six scenarios, 1, 2, 3, 4, 5,

1 6, and we found that 4, 5, and 6 were really .23 times 2, the
2 difference, so in order to have some more added value, we
3 modified 4 and 5 into 4 prime and 5 prime scenarios where we
4 completed the 3000 metric tons capacity by Legacy fuel.

5 Now, the output, and we also talked about it,
6 especially for plutonium, can be adjusted between 9 percent
7 and 14 percent. Now, to respond to the specification, we
8 calculated the number of MOX assemblies based on the 14
9 percent plutonium content. That doesn't mean that, you know,
10 what it needs to be to have the equivalence in terms of NRG,
11 and, I can give you those numbers. They're actually more
12 like between 9 and 11 percent.

13 The quantity of uranium that can be saved by having
14 recycling was based on the real plutonium content, not the 14
15 percent. I just wanted to specify that point.

16 That's what I just talked about. So, the results
17 are here. As a quick scenario for the actual scenarios, we
18 took into account, 1, 2, 3, 1500 metric tons per year in
19 terms of capacity, and then we go to 3000, which means 1880
20 of the actual fuel that comes out, and then some Legacy fuel.

21 I'm not going to go into the details of the fission
22 products and actinides that were separated. Just in terms of
23 looking at the comparison, the extension over there, for
24 Scenarios 4, 5, 6, I think some numbers, I'm not sure how you
25 added them up, and we can look at that together, but that

1 doesn't seem right to me, compared to what we have here. It
2 says--

3 ROWE: Could you scroll the spreadsheet on the right
4 screen?

5 BRUDIEU: 1500, in terms of the mass, I think of PWR
6 separated, when maybe it should be just more or less the
7 double of what you asked for, Scenarios 1, 2, 3. So, maybe
8 there was--we just need to talk about it, but I'm not sure
9 that number is representing the calculations we did.

10 ROWE: I could have done it wrong.

11 BRUDIEU: That's fine. We can talk about it.

12 The reduction in natural uranium demand is also
13 fairly consistent with what the other participants had, as
14 well as the uranium tails. So, I'm not going to talk too
15 much about that.

16 But, we have the numbers of assemblies fabricated,
17 and here, I saw that the MOX assemblies that we have
18 fabricating is a bit lower than what the other participants
19 had, but then again, that's because we chose to use 14
20 percent plutonium factor. The actual percentage of
21 plutonium, the real one that was calculated, would be for
22 Scenario 1, 9.2 percent. Scenario 2, 11.9 percent. Scenario
23 3, 11.7 percent. Scenario 4, 10.19 percent. Scenario 5,
24 11.34 percent. And, Scenario 6, 11.7 percent, which is a lot
25 more consistent with the other numbers.

1 Also, in terms of--we had discussions of what's the
2 impact on cooling time, et cetera, but what I want to mention
3 is we can look at the Americium that we have, the plutonium,
4 practicality speaking, the vitrification is usually what you
5 have as an issue. There is only so much heat load that you
6 can put, you know, in your vitrified waste, and that's
7 something that is not taken into account in these scenarios,
8 that has to be benchmarked, that's something that shouldn't
9 be forgotten, you know, if it's just too hot, you won't be
10 able to do anything with it, and you'll have to wait, no
11 matter was. And, have your fission products in some kind of
12 waste tanks waiting there.

13 Now, I'm just going to talk a little bit, as was
14 asked yesterday, about waste streams. And, this is really
15 based on the waste that we see being produced at La Hague and
16 MELOX plants. I took a couple slides that were presented
17 here in the US in February. The numbers that we show today
18 are not entirely consolidated, and you shouldn't take this,
19 you know, as real numbers. They are really dependent on what
20 type of forms you're going to have and are going to choose to
21 compact your waste. Are you going to choose to put them in
22 major concrete or grout tanks or just more, you know, metal
23 canisters.

24 And, that's really something I think should be
25 taken into account. The primary volume of waste is data, but

1 that's not going to help you make your decision in the end,
2 because depending on how you're going to treat this waste and
3 put it in the waste tanks is going to have a major impact on
4 the cost of your recycling activities.

5 Altogether, otherwise, we have what we call the
6 processed waste, and that's the one that you're going to have
7 no matter what, so that's the one that's in this--the fission
8 products, that's going to become vitrified waste, and then
9 the compacted hulls and end pieces of the assemblies waste,
10 and this is high-level waste, it's going to go in the
11 repository.

12 The interest of having this waste in this form is
13 that it diminishes the volume of it. That's one point. It
14 does concentrate the toxicity and the major activity, but
15 also it's in a much more safer form. You know, when you have
16 the glass, basically, you can never go out and take out the
17 fission products out of vitrified waste.

18 Now, what we call the techno waste is everything
19 else that's been produced by the recycling plant, and that's
20 why people say how come I'm--you just put all your
21 contamination everywhere. That's going to be low-level
22 waste, and we've been diminishing that over the last ten
23 years drastically. That's going to be greater than Class C
24 waste and TRU waste, that's mostly for the MOX fabrication
25 plant. And, then, low-level waste, and that's everything

1 that's, you know, the tubes that you're going to use on your
2 recycling plants.

3 Just a couple of numbers that have been mentioned
4 earlier today. Basically, we're going to have in terms of
5 geological disposal 0.6 cubic meters per assembly of high-
6 level waste based on one special assembly that's this PWR
7 assembly, and, you've going to have 1.4 cubic meters if you
8 don't do anything. And, these numbers were presented in
9 February at the PA meeting, when that was.

10 Just to mention that depending on, you know, you
11 said, and I don't have all the history on that, that the
12 waste prediction sometimes can be based on the Savannah River
13 site, and I don't know the history of the Savannah River
14 site, that will--or Sellafield, for instance, looking at when
15 is the basic data taken from is very important. We all know
16 that the country has made huge progress in terms of dealing
17 with the waste over the last 20 years. And, we've seen that
18 at La Hague and every year basically, we try to cut down the
19 amount of waste we produce.

20 So, this is the type of waste I presented
21 yesterday. I just wanted to remind you of that, the low-
22 level waste streams that are calculated from the level we
23 brought here today.

24 And, so, the results that you have here is waste--
25 that does not include tritiated water, because tritiated

1 water, if you're going to grab it, it just doubles the
2 volume. If you put it back in the ocean, it just disappears.
3 If you concentrate it, you know, concentrated, it's going to
4 be much smaller volumes. So, depending on what's the policy
5 and what's the regulations, it can have a pretty big impact
6 on the amount of waste you're going to have. I have fairly,
7 you know, generic numbers in mind that's about 2000, 3000
8 cubic meters of tritiated water produced every year.

9 At the La Hague plant, for instance, that's why La
10 Hague was where it is, you know, it just goes straight into
11 the ocean and goes back up the coast. There are very strong
12 currents there.

13 In terms of vitrified waste and compacted waste,
14 and when I say compacted waste here is hulls and end pieces.
15 That's very much proportional to the amount of spent fuel
16 you're going to recycle.

17 Now, the technological waste, the rest of it, is
18 not proportional to the amount of spent fuel you're going to
19 recycle. It's really directly linked to the size of your
20 plant. So, if you're going to have three lines of
21 vitrification, vitrification has lots of equipment that are
22 kind of very fragile, so that's why we produce most of your
23 technological waste. If you have three lines, you have that
24 much waste, and then if you have six lines of vitrification,
25 then you've doubled it. But, if you have a more efficient

1 vitrification line, then it won't produce, you know, more
2 waste because you have the same number of equipment. And,
3 that's something that's very important to keep in mind. It's
4 not related directly to the amount of spent fuel you
5 reprocess, but to the size of the plant and the number of
6 equipments you're going to have.

7 The numbers I put there are primary volumes. Gene,
8 that part does not include tritiated water, so we can compare
9 them. As I mentioned earlier, some of the primary volumes in
10 the surface waste, and I did not want to go into the details,
11 categories of the US regulatory because they're very
12 different from the French ones, and really in terms of
13 impact, I think the big difference is is it surface or is it
14 deep. And, then, we have the TRU waste, as was mentioned.
15 That's also one of the big ones that we need to take into
16 account.

17 Some of this waste can be incinerated, and then the
18 volume is divided by 10 to 15. Some of the waste can be
19 compacted, and then the volume can be divided between 5 and
20 7, and then some of it just has to be put in casks, and then
21 the volume is multiplied because it's going to take this
22 little piece of equipment and put it in this huge concrete
23 cask.

24 KADAK: Quick question. The units, is that 2100
25 canisters per year?

1 BRUDIEU: Yes.

2 KADAK: That's per year, okay.

3 MURRAY: Paul Murray. Just a point of clarification,
4 these aren't the same canisters as DWPR with WTP? They're
5 universal canisters based on about so tall and that wide?

6 BRUDIEU: They're 200 meters canisters. If you put them
7 in water, are going to displace 200 meters.

8 MURRAY: So, that's a really, really important fact that
9 people involved in the mix, that, you know, the U.S. has a
10 vision of a canister being 12 or 15 feet tall. These are
11 universal canisters?

12 BRUDIEU: These are the baby canisters. We all have one
13 in the office in Paris, if you come see them. And when you
14 see them, you can put quite a few of them in a transport
15 cask.

16 ROWE: Gene Rowe. I have a question. On the third
17 line, surface waste, about 1500 cubic meters. Is that your
18 low-level waste?

19 BRUDIEU: Yes.

20 ROWE: Per year?

21 BRUDIEU: Yes.

22 THE COURT: So, 1500 times 27 is bigger than--

23 BRUDIEU: But, this is not compacted. You asked me for
24 primary waste.

25 ROWE: Yeah, that's what I wondered, is primary waste,

1 thank you.

2 BRUDIEU: But, that does include everything. And, then,
3 we have the TRU waste, which is basically, as I mentioned,
4 the plutonium waste. And, that's coming out of the MOX
5 plant. As surprisingly as it seems, a plant like La Hague
6 doesn't produce much TRU waste. There is fairly plutonium
7 contamination on the equipment. It's mostly MELOX, and,
8 that's mostly also due to the history of the plant, and we
9 expect to see much, much better numbers in new plants.

10 I think that's it.

11 MOTE: Thank you. I was going to say are there anymore
12 questions? I think Dr. Abkowitz--

13 ABKOWITZ: No, you're not good yet. You've been really
14 good about this. You had a slide early on that made
15 reference to a benchmarking using an OECD scenario. Can you
16 give us anymore details on what that exercise was involved
17 in?

18 BRUDIEU: No, I can't. But, I can send you information
19 on that very soon.

20 PIET: It may be NEA.

21 ABKOWITZ: Okay.

22 PIET: Or OECD.

23 ABKOWITZ: Okay.

24 BRUDIEU: That would make sense.

25 ABKOWITZ: So, they're one in the same then?

1 PIET: I think they are.

2 ABKOWITZ: Okay, thank you.

3 BRUDIEU: I don't know if that benchmarking was done,
4 you know, really NEA benchmarking, or if after, as we said,
5 you know, CEA is a big partner, so we might have said, you
6 know, hey, look, can you do that benchmarking for NEA? Let's
7 take the same scenario and benchmark COSAC and COSI, which is
8 probably what was done.

9 KADAK: What is the typical practice at La Hague
10 relative to aging of spent fuel prior to reprocessing,
11 especially if it's going to go into a MOX plant?

12 BRUDIEU: We don't choose which should be recycled. The
13 customer chooses to do so. So, it's EDF choice, and we can
14 only provide advice. We need to have minimum cooling time
15 before we recycle the fuel, and that's because of the heat.
16 You know, we can have too much heat in the plant, but that's
17 a pretty short time.

18 KADAK: How long, roughly, is it? Five years, ten
19 years?

20 BRUDIEU: It's between five and ten years.

21 KADAK: Five and ten years. And, from a fuel
22 utilization point that Eugene made, and that is what is the
23 most optimum time for putting this fuel back into a reactor
24 in terms of age?

25 BRUDIEU: Well, you don't want to wait too long for

1 plutonium. Once the plutonium comes out of La Hague, you
2 want to stop fabricating the MOX and send it back to the
3 customer as quickly as possible because otherwise, you start
4 beading up Americium, and then if you have too much Americium
5 that beads up, then you just need to take your plutonium and
6 put it through the recycling cycle at La Hague again to take
7 the Americium out. So, really, waiting is not a good thing
8 once you've been separating, you know, your plutonium from
9 the other materials.

10 Now, if you want to wait, you just wait and you
11 just put your assembly in the spent fuel pool, and depending
12 on whether that's a good idea or not depends on what you want
13 to do later on. Do you want to do multi-recycling of your
14 MOX? Where do you want to put your MOX? Do you want to have
15 a call that is 100 percent MOX or not? Do you want to keep
16 some kind of plutonium on the side for, you know, fast
17 reactors? And, then, we go into the overall fuel cycle
18 strategies and codes that we were talking about earlier
19 today.

20 KADAK: But, you don't do multiple recycling right now?

21 BRUDIEU: We don't do multiple recycling right now. We
22 have recycled some MOX spent fuel assemblies that has been
23 proven to be doable at La Hague, have done a couple of them.
24 Today, EDF, which is our main customer on that, chooses to
25 keep their MOX for future use, especially probably for fast

1 reactors.

2 KADAK: Okay, thank you.

3 MOTE: Paul? You and Allen are running neck and neck.

4 MURRAY: Just two points of clarification. The
5 recycling UOX fuel, you have to try and do it for 14 years,
6 up to 25 years, because of that period in the middle, you
7 don't want to do it, you can just go and look at the
8 isotopics for making the MOX.

9 KADAK: The 14 to 25; is that what you said?

10 MURRAY: 14 to 25, you don't want to try and recycle the
11 UOX.

12 KADAK: That's the period of not recycling?

13 MURRAY: You don't want to recycle. And, that's not the
14 ages, it's dependent on a lot of other things. This is the
15 danger of where we are. This is a benchmarking exercise, I
16 know, but in the US, we can do multiple recycling of MOX.
17 I'm actually doing a study with Oak Ridge right now to look
18 at that, and we should publish that later this year. We're
19 in a unique position in the US where we can do multiple
20 recycling of MOX.

21 KADAK: What makes US different than France?

22 MURRAY: We have this huge stockpile of used nuclear
23 fuel, which allows us to blend it in with the used MOX so we
24 can get good isotopics on fresh MOX that's produced. So, we
25 can do multiple recycles of MOX. And, this is one of the

1 dangers in what we're doing, Andy, is we have this huge
2 inventory of used fuel, which gives us loads of options,
3 which other countries don't have. We also have specific
4 regulations, like 40 CFR 190, which would drive us down seven
5 paths to the cycle--it will dictate to us what is the age of
6 the fuel that we can recycle, recycle in the US.

7 BRUDIEU: The key of multi-recycling the MOX is really
8 to start doing so with the oldest spent fuel, UOX spent fuel
9 you can have, the older it is, the more, you know, the easier
10 it's going to be to have multi-recycling of MOX and using--
11 because recycling is find a number--you're assuming to have
12 the utilities willing to use it in their core, and wants to
13 manage their core that way.

14 KADAK: The one thing that I was surprised to see is the
15 natural uranium savings. I'm not sure whether it was Steven
16 or MIT's, but 30 percent, and I interpreted that to be simply
17 plutonium.

18 PIET: I'm still not sure how in the world you get 30
19 percent.

20 KADAK: Pretty high.

21 ROWE: I think the numbers are in reasonable agreement.
22 About half of the uranium savings is due to MOX, and about
23 half of it is due to RepU assemblies, about half.

24 ARNOLD: Aren't you using--that aren't counting as fresh
25 uranium? I mean, they've got a billion pounds of tails

1 sitting around in the US.

2 ROWE: Well, the fresh tails are used in the MOX
3 assemblies.

4 ARNOLD: Yes. So, I'm saying that the use of tails does
5 not involve fresh uranium.

6 ROWE: No.

7 BRUDIEU: No, but the tails are used in MOX
8 refabrication, so you don't have to use natural, you know,
9 new uranium for that. In our model where we have numbers
10 that are quite consistent with Gene's, the radiation in terms
11 of natural uranium is basically based on the MOX fuel, you
12 know, if you have MOX fuel, you don't need to use UOX fuel,
13 and then the equivalent fuel of enriched processed uranium,
14 and, that gives you these numbers.

15 KADAK: So, you agree with the 30 percent?

16 BRUDIEU: Yes. If you look at the next slide--

17 PIET: I'm completely baffled because it takes 6, 7, 8,
18 9 assemblies of UOX to recover the plutonium necessary to
19 make one assembly of MOX.

20 ROWE: Well, that was the point that I was trying to
21 make.

22 PIET: I'm baffled.

23 MOTE: What Gene did was to reprocess more per year than
24 the discharges.

25 ROWE: Yes.

1 MOTE: So, we're reprocessing 3000 tons a year and
2 recycling all the products, when the discharges are 2000 tons
3 a year. This is borrowing from a bank account, getting ahead
4 of yourself, it's not a year by year equilibrium. It is if
5 you have a lot of spent fuel and you can reprocess the
6 backlog, it gives you more than pro rata uranium to recycle
7 and plutonium to recycle. So, for some years, you can catch
8 up with the spent fuel that you have in inventory. But, you
9 can't keep going like that, because eventually, as your
10 slides show, you run out of the backlog.

11 So, if you have a 3000 ton a year reprocessing
12 plant, and you run out to infinity, you cannot keep it fully
13 loaded because you only have 2000 tons a year discharges. If
14 you're reprocessing 3000 tons a year and recycling into a
15 2000 tons a year demand, then your displacement as a
16 percentage goes up.

17 ROWE: Yeah, if you look at the right columns over
18 there, the percent of recycled assemblies, you notice that
19 for the 30 percentage uranium savings, you're getting half of
20 your assemblies from recycled mass. And, the reason you're
21 getting half of your assemblies from recycled mass is because
22 you're reprocessing more assemblies than you need, or more
23 mass than you need. Does that make sense?

24 PIET: I'll have to, now that I understand what you're
25 talking about, I can do that calculation off-line. But, I

1 don't want anyone to leave the meeting thinking that one
2 recycled MOX as a routine matter of business in a real fuel
3 cycle is going to give you 30 percent savings on uranium.
4 That's flat out not going to happen.

5 PASSERINI: And, I think we will see that also in the
6 next scenario, we will see that it's not a sustainable
7 practice over time.

8 PIET: Right. I'd hate to have a wrong impression
9 there.

10 BRUDIEU: This is a benchmarking--and we're so used to
11 Legacy fuel to come to the 3000 capacity of the plants, not
12 only is that we work until 2100, you know, in 2100 we might
13 have fast reactors at that point, and might have
14 transmutation, I don't know what we will have. But, okay,
15 that situation cannot go on for infinity. I'm not sure we
16 want to find a solution, you know, for infinity here. Up to
17 2100 would be a good point.

18 MOTE: All right, on the agenda, we should have finished
19 at 10:15, but that's fine. We would have taken a 15 minute
20 break, so let's still take a 15 minute break. I have a
21 feeling that we're going to catch up on the next set of
22 results presentation.

23 (Whereupon, a brief recess was taken.)

24 ABKOWITZ: Okay, we're entering our session where we're
25 going to be talking about the final phase of the benchmark

1 exercises. This is where we bring reprocessing together with
2 recycling. And, because Robby gave such a lengthy and
3 prolific presentation on Phase 4, since his thunder had
4 already been stolen, I thought it would be appropriate to ask
5 him to go first.

6 GREGG: I might say also that my results are very
7 different from everyone else's, so it might take me a bit of
8 time to explain it. Thanks.

9 So, this is my ORION model, Phase 5. And,
10 actually, all the fuel which is generated before 2011 is
11 basically injected into the scenario. And, PWR stuff is
12 disposed of, and in a repository, the PWR stuff is sent to a
13 reprocessing plant where plutonium goes up that stream,
14 uranium goes up that stream, and fission products and minor
15 actinides go up that stream, not to be seen again. Plutonium
16 goes into MOX fabrication, which goes into the PWR fleets.
17 The separated uranium goes into enriched reprocessed uranium
18 fabrication plant, which also goes into the PWR fleets.

19 With the PWR fleets, they will preferentially load
20 MOX fuel, and then they will preferentially load ERU fuel,
21 and for anything else, it will choose to use just standard
22 uranium fuel. Fuel then is cooled in ponds for ten years,
23 and this material, so this is a standard UA2 fuel from the
24 new build fleet, goes back into reprocessing facility, and it
25 goes around again. Everything else goes into the disposal

1 facility.

2 As I stated before, the problem with ORION is
3 limitation really, but these processing facilities here can't
4 preferentially process either the newest or the oldest fuel
5 first. It can either process material from a particular
6 stream, or the others, but it can't process the newest
7 material in here, for example, over the oldest because it's
8 basically just a lump of material, essentially, in there,
9 it's everything from the 1960s to 2010, is just lumped
10 together, so it's an average composition. So, there's no way
11 I can process the newest or the oldest material, because that
12 information is just not there anymore. So, that's what I was
13 talking about there.

14 As for the results, there are quite a few
15 differences, so I've made some notes here. The biggest
16 difference is if we look at the second table, you can see
17 that my numbers are out by three orders of magnitude. The
18 reason why is basically I'm just--I thought the benchmark was
19 asking for results in 2100 rather than the cumulative masses
20 up to 2100. So, that explains that. I basically just need
21 to redo the benchmark and give you updated results.

22 The reason why these results here are different is
23 because I can't preferentially process either the newest or
24 the oldest fuel first. So, the total is the same, roughly,
25 91,000 tons. But, the ratio of PWR to BWR fuel is different

1 because of that reason.

2 When I did this scenario, and I've got a choice of
3 how many nuclides I track, and in the other four scenarios, I
4 chose to track all 2500 nuclides, but for this one, I thought
5 there was a need to use the NPR function in ORION, which is
6 basically the end of the--the radiation method used to
7 calculate the spent fuel inventory is based on cross-sections
8 rather than--and, obviously, the other is a lot more, so for
9 that reason, I had to reduce the number of nuclides which I
10 tracked from 2500 down to 100, and even with 100 nuclides,
11 the scenario takes about four hours to complete--or is it two
12 hours--it's a long time. But, if I tracked 2500 nuclides, it
13 would be a lot longer. I'd probably still be going.

14 So, for that reason, I'm not tracking all the
15 fission product mass, so that explains why the differences,
16 and 4000 tons, and if I did it again, and I probably will,
17 and I'd probably include like to catch all nuclides, so all
18 the--for example, and only the nuclides which I track, the
19 products which I track will all be accounted for in that
20 figure. And, if I'd like to catch all material, and to
21 account for the other nuclides, then that figure would be
22 very similar to what--to the NWTRB value.

23 And, as for the plutonium quality, that figure
24 there is the figure in 2100, and I'm guessing the figure
25 which NWTRB has there, and 61 percent is like an average, an

1 historic average, so, that explains that difference.

2 And, the average enrichments here, I think this is
3 simply just a rounding error because the results I gave in my
4 Excel spreadsheet, for the--well, to one decimal place, and I
5 think if you just use it to complete to ten decimal places,
6 well, two decimal places probably you get 4.40 exactly.

7 And, that's about it, really. All the same reasons
8 for the differences, will be the same in Scenario 2 as well.
9 So, in a nutshell, I need to redo it.

10 ABKOWITZ: Thank you, Robby. Are there any questions or
11 comments related to what he has shared with us?

12 (No response.)

13 ABKOWITZ: Very good.

14 MOTE: I was wondering why you gave him first place if
15 he was going to be just as quick?

16 ABKOWITZ: But, there was more eloquence in his voice,
17 knowing that he was excited to be, you know, in the lead-off
18 position.

19 Steven, do you want to go next?

20 PIET: All right, the specification dealt with a single
21 recycled MOX. The numbers I used were the same as for the
22 Phase 4 calculation, so it's an 11 percent MOX, because
23 that's the recipe we had in our library, and used MOX goes to
24 repository.

25 I did an extra case with enriched uranium

1 transuranic MOX. This is a set of calculations done by
2 Gilles Uanue in San Bayes a year and a half ago now. It
3 keeps the percent of transuranic in MOX to 8 percent because
4 of the void coefficient concern. And, then, you look cycle
5 by cycle how close you are from achieving the appropriate
6 reactivity, and then throw in enriched uranium to give
7 yourself the right burn-up, and what not.

8 In this case, the MOX never goes into the
9 repository. It is repeatedly recycled. Because I read the
10 spec wrong, I did this at 2030 instead of 2040. The
11 repository capacity is not particularly important. Two
12 separation cases, a minimum aging before separating used
13 fuels five years. Per the specification, BWR fuel is not
14 recycled, and as isotopic data I think in the spreadsheet.
15 So, I can redo this from 2030 to 2040.

16 Now, this is the physics calculations. It's not
17 VISION, but I wanted to talk about a bit for what happens
18 when you recycle MOX, physics calculation. So, this is once
19 through, what we call recycle zero, on up to equilibrium. If
20 I recycle only plutonium in a thermal reactor, I do the best.
21 As I recycle other transuranics, my use of original uranium
22 ore is lower than if I recycle only plutonium. So, a thermal
23 spectrum, the general trend we find is recycling minor
24 actinides decreases uranium utilization.

25 In a fast spectrum, it's the opposite. Now, of

1 course, in either case, if I recycle minor actinides, it
2 burns up some of the stuff that would otherwise be waste. It
3 increases separation and fabrication cost. It may, depending
4 on who you listen to, increase proliferation resistance.
5 That last point, I can get four proliferation experts in the
6 room, and get at least five different answers, particularly
7 if you let me pick them.

8 So, we've done the physics. We know what happens
9 here. And, so, one of the cases I did was multi-recycle with
10 all the transuranics.

11 So, this is uranium ore utilization as a function
12 of time starting at the beginning of the US fleet. And,
13 separation cases are here, separating all the transuranics,
14 and doing it as a multi-recycle situation improves uranium
15 utilization. I'm going to have to study why the numbers are
16 a bit different than what I see over there. Although, again,
17 I did not do uranium re-enrichment in these calculations, and
18 that's at least some of the difference.

19 I always like to try to put things into context.
20 So, this is a graph that a colleague in San Bayes came up
21 with. This is the rate that we consume heavy metal ore, and
22 what fraction of that ore we utilize to generate, in this
23 case, heat, which gets turned into electricity. Well,
24 theoretically, the best you can do is 100 percent. That's up
25 here. That's the fission Q-value of about 950 gigawatt day

1 energy per ton of ore, per ton of heavy metal.

2 Well, all the cases we're talking about are way
3 down here. Once through is about .7 percent ore utilization.
4 One recycle, whether it's MOX or TRU--PU. TRU is slightly
5 different. Multi-recycle goes up a bit more. Sustained
6 recycle, fast reactor, if it's a burner, is down in here.
7 And, of course, a breeder can go up there if you're recycling
8 all the transuranics. If you don't recycle all the
9 transuranics, this number drops a bit, because you're
10 throwing away some of the energy content each time around.

11 So, depending on what the charter of the Board is,
12 we've been talking for a day and a half all down in here.
13 Whether you want to look at the rest of option space is a
14 different question.

15 We were asked the waste mass, dispose 2030--this
16 should have been 2040--to 2100. So, no recycle, one pass,
17 continuous recycle with transuranics. Of course, the fission
18 product mass is a changing, fission products are fission
19 products. You dispose of less uranium. This is the PWR only
20 because that's the case where you're recycling. This throws
21 in the BWR, but the BWR is not changing any. So, this tells
22 you better what's going on.

23 If I do one recycle of MOX, I'm getting rid of some
24 of the plutonium. If I continuously recycle on this scale,
25 I'm not throwing away any plutonium. It would only be

1 process losses.

2 And, again, to put things into context, a report
3 that we put out last year, this is more to stimulate thinking
4 for the afternoon, down here, this particular graph, I didn't
5 put numbers on because I can get slightly different numbers
6 depending on what cases you want to look at, but go back to
7 this idea of a two by two box, high heat, high longevity.
8 That's the type of waste no one has disposed of anywhere.

9 So, this scale, this axis is how much of that mass
10 do you have. This scale is long-term radiotoxicity. We
11 typically plotted out a thousand years, since it's been used
12 in the fission community for decades as a metric. The trans
13 aren't particularly sensitive to whether I pick a thousand
14 years or ten thousand years, same basic trends.

15 This takes a minute to walk through, but it really
16 poses the question to the Board as to what you care about and
17 what part of option space you care about. If I do nothing,
18 I'm out here, because the mass that has to get disposed of is
19 not just the heavy metal, but everything that goes with it.

20 In a light-water reactor, 20, 30 percent of the
21 mass comes out in the fuel assembly, isn't the heavy metal,
22 it's the steels, the zirc, all that sort of stuff, and if I
23 don't do anything to it, it's got to go to the repository
24 along with everything else. If it's an HTGR, that's a factor
25 of 100, and at a hundred times more mass, in terms of all the

1 carbon, the silica and so forth, goes with the used fuel to
2 the repository if I don't do something about it.

3 So, I start off here. I can reduce that mass,
4 again the high heat, high longevity mass, if I start doing
5 things like punching the compacts for HTGR or taking fuel
6 assemblies apart, then I can reduce the amount of mass--I'm
7 not doing all that much on radiotoxicity. I'm doing a little
8 bit in terms of reducing mass. I can continue that trend by
9 going to higher burn-up. I'm still once through fuel cycle.

10 If I recycle once, I can keep moving a bit more,
11 still reducing mass, slight reduction in radiotoxicity. If I
12 recycle once, then the lower the conversion ratio, the
13 further that way I go. For example, instead of MOX, I can
14 move further that way by inert matrix fuel. I hit a limit,
15 and that is the mass of fission products, because if I
16 haven't done anything clever with the fission products, I
17 can't go any further this way. I can come down in
18 radiotoxicity as I repeatedly recycle. Thermal system, fast
19 system, I can drive down my residual radiotoxicity. I have
20 to go from Pu to TRU because the minor actinides are a big
21 part of the story.

22 I can come down here. I can eventually move that
23 way again by now separating fission products. Remember the
24 graph I showed--or, table I showed yesterday, where I've got
25 cesium, strontium. I can take the high heat waste, which has

1 pretty low longevity waste, do one thing with that. Take the
2 lanthanides, which are probably Class C, take the transition
3 metals, which are relatively low heat, and more in terms of
4 longevity. If I segregate the fission products into
5 different bins, then I can again reduce the amount of heat,
6 high heat, high longevity waste.

7 So, one of the reasons we put this graph together
8 is people have asked me in the past, well, how much does
9 burn-up matter, or how much does conversion ratio matter.
10 Well, I can't answer that unless I know where you are in
11 strategy space. Because if I am talking up in here, burn-up
12 matters a lot. If I'm down here, burn-up doesn't really do
13 much for me. So, this tries to put the whole thing in a
14 perspective, and where the Board wants to go, of course, is
15 up to your charter.

16 Last slide. Benchmarks and comparisons are tricky.
17 We have talked a lot the last day and a half on how important
18 timing is. And, as you get more into these sorts of
19 scenarios, more of these sorts of cases, timing is important.
20 And, if you want to see the US or any country's waste story
21 to change, it takes a long time to get there.

22 Uranium, waste management, I'll let you read that.
23 So, it's been an interesting exercise. I'll have to redo
24 some of the calculations, some of the things I botched, get
25 you some of the numbers that you couldn't get from my cryptic

1 spreadsheets, and it's hopefully been useful.

2 ABKOWITZ: Thank you. Any questions or comments on
3 Steven's analysis, results and philosophy?

4 (No response.)

5 ABKOWITZ: All right. Stefano, do you want to go next?

6 PASSERINI: Thank you. So, as I said yesterday, for
7 Scenario 3, 4, and 5, at the moment, I have the results for a
8 calculation that we made in which we are not considering the
9 spent fuel Legacy as a part of the fuel discharged. So, we
10 are only considering the new fuel that is produced after
11 2010, and that's why, for example, you see that in this case,
12 we do not saturate the repository capacity, because we are
13 not recycling or disposing of the spent fuel. That's one of
14 the reasons I redid the calculation, and I'm sure this number
15 will definitely match better.

16 And, the fact that we are not considering the spent
17 fuel Legacy is also the main reason, and I'll show that why.
18 There are no major differences in my results between the two
19 reprocessing capacity scenarios. So, in both cases, the
20 reprocessing capacity turns out to be under-utilized in my
21 scenario. So, those are the results for the PWR spent fuel
22 disposed.

23 Those are for the BWR. Well, in this case, the
24 same amount should be expected, because we are not doing
25 anything with the BWR, and that's one of the approximations

1 that I made, is that we distinguish simply the mass flows
2 through the system, through a fixed constant after the
3 scenario was run, and that that brings some, of course, some
4 of the mass that I think I don't have complete control of,
5 but I track back and forth a few times, and that's the
6 results. They are slightly different, but that's because I'm
7 not able to distinguish the single units. I'm just
8 separating by a fixed proportion the mass flows into the
9 system. That's why the two numbers are not exactly the same.

10 So, the Measure 3 is the fission products and minor
11 actinides disposed in the repository. And, again, we didn't
12 observe a major difference in this case, and again, that's
13 because of the, if it turns out in my simulations that the
14 reprocessing capacity is under-utilized, then I'll show a
15 graph to say what that means.

16 When we look at the--that's the total mass of PWR
17 spent fuel reprocessed, and that's the percent reduction in
18 total natural uranium demand. Also, in this case, you will
19 see basically the same results for the two. The green line
20 is the Scenario 2, so the nominal case basically, and the
21 other two lines, show the reduction in the total natural
22 uranium demand following the reprocessing of the spent PWR
23 fuel in MOX and also the recycling of the residual uranium.

24 And, that's the mass metrics, so the total mass of
25 the fuel assemblies fabricated in terms of the new PWR, new

1 BWR, recycled PWR UOX fuel, and the MOX.

2 So, the recycled UOX PWR assemblies assumes to have
3 the same enrichment as the other ones. We do have, in CAFCA,
4 actually the option of increasing the enrichment following
5 the presence of Uranium 236. I didn't use it, but I will
6 definitely do it for the rerun, including the other changes.
7 And, for the MOX fuel, we assumed 8.73 percent of plutonium
8 enriched, and the rest is like the tails. And, loading in
9 the PWR cores of about 30 percent is MOX, and the rest is the
10 fresh fuel, fresh Uranium 235 fuel, as was specified.

11 And, the plutonium quality was assumed to be the
12 one presented before, with a five year old spent fuel, which
13 is the time that we have to wait on the temporary storage, or
14 temporary cooling before sending the fuel to the reprocessing
15 facility.

16 And, I want to show you why my results are
17 basically the same for the two, by going back to the first
18 picture that I showed yesterday. So, basically, that's the
19 results that I have. So, not having the spent fuel Legacy
20 and reprocessing only the PWR fuel, I am not able to saturate
21 the entire reprocessing capacity for the first case, and
22 definitely not for the second case, in which I can run the
23 full capacity only for ten years before going down to a lower
24 steady state value.

25 The reason why the steady state value is lower is

1 because by reprocessing more fuel earlier in time, I deplete
2 the PWR fleet that I can actually then go and reprocess
3 again, because we said that we only reprocess the fresh PWR
4 fuel. So, when I introduce MOX earlier, and like in larger
5 quantities, I am depleting the feed for future reprocessing
6 in my system. And, that's why the steady state value here is
7 lower than the other one. And, for my case, it turns out
8 that basically the area under those two curves that gives you
9 the total amount of mass reprocessed, turns out to be the
10 same.

11 I will rerun the calculation, including the spent
12 fuel Legacy, and I expect to see some differences. But
13 that's one of the interesting things I think of the dynamics,
14 that according to the assumptions you have in your system,
15 and the way one fleet is feeding another fleet, for example,
16 or one fuel comes out of another fuel. It's not only the
17 case where having a larger reprocessing capacity turns out to
18 give you like large ability of the other fuel, because it
19 turns out like one year in time of doing that, really affects
20 the feeding of your system later in time. So, that's one of
21 the outcomes of my simulation.

22 Again, I will redo everything, and other than that,
23 I think the numbers are pretty consistent in terms of the
24 uranium saving and other metrics.

25 MOTE: Stefano, could you go back to your Output Measure

1 5 slide? Okay, down at the table at the bottom, you have
2 3000 metric tons a year disposing 10.93 percent.

3 PASSERINI: Yes.

4 MOTE: And, a smaller capacity disposing of a larger
5 percentage.

6 PASSERINI: Yes. So, the difference is really small,
7 but it also, I think, if you look at the numbers that you
8 have, as you see, it's what I was talking about, so the fact
9 of having a larger capacity turns out to have an integral of
10 the simulation, a smaller amount of fuel turns out to be
11 reprocessed, because I'm reprocessing more material right
12 away in time when I can start my facility, but since I'm
13 depleting earlier in time, the PWR fleet that can then give
14 me materials and fuel to be reprocessed, the integral over
15 time turns out to be slightly smaller for this scenario than
16 for this one. But, I think the difference comes out to the
17 fact that I'm not saturating the reprocessing capacity, so
18 that's the point.

19 MOTE: I can see why on an individual year that might be
20 the case. But, that presumes is integrated over the period,
21 is it?

22 PASSERINI: Yes.

23 MOTE: It seems counter-intuitive to me because anything
24 you do with a 1500 tons a year plant, you can do with a 3000
25 tons a year plant. And, if your total demand is the same--

1 PASSERINI: No, but remember that, for example, I'm
2 always under--on the steady state, I'm under-utilizing my
3 reprocessing capacity because I only reprocess the PWR fuel.
4 So, let's say I can reprocess max, 1000 metric tons per year
5 of PWR fuel, which is two-thirds of the capacity that I have
6 here, let's say.

7 MOTE: Yes.

8 PASSERINI: So, if I am introducing a lot of MOX earlier
9 in time, the number goes down because I did not reprocess the
10 spent MOX fuel. I have to dispose of that. So, it's not
11 available for--

12 MOTE: Oh, I see what you mean.

13 PASSERINI: That's the point.

14 MOTE: Okay. The same with the UOX.

15 ROWE: This is Gene Rowe.

16 The enrichment for RepU, UOX assemblies, did you
17 take into account the build-up of U236?

18 PASSERINO: No, I didn't, but CAFCA can do that. I just
19 forgot today the selection. I remembered about it yesterday
20 when you showed like your function.

21 ROWE: Okay, no problem.

22 PASSERINI: But, actually, I just started doing it
23 yesterday, and the enrichment that we get by taking into
24 account that with our fixed specters, is 5 percent.

25 ROWE: Yes, that's exactly what we get.

1 PASSERINI: And, I actually checked. I think we have
2 implemented the same simplified equation that you have in
3 your system. So, it gets 5 percent for us.

4 ROWE: That's good. Thank you.

5 KADAK: The difference between the 30 percent and your
6 10 or 11 percent--

7 PASSERINI: Yes.

8 KADAK: --is really that you didn't fully utilize the
9 capacity?

10 PASSERINI: Yes.

11 KADAK: Do you think that would make it up to 30 percent
12 if you did?

13 PASSERINI: No, but that's the point. So, the previous
14 benchmark case assumed that you are fully utilizing your
15 reprocessing facility. But, the capacity of that facility
16 turns out to be larger than the fuel that you are on steady
17 state discharging from your fleet. Since I should have
18 assumed that, I don't think anybody would ever build, because
19 it doesn't make any sense to have that facility and under-
20 utilizing it to that point. That actually is a totally
21 different exercise.

22 KADAK: Right.

23 PASSERINI: As you see here, when you take into account
24 the actual amount of fuel that you can reprocess over time,
25 so not considering that you always saturate your facility,

1 the numbers turn out to be different. But, they are two
2 different benchmark cases, I would say.

3 KADAK: Now, MIT also ran a case for the fuel cycle
4 study on the conversion ratio of one.

5 PASSERINI: Yes.

6 KADAK: That seemed to be saving equivalently, or
7 demanding less equivalent natural uranium enrichment as were
8 plutonium start-up. Are you familiar with that analysis?

9 PASSERINI: Yes, I've really done it--yes.

10 KADAK: Could you just sort of summarize that, just as a
11 general point of information?

12 PASSERINI: Well, what the outcome of the MIT study is
13 in general that by introducing fast reactors with different
14 conversion ratios, the reduction in uranium demand is much
15 larger basically because of the total different account you
16 use. And, in particular, I would say the main conclusion of
17 the MIT report, when comparing the fast reactor, was that the
18 conversion ratios greater than one do not perform much better
19 than conversion ratio one. That was, I think, the main
20 conclusion that the MIT study had on that point of view.

21 So, that we observed kind of a saturation effect as
22 the reduction in the uranium demand--with increasing
23 conversion ratio over the time frame that we analyzed.

24 KADAK: And, that was the 2100. Now, what was the basic
25 reason for a breeder not doing as well as the conversion

1 ratio one reactor?

2 PASSERINI: Pardon?

3 KADAK: What was the basic reason why, given there's a
4 finite time that you ended the study at 2100, the breeders
5 didn't save as much uranium as a conversion ratio of one?

6 PASSERINI: Well, they did relatively better, but in a
7 very small amount. The main reason is that when we include
8 our recipe of the reactors, so the most affecting parameters
9 for development of fast reactor fleet is the amount of
10 transuranic you need to load into your core, because that
11 determines how quickly you can build your reactors, given the
12 amount of transuranic that you can separate from your
13 reprocessing facilities.

14 KADAK: Right.

15 PASSERINI: It turns out that in the design that we
16 include into our system, basically, the prism design, which
17 is the design we took for the example of breeding reactors,
18 requires a very large amount of transuranic loading into the
19 core. And, that slows down a lot the start-up of the fleet.
20 So, over that limited period of time, smaller reactors, in
21 terms of requirement of transuranic material into the core
22 for the same electric energy, like conversion ratio equals
23 one, can develop much faster and, therefore, it can only
24 integral of the simulation performed basically equally good
25 as the breeder reactor. So, it's a matter of the difference

1 into the design of the core.

2 KADAK: And, then, the key point there being using--I'm
3 sorry--using enriched uranium as the seed, in other words,
4 for the core?

5 PASSERINI: No. We're still talking about plutonium--

6 KADAK: For conversion ratio one?

7 PASSERINI: Yes. We are analyzing the process of having
8 the--we are in 235 initiated fast reactors right now, but
9 it's not in the MIT study.

10 KADAK: Oh, it's not in the study? I see.

11 SHWAGERAUS: So, how do you sustain it between two
12 different cases? The reason you don't see dramatic
13 improvement in uranium utilization as you move from LWRs to
14 conversion ratio one, or higher, is the rate at which you can
15 introduce these fast reactors, which is limited by the
16 ability of transuranics. So you're depleting your Legacy
17 transuranics very fast as you start to deploy them, and then
18 you are limited by the production of transuranics from the
19 existing reactors, LWRs, and newly build fast reactors.

20 So, the base at which you're deploying fast
21 reactors with a high conversion ratio, it determines the rate
22 at which you save natural uranium, which is not dramatically
23 different from, at least for the period of simulation. So,
24 that problem could be overcome by starting fast reactors with
25 enriched uranium.

1 And, in this case, you can build many more fast
2 reactors which have much higher uranium utilization,
3 obviously, because they're self-sustaining or better. And,
4 in that case, even if you eliminate this step of reprocessing
5 light-water reactor fuel, don't build reprocessing plant for
6 reprocessing light-water reactor fuel, build only fast
7 reactor reprocessing plant, which presumes it should be
8 cheaper, and just simply looking at the through-put of
9 materials, you need a lot more mass of spent fuel to process
10 from light-water reactor to feed fast reactors. Whereas, in
11 fast reactors, it's a one to one ratio or higher. So, that's
12 basically the basic--

13 ABKOWITZ: Howard?

14 ARNOLD: First, an obvious comment. Arnold, Board.

15 An obvious comment. You could have recycled the
16 BWR and put it into MOX and PWRs, but that's trivial. What
17 I'm curious about is how you're in fact treating the depleted
18 uranium. There isn't in existence right now, semi-infinite
19 reservoir of depleted uranium, and if you use it, plus the
20 plutonium from reprocessing, you're basically not using any
21 newly mined uranium for a very long time. So, I don't
22 understand these numbers as they relate to that.

23 Basically, when you're using depleted uranium, you
24 shouldn't call it something I had to mine, because the mine
25 exists at Portsmouth and places like that.

1 PASSERINI: Yeah, sure. That's part of the simulation.
2 But, as long as you don't have enough PWR spent fuel to be
3 able to produce the amount of plutonium that you need, then
4 even if--

5 ARNOLD: Yeah, I understand.

6 PASSERINI: In the benchmark case, we are limited to
7 reprocess only the fresh PWR fuel so, it will reach an
8 equilibrium. It's not possible to move everything to MOX
9 because otherwise, we wouldn't have anything to get the
10 plutonium from.

11 ARNOLD: Yes. Way back on the Clinch River project when
12 it was in the process of being cancelled, we did a bunch of
13 studies of burner configurations, which were basically what
14 you're talking about, loaded up with uranium and burner, and
15 it makes a pretty good reactor.

16 MOTE: I think there's another case where the real world
17 collides with the benchmark models, and that's an interesting
18 study to go into to. But, what we wanted was to look at what
19 ifs that were limited, so that we compare the codes against
20 each other and the outputs based on the same input scenarios.
21 So, it's all real, but that's the next stage.

22 ABKOWITZ: Okay, Stefano, thank you. Gene, you have the
23 final presentation. And, I would ask you while you're up
24 there, if there are any other issues you want to raise that
25 are in the comparison tables, this would be your opportunity

1 to do so.

2 ROWE: Again, I'm not going to go over this particular
3 slide. The numbers are the numbers that show up on the
4 right. Let's go to the next one.

5 I do want to talk a little bit about this. In
6 relationship to comparing to some of the other results, is
7 you will notice that our plutonium quality is lower than the
8 other vendors. I think the reason for that is the way that
9 NUWASTE works, it actually looks at the year that the
10 assemblies are reprocessed, and calculates the individual
11 isotopic content based on the age of that fuel when it's
12 reprocessed.

13 And, the way that the calculation works is actually
14 due to two decays of the plutonium 241. I do a decay from
15 the time it's discharged from the reactor, until it is
16 reprocessed. The Americium disappears, it goes along with
17 the minor actinides and fission products. And, then, I decay
18 it again for two more years, and the Americium stays with the
19 assembly and is included in the reactivity calculation.

20 And, so, because I start with five year old fuel
21 and I work backwards, I think that is the reason why my
22 plutonium quality is less than the other calculations.

23 And, I think that to address how its comment is--
24 you will notice in this scenario, that we're only generating
25 a few over the 40 years, or whatever, we're only generating a

1 few MOX assemblies in comparison to the total number. So, we
2 still need a huge amount of natural uranium to make up for
3 the number of natural uranium assemblies that are being
4 fabricated. So, I think that's why that number isn't quite
5 as big as you might think.

6 The tails, again, the numbers are reasonably
7 consistent. I think that as we indicated in my last
8 stumbling up here, is that the reason that I wanted these
9 reported is to get an idea of, first of all, to make sure
10 that the enrichment calculations were reasonably consistent
11 between calculations. Also, to emphasize the fact that this
12 is a stream that we need to deal with, and it's something
13 that hasn't been dealt with yet, and it needs to be. And, I
14 think that's part of what we as a Board should be looking at.

15 Let's skip this one and go to the next one. Okay,
16 this just shows the individual processes as a function of
17 time. Again, the dotted line is the total MTU discharge.
18 The red line is the amount that is in inventory. You can see
19 since we've got 4500 metric tons of overall capacity, that
20 this starts decreasing quite quickly, and that our number of
21 dry storage casks also decreases quite quickly.

22 Same situation as the MIT and the NNL calculation.
23 The green line is the reprocessing capacity, and we
24 eventually run out of assemblies to reprocess. That's why
25 this drops down so much. It's just there was a delay between

1 when an assembly is discharged and when you can reprocess it.
2 There's this lull here, if you will, before we can start
3 getting new discharged assemblies to actually reprocess. So,
4 that's why the shape is like that.

5 Same mass balance chart that shows basically what
6 the flow of mass in material is throughout the whole process.
7 And, I think that's really all I've got to say.

8 ABKOWITZ: I have a question for Eugene. If we can go
9 back to Slide 7? I know this was not a metric that we asked
10 for in the exercise, but I think it's an interesting question
11 in terms of the utilization of these facilities over an
12 operating lifetime. And, you have the ability, I think, in
13 this slide to kind of comment on that. And, the point of the
14 matter, I guess, is the larger the reprocessing capacity, the
15 more we can anticipate that it won't be totally utilized over
16 its lifetime.

17 ROWE: Yeah, that's--

18 ABKOWITZ: Paul is shaking his head. Good. I'm glad
19 we're bringing this up then. Gene, do you want to talk
20 first, and then--

21 ROWE: I'll go on the defensive. Go ahead.

22 MURRAY: Murray, AREVA.

23 This is a benchmarking exercise, and so these
24 numbers are nice. They show what would happen in a
25 particular scenario. But, this scenario isn't real. It's

1 made up. The purpose of this is to benchmark. This isn't
2 how we bring capacity online in the US. This is just a
3 benchmark, everybody's codes. So, we can't draw conclusions
4 from this.

5 ROWE: And, as we have said at the very, very beginning,
6 that was not what the purpose of this was. It was strictly
7 to benchmark. But, it's interesting, though, one of the--
8 and, as I mentioned yesterday, we have several parameters
9 that we can evaluate and compare to various scenarios. One
10 of those parameters is facility utilization. And, it's
11 really interesting as we can also compare various parameters
12 over various scenarios, and if you start looking at facility
13 utilization for various rates, the benefit from the higher
14 capacity of the reprocessing facility really diminishes
15 relatively quickly. And, this shows it, if you will,
16 qualitatively that that's what occurs, but when we're looking
17 at multiple scenarios and we're looking at multiple
18 variables, it really kind of jumps out and hopefully, we'll
19 do some of that in the future.

20 ABKOWITZ: Yeah, and I didn't mean to stir up the pot
21 that much, other than I think it's an interesting performance
22 metric that you may want to add to the mix, just because at
23 some point, questions are going to be asked from an economic
24 analysis standpoint. If we're investing "X" amount of money
25 in something and it's only being used "Y" amount of the time,

1 you know, you know the rest of the storyline.

2 Anything? Yes.

3 KADAK: Just recognizing what Paul just said, that this
4 being a benchmarking exercise. I don't know how many of you
5 had a chance to look at the report that was produced by the
6 Board. That is not a benchmarking exercise. That's an
7 application of the tool. So, I would be very interested in
8 your feedback on the results presented therein, because
9 people are reading this and making judgments. And, that's
10 what we need to understand, whether we're on a strong footing
11 about those, because the curves are not too different from
12 some of the curves you've seen here. And, we want to be sure
13 we've got them right.

14 MURRAY: We'll read it and get comments back.

15 ROWE: I'd just like to emphasize that the scenarios
16 that are in that report are not good scenarios. They're not
17 recommendations. They're an example of what NUWASTE is
18 capable of doing. And, that's very, very important to
19 understand. Anything else? Lunchtime.

20 ABKOWITZ: We're very close to being back on schedule.
21 Does anyone else have a comment to offer before we break?

22 (No response.)

23 ABKOWITZ: Seeing none, we will reconvene at 1:15.

24 Thank you.

25 (Whereupon, the lunch recess was taken.)

AFTERNOON SESSION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MOTE: Well, good afternoon. We'd like to resume.

This afternoon, we're starting off with something a little different. I should have said that differently. I made it sound like Monty Python. Maybe a laugh-in, which this is not.

Anyway, having talked about fuel cycle, and now we're going to look at how some of the waste streams are dealt with on DOE sites, and DOE EM, Environmental Management, has a model which is focused on the management of waste at the DOE sites. Terry Tyborowski is here from EM, with some support from MITRE Corporation. So, Terry, let me hand it over to you for 15, 20 minutes.

TYBOROWSKI: Okay, great.

MOTE: And, Terry would be prepared to accept and would encourage questions during her presentation rather than wait until the end, and then have to scroll back through overheads.

TYBOROWSKI: Thank you, Nigel.

First off, I would like to introduce our MITRE colleagues who have worked on the model. Dr. Tim Hoffman right here, and then Greg Love in the back is the principal director of the project.

I currently work in the Environmental Management program at DOE, and I've been there for two years most

1 recently. But, I know folks in the room from previous lives.
2 I worked on the House Appropriations Committee for five years
3 dolling out money for the Department of Energy, and then I
4 spent 13 years at the Department prior to that, seven years
5 in Nuclear Non-proliferation dealing with international fuel
6 cycles, conversion of MOX program, and the Material
7 Protection Control Program, and then prior to that, I worked
8 about seven years in the Department Management Program when
9 it first got started in 1990 and 1991. So, I've been around
10 for a while touching on these issues, not always spent fuel,
11 but jumping in and out of it.

12 So, when I came back to EM, my management was
13 interested in looking at systems dynamic modeling, and we
14 thought that our site at Savannah River would be the best
15 candidate to look at systems dynamic modeling. And, could
16 you go to the next slide, please?

17 So, just some background. I don't know how many of
18 you are familiar with the Savannah River Site. It is a
19 former nuclear weapons material production site, so it's
20 different from your commercial nuclear facilities. It no
21 longer produces fissile material for weapons, and, however,
22 we are currently constructing a mixed oxide fuel fabrication
23 plant. The majority of the work at the site is on cleaning
24 up the Legacy of the cold war.

25 And, if you look at this chart right here, I'll

1 step you through each of the boxes. But, everything in blue,
2 belongs to the Environmental Management Program. And, we
3 have down here the mixed oxide fuel fab, and associated waste
4 solidification building, and pit conversion. Those belong to
5 the Nuclear NNSA Program.

6 So, within the confines of the blue, the annual
7 operations for all these facilities is approximately \$1.3
8 billion a year, annually. And, just stepping through the
9 processes, we have a spent fuel storage pool right here.
10 Now, the fuel in storage here is basically highly enriched
11 uranium clad fuel, and comes from our farm research reactor
12 return program, and comes from our Oak Ridge test reactors
13 program, and also the universities in the country send their
14 used nuclear fuel here as well. So, our input is a little
15 bit different than what we've been talking about today.

16 Then, we have a reprocessing facility here. It's
17 plutonium/uranium mix reaction technology, which you know is
18 40 years plus old, and we have an HB line here, which is a
19 facility on top of the reprocessing facility that's
20 essentially a line of boxes that deals with plutonium, and it
21 works off the plutonium storage facility over here. We have
22 to test the veracity of the plutonium in the cans, and so we
23 will do a destructive assay up in the HB line.

24 And, then, continuing along the way, we have our
25 tank farm. We currently have about 52 tanks, one which has

1 been closed to date. A few items about the management of
2 these facilities. We are self-regulating here under the
3 Atomic Energy Act for the reprocessing facility and the spent
4 fuel pool. However, when it comes to our waste manage side
5 activities, we're regulated by the state and the fed EPA. We
6 currently have a Federal Facilities Compliance Agreement
7 which says that we have to be out of our tanks I believe by
8 2025, which is not a lot of time left, considering we're only
9 out of one so far.

10 And, then, from there, it leads over into our
11 vitrification facility, which has one melter, and then in
12 preparing the feed for the vit plant, we have to take out the
13 cesium and strontium, and then the remaining waste goes to
14 saltstone, while the cesium and strontium is re-introduced
15 back into the vit plant. And, then, for our saltstone
16 process, which is basically the grouting of this material, we
17 have on-site disposal, and that is at the, not pleasure, but
18 at the consent of the state.

19 And, one thing about the Environmental Management
20 Program where we have multiple sites in multiple states, is
21 that particularly when it comes to regulation of waste, it's
22 highly dependent upon the generosity or not of the regulator.
23 And, so, in Savannah River, we have a very cooperative
24 regulator that lets us do things like dispose of things on-
25 site. But that's not true of other places as well, in

1 particular the State of Washington is a little tougher.

2 One comment on our Purex Separation Process right
3 here. While we currently have plenty of fuel in storage, we
4 have a policy right now that we will not reprocess the
5 material. And, that is because we're waiting the outcome of
6 the Blue Ribbon Commission. I think there was a lady here
7 today from the BRC. There she is. So, that's basically a
8 policy we have at the Department right now. We want to hear
9 what the BRC says about spent fuel in general before any
10 decision is made to go ahead and reprocess that material.

11 KADAK: Can I ask a question? Is your separation plant
12 in operation now, or not?

13 TYBOROWSKI: It has been down blending highly enriched
14 uranium for about a decade, but it has not been reprocessing
15 spent fuel.

16 KADAK: Okay. It's been down blending but not
17 reprocessing?

18 TYBOROWSKI: Uh-huh. It's not been taking spent fuel
19 for reprocessing.

20 KADAK: Any spent fuel?

21 TYBOROWSKI: Correct.

22 KADAK: Okay.

23 TYBOROWSKI: Any other questions about this slide, or
24 operations?

25 KADAK: Explain the down blending process as opposed to

1 separation. Do you have to make it into a chemical, liquid
2 again for down blending?

3 TYBOROWSKI: And, I have to say right now I don't know.
4 I don't know the distinction. I'm not a chemical/technical
5 person.

6 KADAK: Okay.

7 TYBOROWSKI: Do you want to add anything, Ken?

8 No, he says no, he doesn't. How about you, Greg?

9 LOVE: This is Greg Love.

10 There is some dissolution that's being done of some
11 of the enriched uranium, and that is subsequently blended
12 down to commercial grade fuel. So, it is not a whole Purex
13 recovery process, but there is some dissolution that's being
14 done.

15 KADAK: But, you're doing it at this facility, the H
16 Canyon?

17 LOVE: That's right.

18 TYBOROWSKI: Okay? Okay, so why this model? I've
19 indicated my background is highly financial, and a lot of the
20 decisions made within the EM program of \$6 billion, and given
21 our current outlook of the budget, which isn't too great, we
22 need to look at a tool that can help us make decisions on
23 where we put our investments.

24 Now, clearly, we have drivers on the tanks, which
25 means we have to get out of business pretty soon there, but

1 we don't really have any drivers on the spent fuel. It's in
2 a pool. It's safe. And, so, we've developed this high-level
3 policy model to help us look at different policy options.
4 And, in no way is it a decision-based model where we will go
5 and implement them immediately once we come up with items,
6 but it's a starting point.

7 I will also say, too, that we have three different
8 contractors working at this site. Essentially, everything
9 dealing with the nuclear materials, the Purex in the storage
10 facility over here, and the nuclear materials over here is
11 one contractor, which is FLUOR. For the Waste Management
12 side over here, we have URS manages the waste streams. And,
13 then, we have a third contractor over here dealing with the
14 actinide removal on the salt waste processing facility. And,
15 so, there's lots of integration that needs to occur,
16 particularly in the transfer of effluence between the
17 actinide removal, back to the good plant, and from the tank
18 farms, and then what feed are we going to get from Purex
19 going into the tank farms.

20 And, this integration model really helps with that,
21 because when we think that all contractors would work well
22 together, it's nice to have a verification process that looks
23 at it from a macro perspective as well. And, as we go
24 through the presentation, we'll tell you where this model has
25 actually helped out in that regard.

1 And, so, I would like to have, Greg, do you want to
2 go ahead and take it from this point?

3 LOVE: I will. I will try to move through some of these
4 slides a little quickly, just so we can get a view of the
5 model. I'd like to share that with you so you'll get a
6 perspective of how we've approached the solution here.

7 So, unfortunately, I have to move back here behind
8 my table to navigate.

9 The objective here is to really look at scenario
10 analysis through 2035, explore alternative strategies, and
11 calculate mass and volumetric balances of the surplus used
12 nuclear materials, and the by-products, and calculate life
13 cycle costs. So, that's really what we're designing the
14 model to do.

15 Now, some of the analysis that's done is directly
16 to support some of the policy options that are being
17 considered in EM. It's also used to analyze plans, future
18 campaign plans, for instance, address any kind of management
19 challenges, especially between the M&O contractors, and
20 develop any kind of mitigation strategies to improve the
21 outcomes, so that you really have a robust plan for moving
22 forward.

23 So, how does this really work? This model is
24 actually a hybrid model of--a lot of it is discrete and
25 process, deterministic type modeling. It also has some

1 system dynamics in it, which we will improve over time. But,
2 it simulates behavior over the horizon, looks at system
3 sizing and performance, so we can identify bottlenecks. We
4 want to be able to validate operational schedules. This is
5 not an operational model, but it is one that we can look at
6 high-level plans, so we can begin to look at the timeline
7 that it takes to close the facility and to empty the tanks at
8 Savannah River.

9 And, the big thing with the life cycle cost is we
10 can make investment decisions to the operational plans. We
11 can look at the improvement in the operational side, as well
12 as the payoff for making investment to shorten the life
13 cycle. And, also, it obviously helps us with the challenges
14 of dealing with a level funding profile.

15 And, we talked a little bit, Terry talked about the
16 managing the interface between the M&O contractors on site to
17 make sure that at those interfaces, the transfer of materials
18 is done well.

19 I'm going to jump into the model very shortly.
20 But, before I do, I'm just going to give you an example of
21 just a process flow sheet. This is the dissolvers in H
22 Canyon. They have three dissolvers there. Two are currently
23 active. And, the idea here, of course, is to model the
24 streams going in and out, and at this point, the model, and I
25 will show it to you in a second, is a discrete process model.

1 We're actually loading it with assemblies and dissolving
2 those into a liquid solution for the Purex processing
3 downstream.

4 Now, the material balances that we are setting up
5 to track in the model, I know this is very hard to read, but
6 we're looking at some of the isotopes, obviously, but as
7 equally important is the downstream processing in the tank
8 farm, because the liquid waste streams are very complicated
9 in their own right, and there's glassmaker chemistry that
10 creates certain challenges in the vitrification plant, as
11 well as the removal of the cesium and strontium from the--to
12 decontaminate the salt solution. So, we have to make sure
13 that we track those from the front end through the back end
14 of the complex at Savannah River.

15 So, what I'd like to do here is take us back, take
16 us out for a minute, and--

17 TYBOROWSKI: One of the things I'd like to highlight
18 while this is coming up is that, you know, an important
19 aspect of this model, which I haven't seen any analyses yet,
20 but look forward to it, is the cost aspect of all these
21 operations. And, as you look at different scenarios, you can
22 actually trade off and look at the different cost
23 variabilities.

24 LOVE: So, I'm going to go ahead and just start the
25 model with a standard configuration, and walk through the

1 flow sheet here, starting with the pool and L-Basin, and here
2 you see some of the discrete model components. Basically,
3 the material moves from left to right on the screen, and you
4 have right, you have certain storage for different types of
5 fuels that are being received, and they're stored in this
6 rectangular box, which is really our inventory of the used
7 nuclear fuel, as it's called down there.

8 We have the ability to set up schedules for these
9 receipts according to the plans and agreements that are in
10 place, and then as a campaign starts, material will be pulled
11 out of storage and be transferred to a rail car, cask car for
12 movement into H Canyon. And, so, that is being simulated.

13 And, in H Canyon itself, you can see where the fuel
14 comes in, comes in in the upper left-hand corner, and the
15 cask is unloaded, and then, of course, it's loaded into the
16 dissolvers where there are restrictions as to how many
17 assemblies can be charged to the dissolver at any one time.
18 Now, remember, the geometry of these assemblies change,
19 depending on the reactor type, so there's no one size fits
20 all. There's inserts that have to be put into these
21 dissolvers that really control how much, and also the safety
22 concerns, how much can be dissolved at any one time.

23 And, the characteristics of the fuel assemblies
24 does vary depending on the origin. And, for that reason, we
25 are really starting this model with an assay, a typical assay

1 of the used nuclear fuel that's going to be charged during a
2 campaign. So, it isn't tied back to the reactor technology,
3 it's just simply an assay of what a typical assembly would
4 look like. It's dissolved, and at that point, it goes
5 through the first and second cycle of the Purex process.

6 Let me take you just to a quick view of liquid
7 waste. We have an overview of the liquid waste dashboard,
8 and just right here instantaneously, you saw that the project
9 started up, the salt waste processing facility, it just
10 turned on. Previous to the start of that facility that's
11 currently planned in the middle of 2014, there's some other
12 smaller, more experimental units that are being operated to
13 remove some of the cesium and strontium, the large scale
14 plant will start up. And, the advantage of having the
15 systems model is there's some recycle streams between the
16 salt waste processing facility and the defense waste
17 processing facility. That's our vit plant.

18 And, it's very important to understand that balance
19 because the liquid recycle is one of the most challenging
20 material balances to deal with in this operation. And, any
21 bottleneck in the flows here could shut both plants down,
22 because they're so closely--they will be interconnected, so
23 closely interconnected at these higher rates, that you have
24 very little time to react if there's something that
25 interferes with the normal flow.

1 TYBOROWSKI: If I could just jump in here? The other
2 value of this, too, is that that SCIX component in the middle
3 there is actually a new technology to take the sodium out of
4 the tank, and it has not been introduced yet, but this model
5 allows us to make some assumptions on how it will accelerate
6 the program and how much it will cost. We're going to have
7 cost savings in the out years.

8 LOVE: That's right. Then, down here at the very bottom
9 left, you will see the saltstone facility, where the
10 decontaminated salt solution that's recovered from the salt
11 waste processing facility and SCIX and the other salt removal
12 facilities, is then mixed with the grout for on-site disposal
13 in the vaults.

14 Now, we have a view of the individual tanks. We're
15 working on getting the data into this model to actually track
16 at a high level basically four different levels in each of
17 these tanks, what we call the supernate, the salt solution
18 sludge, and any interstitial material.

19 TYBOROWSKI: And, they're not empty yet.

20 LOVE: They are not empty yet, no. And, so, we're still
21 in the--we're in the late stages of our development, but
22 we're working on developing the algorithms to actually
23 develop some rules for how to efficiently move the materials
24 from the tanks to blend them so that they can eventually be
25 processed downstream.

1 TYBOROWSKI: One of the things we discovered as we went
2 through each of the facilities and talked to the folks that
3 actually operate them is that they have different levels of
4 modeling themselves. You know, the tank farm has a very
5 detailed model that looks at the transfer between the tanks,
6 and it takes a long time to run a scenario, up to six months,
7 I think, to get an actual nuclear waste plant going. And,
8 then, the nuclear material side is very elementary, good
9 operational model, but not a high level kind of policy
10 analysis model. So, I think MITRE has done a really great
11 job to kind of levelize what currently exists into, you know,
12 one approach to looking at these functions.

13 LOVE: I know in the interest of time, let me just show
14 you, we have interactive graphics here for the vitrification
15 plant that shows you the different feed tanks and the staging
16 of those feed tanks that's necessary in order to provide the
17 material in the melter for the production of the glass
18 canisters. We have a few dashboards throughout the model
19 that allow us to monitor the utility utilization rate, and
20 where the bottlenecks may be over time with the different
21 feed tanks that are supplying the material to the melter.

22 I think I'd like to spend just the last few minutes
23 here taking a look at some of the costs here, because this
24 really is one thing that sets us apart from the model. I'm
25 going to go to an overview here, where you look at the cost

1 by area. So, we're breaking down the operating costs over
2 time, according to the government fiscal year, for each of
3 the processing areas down at Savannah River.

4 And, as the model is unfolding, the costs are
5 captured. Essentially, there's baseline cost information
6 that we've captured at the site that then is projected out
7 using the prescribed escalation rate into the future years.
8 And, so, it's directly related to the contractor costs down
9 there on site.

10 TYBOROWSKI: So, some of the policy analyses we can run
11 on this is the assumption of what fuel goes through the
12 Canyon, when, what timing of that is, what impact it has on
13 the reprocessing program, introduction of new technologies,
14 we talked about SCIX, what cost savings we can have as a
15 result, what happens if you introduce another melter into
16 DWPF. So, different policy scenarios we can run through here
17 and see what the impact is on costs and schedule.

18 LOVE: For those of you who may be curious, SCIX stands
19 for Small Column Ion Exchange. That's the technology that's
20 being introduced in the tank.

21 In terms of costs, we also have investment costs,
22 so certain investments, for instance, with the--this is the
23 tail end of the construction period for the salt waste
24 process facility, and we show the construction costs, and
25 then at the time the construction is completed, it becomes an

1 operating asset, and there's an operating cost profile that
2 takes it out to future years. So, this builds into those
3 scenarios where you have to invest in order to create an
4 operational capability to get you to the--achieve your goal
5 of closure by a certain time, within a certain time frame.

6 That's pretty much the information I have to share
7 with you. We'll be glad to entertain any questions.

8 TYBOROWSKI: John?

9 VIENNA: John Vienna. This is John Vienna. Do you plan
10 to extend this to the other sites?

11 TYBOROWSKI: Well, I think Hanford is the logical, you
12 know, next site to go. This is really kind of revolutionary
13 in EM, as you can appreciate the fact that we're introducing
14 this type of modeling, and from a systems dynamic standpoint
15 as well, to avoid that stovepiping. But, you know, it was
16 easier to start with Savannah River because they were
17 operational, and of course Hanford is not quite ready yet
18 with their facility. So, I think Hanford would be the next
19 one.

20 ABKOWITZ: Abkowitz, Board.

21 I wanted to learn a little more about your costing
22 approach. It looks like you have both capital and operating
23 costs involved. Have you run sensitivity analysis on things
24 like discount rates and useful life, and some of those
25 things, to see just how those types of assumptions may impact

1 the financial benefit costs?

2 TYBOROWSKI: Have we done it yet? No, but this model
3 has the ability to do that, certainly when you're looking at
4 different long-term scenarios, in particular, investment
5 scenarios, which one looks best. But, to be quite frank with
6 you, thanks for putting that up, the activities in dark blue
7 are pretty much solid right now, we're not going to do much
8 more work on it. But, you can see there's some light blue
9 activities there that we haven't really straightened out yet.
10 So, to do a full analysis on the whole life cycle, we need to
11 fill in some of those light blue boxes, including costs.

12 One of the large costs down here, believe it or
13 not, is our pensions liability. And, that swings the cost
14 around every year in terms of what we have to put in,
15 depending how the economy is doing. But, it's a tremendous
16 load of burden that we have to take into account, add on,
17 after we have figured out what the facility costs are.

18 KADAK: Kadak, Board.

19 I'm just trying to understand what happens in 2025
20 to this chart?

21 TYBOROWSKI: The tanks should be closed.

22 KADAK: That's the goal?

23 TYBOROWSKI: That's the goal.

24 KADAK: And, what about the storage and separation and
25 the pit conversion.

1 TYBOROWSKI: Well, certainly the pit conversion will
2 stay there because it supports the mixed oxide fuel
3 fabrication facility. There's an agreement in Russia to
4 basically get rid of 34 metric tons of weapons material. So,
5 34 metric tons of weapons material will be coming through
6 Savannah River and be made into MOX fuel for disposition in
7 reactors. So, that all stays alive. So, you see it's kind
8 of two different time, you know, historical moments here
9 where we have the down side of weapons production and kind
10 of, you know, the emergence of getting rid of plutonium,
11 weapons grade plutonium.

12 KADAK: Is there a plan to build a commercial
13 reprocessing capability with Purex separation plant?

14 TYBOROWSKI: No, there's no plans to do that at all.
15 Right now, while we are not reprocessing, some of the ideas
16 being proposed by the Department is actually to use it as an
17 R&D facility for advanced separation technologies.

18 KADAK: Okay. In your economic modeling, could that
19 facility be used for commercial reprocessing?

20 TYBOROWSKI: I can't answer that because I don't know.

21 MURRAY: I've look at it. I'm Paul Murray from AREVA.
22 It's got no head ends, there's no capability to share fuel.
23 You would have to retrofit that onto the front end. It's
24 also connected to the tank farm, and I guess DOE ultimately
25 wants to disconnect it from the tank farm. So, you would

1 have to put basically a back end on it as well to vitrify the
2 waste.

3 KADAK: I guess that's where I'm confused. If the tank
4 farm goes away--

5 MURRAY: Yes.

6 KADAK: --and the Purex separation process continues,
7 and you still have high-level--I'm sorry--spent fuel from I
8 guess research reactors in storage, plus other orphan waste,
9 how does that all fit?

10 TYBOROWSKI: Well, right now, there's sufficient
11 capacity to take the spent fuel, I think, through 2025.

12 LOVE: That sounds about right.

13 TYBOROWSKI: Yes. And, that our mission to close the
14 tanks should happen around the same time. Right now, the
15 whole issue of the spent fuel disposition is on hold, pending
16 the Blue Ribbon Commission's decision on spent fuel in
17 general. The Department didn't want to move ahead and start
18 reprocessing fuel unilaterally without the advice of the Blue
19 Ribbon Commission. So, right now, it's on hold.

20 KADAK: Is the Blue Ribbon Commission specifically
21 looking at your facility here?

22 TYBOROWSKI: I think they're looking at spent fuel in
23 general, and we're going to take a time out and take a lead
24 to see where they're headed on it before we start.

25 KADAK: Correct me if I'm wrong, Paul, you maybe know

1 this, but I don't think the Blue Ribbon Commission is looking
2 at defense wastes, like this is, and all that research
3 reactor stuff. So, I'm just trying to understand why the
4 decision to wait if you have spent fuel in storage, high
5 enriched, that you need to separate and your tank farm will
6 go away.

7 TYBOROWSKI: No, the tank farm is not going away for
8 another 25--

9 KADAK: Well, 2025, that's like 14 years.

10 TYBOROWSKI: 14 years, yes.

11 LOVE: Can I interject something here? And, that is
12 that the value of taking a systems perspective and view of
13 this model is to align the time scales of these campaigns
14 that might occur for spent fuel in H Canyon, with the
15 expected life cycle and the tank farm and the downstream
16 units to decontaminate the salt solution. So, the purpose of
17 this model is to look at those timings and those
18 interdependencies very closely so that we can prepare, DOE EM
19 can prepare, better plan for the closure of the tank farm.

20 TYBOROWSKI: The Blue Ribbon Commission draft report I
21 think is out in July; right? Is that correct? So, I think
22 shortly, we will know.

23 KADAK: Thank you.

24 WILLIAMS: This is Jeff Williams. Wasn't that spent
25 fuel that was there part of the 2600 tons that was planned to

1 go to Yucca Mountain as co-disposal packages previously?

2 TYBOROWSKI: I think that the preferred alternative in
3 the aluminum clad spent fuel EIS was in fact melt and dilute,
4 was the disposition path forward on that. Although what
5 you're talking about was another option, but it wasn't the
6 preferred option. And, then, during the Bush administration,
7 they didn't fund melt and dilute technology, so we're kind of
8 at a point where we haven't pursued the technology that was
9 preferred alternative, and we need to have an amended Record
10 of Decision in order to reprocess the fuel if that's what the
11 Department chooses to do.

12 MURRAY: Isn't it fair to say that the enriched uranium
13 that comes out of H Canyon has historically gone to the Blue
14 projects, been down blended, and then the uranium fuel goes
15 to TVA?

16 TYBOROWSKI: Yes, it does.

17 MURRAY: So, by stopping H Canyon, you stop the Blue
18 project as well?

19 TYBOROWSKI: I don't know what the Blue project is. I
20 know that under the uranium blend down agreement, which I
21 noted earlier, that we fulfilled our commitment under it and
22 that any additional uranium would be another agreement with
23 TVA.

24 MURRAY: Okay.

25 MOTE: I'll stand up here so I can see behind where I

1 was sitting with Andy. No questions? Okay, any other
2 questions?

3 (No response.)

4 MOTE: Terry and Greg, thanks a lot.

5 LOVE: Thank you.

6 MOTE: All right, now we come to the last of the
7 presentations with overheads. I apologize. I don't think
8 many of you will know that there are overheads printed for
9 this. That's because we kept them back until today to see if
10 the overheads that we had drafted in advance reflected where
11 we are right now. And, in fact, they do, so we don't need to
12 change that, but as of this afternoon, those overheads are
13 now out on the table.

14 So, what I would like to do now is to run through
15 the next level of thinking, which is we are where we are.
16 Where do we need to be and how do we get there. So, the
17 presentation is coming up any second now. Mark just
18 volunteered to tell us a story.

19 ABKOWITZ: I volunteered Nigel to tell us the story.

20 MOTE: As we catch up with the overheads, and I can walk
21 you through the first couple, so we came here with some
22 objectives. We were looking at a number of models and
23 benchmarking them against each other, which we can check off
24 because we have done. We talked about the input assumptions
25 and clarified where there were differences, and where we

1 found differences, we've resolved a number of those. We've
2 compared results and we have, to a large extent, reached
3 consensus on where there's areas of agreement and where there
4 are still some differences.

5 And, in many cases, I think maybe all cases, the
6 participants who had produced results and tabulated them, and
7 we found that by comparing numbers on the tables, where there
8 were differences, we've resolved those. We know where they
9 come from and the participants who said they would revise the
10 numbers they need to, provide them to us, and we will produce
11 revised copies of the Excel spreadsheet with the final
12 numbers in so everybody can see how well they align. And, we
13 would expect there to be small differences, and where there
14 are differences, we know where they come from and we're happy
15 with it.

16 Next slide, if you will, Bill, and the next one?
17 Thanks.

18 So, we talk about what remains to be done. We need
19 to focus on the particular issues and problems that we have
20 found, and identify which of those we need to work on. Find
21 the best path forward and see what activities there are that
22 we need to do to be of use to the community.

23 So, the first step of that is to identify. There's
24 a list of things here which is not meant to be--it's meant to
25 be as complete as we could see in advance, but there are

1 surely other things as well.

2 So, I just went through quickly the items that
3 remain from the workshop objectives, that is, to align the
4 results and to end up with Excel spreadsheets with revised
5 numbers in some cases, and we understand where the
6 differences are.

7 So, the issues to be resolved. Now, I don't have
8 any here in that category. The low-level waste issue, I'd
9 rather bring back in the fifth one down because it's
10 identified there.

11 All the issues to be resolved from the work that we
12 have done so far in the workshop, I do not have a list of
13 those in my record of the meeting. Any bids for issues to be
14 resolved?

15 (No response.)

16 MOTE: Okay, additional models/tools/codes with similar
17 capabilities? We have talked about the IAEA, the codes that
18 they have, and we've talked about the OECD, NEA, and they
19 have a code. We have talked about benchmarking from that. I
20 said at the beginning in the opening that in parallel with
21 this meeting, with this workshop, the technical working
22 group, the IAEA's section called NEFW, Nuclear Energy Fuel
23 Cycle and Waste, that they have a technical working group
24 meeting going on now, and they would like to know what comes
25 out of this meeting, and would like to take the output from

1 this as an input to one of their meetings, potentially the
2 next one in three months time.

3 They are also going to discuss in their working
4 group meeting this week, the extent to which the members of
5 that group know about the codes that we can bring into the
6 community here for comparison, to the extent that might be
7 necessary, and if it's not, it will certainly let the
8 operators of those codes know what we have done, and they can
9 take the results and do whatever they want to with those to
10 broaden the discussion within the community.

11 Is there any other action that we need to do, that
12 we need to take with respect to identifying other codes,
13 models, looking at results, comparing and advising other
14 people of what we have done here?

15 MURRAY: Can I make a general comment?

16 MOTE: Absolutely.

17 MURRAY: This exercise has been a real success. We have
18 enjoyed it. I think everybody has participated here. But,
19 one of the most important things that's going to come out of
20 this was this was a benchmarking exercise, and we can't have
21 any firm, fixed conclusions about future US policy based on
22 this exercise today.

23 MOTE: I think we're all agreed on that.

24 MURRAY: I know, but I think we need to clearly state
25 that somewhere.

1 MOTE: Okay. Well, we will produce a note from the
2 meeting, and that will be sent to State.

3 MURRAY: Excellent. But, one of the other things that
4 clearly came out today was we've all got to go back and run
5 our codes again. Instead of looking at hypothetical fuel
6 cycles, why don't we all agree that we're pretty much all in
7 the same ballpark on our codes, why don't we look at a real
8 scenario of the US based on conditions that are relevant to
9 the US.

10 MOTE: You mean this one down here?

11 MURRAY: Well, yes, but you need fast reactors. So,
12 these are all question marks. They're question marks after
13 all.

14 MOTE: It's not meant to be a sheet of these things we
15 need to talk about. If we decide not to do them, we'll do
16 them left handed instead of right handed, or anything, that's
17 fine. This was merely a set of discussion points.

18 MURRAY: Yes. I don't believe we finished what we're
19 trying to do here first, before we start broadening--

20 MOTE: Well, let's go back up to the first two there.
21 What else is there from the workshop that we still have to do
22 here that we need to do?

23 MURRAY: We really need to look, that the US has unique
24 regulatory requirements, totally different from the rest of
25 the world. We're also unique from the rest of the world that

1 we have this huge stockpile of used nuclear fuel. Nobody in
2 their right mind is going to go ahead and build a 1500 ton a
3 year plant or a 3000 ton a year plant, for the very reasons
4 we saw. We'd run out of material to process through it. So,
5 as industry, and I'm talking to Chris here as well, and hope
6 Chris doesn't mind, but maybe we could set the parameters, we
7 could write down the parameters to say okay, we start
8 recycling in the US as industry, this will be the size plant,
9 we'd operate that, these are the regulations we'd have to
10 operate under and why, and move forward that way.

11 MOTE: Well, will you move to the next slide, please?

12 Thanks.

13 I think what we're moving into is--and certainly I
14 have no problem bouncing between the slides because it's
15 meant to be if not iterative, then as flexible as we need to
16 be. I think we're talking about other technical panel
17 working groups, which would be some representation from the
18 people here in defining some of the steps and where we go
19 next. Now, who we is is another point of discussion. And,
20 the Board at lunchtime had a discussion about exactly what we
21 should be doing because we're at risk of getting outside our
22 mandate. So, at this point, we need to be very clear on that
23 we set up this meeting, we're not clear what further
24 involvement we need to have, and that's a discussion that's
25 still continuing.

1 So, without saying we, meaning the Board, we as a
2 community need to define how we go forward in these areas.
3 If AREVA wants to be part of that, with Energy Solutions,
4 maybe DOE needs to be part of it, maybe it's all of the
5 players who have activities in the area or related, that's
6 fine, but if we at the end of this discussion get to--we've
7 got three or four different action items, and we've got
8 players identified who want to be involved, and there's a
9 time scale anyway, that's great. I mean, that's exactly
10 where we obviously need to go.

11 MURRAY: Because, at the end of the day, well, it's two
12 options at the end of the day, the government pays for this,
13 or industry pays for this. So, if the government is going to
14 pay for it, go at it and design fast reactors, you know,
15 whatever you want to. But, if industry is paying, then maybe
16 industry should talk about what scenarios we see could be
17 deployed, and then look at it and say, you know, we're open
18 to suggestions and comments and things we haven't thought
19 about before.

20 ABKOWITZ: Abkowitz, Board.

21 I like that. I think Paul has set the table quite
22 nicely. It seems to me that--you made a comment earlier
23 during the workshop about realistic scenarios and boundary
24 conditions, and I think everyone would be better served if we
25 can pick a date, 2100 or some other date, and then basically

1 say within the time space between now and then, what are the
2 family of realistic scenarios that we can agree represent
3 what this world might look like in this respect.

4 Or, if that's too difficult because some people
5 have much more optimistic views of new technology than
6 others, maybe we just say well, let's stay within the light-
7 water reactor world until such time as--until some date, and
8 talk about what we can do within that scope.

9 But, I do think we have to anchor it in something
10 that's, you know, time dependent and starts with where we are
11 today.

12 MURRAY: It comes back to my argument as well. I'm
13 sorry for talking--but it comes back to my argument as well,
14 is we don't have to commit 100 percent to anything at this
15 stage, and we never do have to. The scope of the problem is
16 so big in front of us that we have options. But, what can we
17 start with to move forward?

18 ABKOWITZ: Ali?

19 MOSLEH: I think that relates back to the discussion
20 this morning about the scope, for instance, if we want to
21 look at realistic scenarios, the question is what sort of
22 questions would be issues we want to try. Because otherwise,
23 the scope, as I see it from a sample of problems and
24 capabilities that you have introduced so far, that a wide
25 range of things that different models can address and tackle.

1 So, as a community, maybe identification of a set of core
2 issues or questions, based on which scenarios to develop to
3 be the first action.

4 MURRAY: I think one other thing is missing, is the
5 ultimate repository of the high-level waste, which would
6 dictate the unloading of the high-level waste that industry
7 would strive for. You know, you get us a repository, we can
8 go to higher heat load, and that encourages us to produce
9 phosphate based glasses to get higher loadings.

10 MOTE: I'm not sure how we handle that here.

11 MURRAY: That's going to be a big driver for the
12 ultimate waste volume.

13 MOTE: Well, maybe that's something we need to define in
14 the scenarios.

15 MURRAY: Uh-huh.

16 MOTE: Andy?

17 KADAK: Just an observation. In looking at some of the
18 MIT benchmarking study, we also have agreed we're kind of in
19 the same trend. We've got the same general idea. But, if
20 you look at the details of the results, they're quite
21 different in terms of scenarios and number of plants that are
22 being deployed. I just took a look at the MIT benchmarking,
23 and yes, grossly, we're kind of on the up-curves. But, if
24 you look at the details, they're quite different.

25 So, even though--and, you're also are pretty

1 comfortable with your models. They are different. And,
2 maybe based on assumptions--but, that needs to be understood
3 better, because we can't look at the model, individual models
4 and say well, Model A predicts this, and, therefore scenario
5 for future fuel cycles should be that, when Model B predicts
6 a dramatic drop. So, there's no what I would call coherence
7 in the modeling to be able to reach any kind of decision
8 making.

9 Our interest, I think, as a Board is really on the
10 waste forms. We talked about this earlier. In other words,
11 if we go to a UREX A, whatever you call the numbers, A1, B1,
12 C1--

13 MURRAY: DOE doesn't use that anymore.

14 KADAK: Whatever you use today, I don't know how all
15 that was reflected here, the whole non-proliferation
16 discussion, but you can have separated plutonium. It's
17 crucial to this conversation. And, the chemistry, as Steve
18 points out, way different. You can't assume 99.9 percent
19 separation. You've still got stuff. And, that level of
20 detail is where I think we would like to have a better
21 comfort zone about what are we going to do with this waste,
22 whether it be vitrified waste, whether it be A, B, C, D, and
23 the volume.

24 So, if we could come to some--and, this is from the
25 Waste Board's perspective, at least from mine--understanding

1 of how to fine-grain it a little bit better on that side,
2 given the chemistries, I think that would be important to do.
3 But, the only model I saw that's capable of doing that was
4 perhaps AREVA's, because they do it.

5 PIET: Can I--

6 KADAK: Sure.

7 PIET: First off, I can't speak about all the other
8 models, but VISION can do a lot of what you're talking about.
9 We've got a different model, and maybe other people do, too,
10 called FIT, which is really chemistry and waste forms, and so
11 forth. Now, VISION and FIT do some things that are
12 overlapping because they have different related purposes.
13 But, if, for example, the Board wanted to get into how--let
14 me start over.

15 There are trade-offs. When I choose a separation
16 strategy, or for that matter, a fabrication strategy, it's
17 not just the number of nines, but it's the order of events,
18 sequence of events, so I can shift the equilibrium so that I
19 have relatively dirty waste, or relatively dirty fuel
20 products. Dirty in this sense means something that I didn't
21 want to have there.

22 So, one of the things we're struggling with in the
23 fuel cycle program is I can have less transuranics in my
24 waste, which has advantages, and so forth, with regard to
25 waste classification, if I were willing to accept more

1 fission products in the recycled material that I'm going to
2 make--do fuel out of. It's a chemical equilibrium shift.
3 And, how those things trade off against each other is not
4 well understood.

5 KADAK: And, I think that's very important, because as
6 Paul said, the repository is affected by what you produce as
7 junk.

8 PIET: Absolutely.

9 KADAK: And, if you have bad stuff the repository can't
10 hold or requires, you know, "X" number more million cubic
11 feet, that's a problem. So, there's much more integration to
12 do here, and we're struggling to figure out what is our
13 proper role because we're not policy makers, but we're sort
14 of commenters on directions. And, maybe DOE has something to
15 add here on this. Where's Jeff? Is he here? He just left,
16 okay.

17 MURRAY: One of the other things, a salt repository is
18 the panacea for everything. Everything can go into a salt
19 repository. If that's true, we don't need fast reactors. We
20 don't need advanced separations. We send everything to the
21 salt repository and just use LWR MOX.

22 KADAK: We haven't looked nearly as deeply as we need to
23 on that.

24 MURRAY: You know, maybe the Board could set a current
25 set of guidelines for each type of repository that would help

1 us determine which is the best.

2 MOTE: Mark?

3 ABKOWITZ: Abkowitz, Board.

4 I wanted to follow up on this conversation, and
5 introduce another one that's somewhat related. It would seem
6 to me that in addition to talking about realistic scenarios,
7 we should also work together to come up with an agreed-upon
8 set of waste management criteria, or some type of indicators
9 so that we know what we're trying to measure and we can
10 discuss, you know, in useful terms what the trade-offs are
11 from these various scenarios.

12 What I also wanted to mention, this is--Steve was
13 talking about flying with other pilots going into the
14 darkness. This is actually my second experience in less than
15 a week. I, along with George Hornberger, who is a colleague
16 of mine, and on the Board of Vanderbilt, we co-hosted a
17 climate change risk analysis last Thursday and Friday, and we
18 heard from the climate scientists and, you know, there's at
19 least as much uncertainty in their models as there are in
20 these.

21 But, one of the things that struck me in terms of
22 the summit that we had was an agreement that there needs to
23 be better communication and interaction between the modelers
24 and the policy analysts and decision makers.

25 And, so, one of the areas that I think would be

1 fruitful is to not only work on how we can best communicate
2 the kind of information that we're producing, but the other
3 thing is to try to prioritize where the uncertainties are
4 likely to offer the greatest confusion. And, if we can maybe
5 come to terms with the fact that if we don't agree on certain
6 uncertainties, but it doesn't really change the robustness of
7 the results, you know, that's not where you want to put your
8 energy. Maybe there's a way we can try to identify what the
9 key uncertainties are that are going to drive the waste
10 management implications, and that would then be the target to
11 try to work better at modeling those relationships.

12 MURRAY: I believe DOE, through any UP program, is going
13 to come up with a fuel cycle simulator, which might go some
14 way to answer your policy questions.

15 MOTE: John? Do you know who's working on that fuel
16 cycle simulator?

17 MURRAY: Jeff can answer the question?

18 ABKOWITZ: Actually, Steven is the best one to answer
19 that question.

20 PIET: Well, in general, it sounds like you need, some
21 or all of the Board needs to sit down with the leadership of
22 the fuel cycle technology program that John and I are part
23 of, because more and more I'm hearing topics that you guys
24 are discussing just now that are things that are going on
25 either in Systems Analysis, where I sit, Separations and

1 Waste Forms, where John sits, the Used Fuel Disposition, you
2 talk about scenarios, we'll have to create new ones, we can
3 give you some of the things we've analyzed.

4 But, one of the reasons this is an intractable
5 problem is that it is a mixture of the hard engineering and a
6 soft sciences, and we have to remember that that mixture is
7 out there. And, the problem is that each one of these
8 entities that I mentioned, the Board here, we all have our
9 charters and there's no macro charter that involves policy.

10 The Blue Ribbon Commission, I guess, has that to
11 some degree, but they're not going to get down in the
12 details. That's just not what they're constructed to do.
13 So, you guys can't do policy. John and I can't do policy.
14 OMB is going to do policy? I don't know. But, that's the
15 part of this that I don't think is very clear.

16 KADAK: But, don't you think DOE should do policy? In
17 the real world, they're the responsible agent for disposal.

18 PIET: As long as the microphones are on, I'm not going
19 to answer that question.

20 MOTE: And, would we implement policy? Okay? When
21 people are commenting, they go to the mike and introduce
22 themselves. Thanks.

23 GIDDEN: Okay, Matthew Gidden, University of Wisconsin.

24 Quickly on the NEUP fuel cycle simulator question.
25 I was in the recent call for proposals by the NEUP, but they

1 have not yet made a decision about who is funded and what the
2 project is going to be. So, that would be the near future, I
3 want to say probably the beginning of fall, end of summer,
4 I'm not 100 percent sure on when that comes out. But, it's
5 there. It hasn't been decided on who's getting the funding.

6 PIET: I would not make huge assumptions on how much
7 money is going to go into those. Realism isn't important
8 there, too.

9 BRAD WILLIAMS: Brad Williams, DOE NE, and I can answer
10 some of these questions. I'm actually in charge of that
11 program.

12 MOTE: Welcome. We welcome your input.

13 BRAD WILLIAMS: Thanks. I do have to be a little vague
14 because we haven't made announcements, but the fuel cycle
15 simulator is something that we have been discussing about
16 over the last year or so. We're trying to get it started.
17 The idea is that it would be a tool, a full simulator from
18 mining to disposal, open source, module based, with a heavy
19 focus on the user interface visualization as a communication
20 tool so that we could work with policy makers to come to
21 decisions on specific fuel cycles.

22 The other part of the picture is within the fuel
23 cycle program, we are implementing a systems engineering
24 approach. We just recently evaluated over 800 options.
25 Theoretically, every potential fuel cycle that you could

1 imagine was included in that. In February, we finished a
2 demonstration of that screening process, and in the coming
3 years, in 2013, we'll try to conduct a formal screening to
4 consider all of these different options and set of metrics
5 that would be important, and different weighting, depending
6 on policy considerations.

7 So, we do have a very active program within NE,
8 looking at many of the things that you guys have been
9 discussing the past two days. This fuel cycle simulator
10 theoretically would do exactly what we have been talking
11 about yesterday afternoon and today. We're trying to get it
12 started, part through the NEUP and also through our program
13 with the National Labs and with industry.

14 We held an initial workshop a few months ago. I
15 believe someone from the Board participated.

16 MOTE: Gene and I were there. Paul was there as well.

17 BRAD WILLIAMS: Right. And, we'll have another one
18 coming up in the next couple months, later this summer, and
19 I'll make sure that you guys are included in that. But, I
20 think conceptually, it would address almost all, if not all,
21 the questions that have come up.

22 KADAK: I guess I'm confused again. We have VISION, we
23 have ORION, we have CAFCA, those are arguably fuel cycle
24 simulators. So, we're doing yet another one?

25 BRAD WILLIAMS: No. And, that's a key that we don't

1 want to reinvent the wheel. We're looking at everything
2 that's been done. We want to come up with something, much
3 like what you're doing, come up with something that everyone
4 can agree to. Maybe it's using one of the existing models.

5 But, the key I think is making it a tool that both
6 researchers can use to identify where more research needs to
7 be done on certain technologies, but also as a policy or
8 communication tool, both here in Washington or with the
9 general public, so that we--right now, VISION, for example,
10 our number one tool, we generate a 500 page report that, you
11 know, people can't even get through the Executive Summary,
12 let alone the whole report.

13 We want something that is quick and easy for less
14 technical people. So, it's essentially developing a user
15 interface and making sure it's consistent with all of the
16 existing models and making changes or connections and links
17 where needed. But, it's more to enhance the current
18 capabilities so that they can be as useful as possible.

19 KADAK: I think you should put the Board on distribution
20 for your workshops, and also for any reports that you might
21 have on what you have so far.

22 BRAD WILLIAMS: Okay.

23 KADAK: Thank you.

24 ARNOLD: Do I conclude from listening to you that you
25 really haven't decided how to proceed? You're looking at the

1 various input pieces.

2 BRAD WILLIAMS: We're still in early development, and
3 with budget uncertainties and program priorities and shifting
4 focuses, it bounces around a little bit, but we're coming to
5 more of a focus, most likely with a major emphasis on getting
6 university teams to do a majority of the work, with our
7 National Lab led campaign doing the oversight. But, we're
8 still getting started with it, and it has--the method has
9 shifted a little bit as we've been going forward, and until
10 we know how much funding we can put towards it in the next
11 couple of years, it's still a little bit unclear.

12 ARNOLD: Okay, another question. These scenarios are
13 input to a policy making effort. Is DOE facing up to making
14 those policy decisions?

15 BRAD WILLIAMS: We are evaluating all of the options
16 from a technical standpoint of looking for gaps, where we can
17 focus R&D so that they would apply to the widest set of
18 options, so that we can have the information available to
19 those who do make the policy decisions, and we can inform
20 them.

21 ARNOLD: Who are they?

22 JEFF WILLIAMS: It depends what the question is. Okay?
23 I mean, if it's a repository somewhere, obviously it's not
24 DOE.

25 Jeff Williams from DOE. All I was saying was it

1 depends on what you call a policy decision and what level
2 that policy decision is. And, in many cases, we are, as I
3 said, we are the policy implementer rather than the policy
4 maker. The Nuclear Waste Policy Act was Congress, the
5 President, and our job was to implement it until they changed
6 it to the Nuclear Waste Policy Amendments Act. So, now,
7 there's other decisions that are made that some people may
8 call policy, that DOE can make.

9 MOSLEH: Your timeline horizon for developing this
10 integrated path, what is that timeline?

11 BRAD WILLIAMS: We would like to have at least a
12 demonstration of the capability by the end of 2012, early
13 '13, but again, it depends on the funding that we're able to
14 apply to it. But, in the next couple of years with a fully
15 operating line, say five years from now. But, again, it
16 depends on budgets and funding levels and priorities.

17 MOSLEH: Do you agree with my characterization of it
18 being an integrated existing capabilities, to the extent that
19 you can actually get access to them.

20 BRAD WILLIAMS: Yes, initially that is the approach
21 we're taking.

22 PIET: Can I add one thing. John Greeves yesterday made
23 a good point about the need for waste to communicate. Brad
24 and I and others use the word visualization. I threw some
25 things into particularly my last talk that were not requested

1 in the benchmark, I think you called it philosophy. Well,
2 it's a "P" word, so, you know, policy, philosophy, maybe
3 they're close. But, I think all of us need to search and
4 concentrate new ideas on how to get some of these concepts
5 across to people that are less technical than the folks in
6 this room. I don't think we've got the answer. I think we
7 need more explanation of possibilities, because yes, we want
8 to communicate, but we've got to do some testing and
9 exploration on just what does communicate. Of course, we
10 can't decide that here. We can dream up things. But, we've
11 got to do some testing there.

12 WORRALL: In fear of being slightly controversial, we
13 just heard the DOE statement that by 2012, '13, they're
14 looking to demonstrate capability. But, only two or three
15 hours ago, we heard from Andy, who said--I think it was Andy,
16 said in this room, we have demonstrated and shown the
17 capability to deliver on fuel cycle modeling and assessment.
18 So, somebody is wrong. I believe I'm on that gentleman's
19 side there, who said--and, also, this is back to the fuel
20 cycle meeting we just referred to, I think it was the
21 Advanced Fuels Campaign that was in Atlanta--I'm sorry, Jeff,
22 in Atlanta? The Atlanta meeting, where at the end of it, the
23 industry partners and AREVA were there and Westinghouse, and
24 I just mentioned others, and Ed LaHood from Westinghouse
25 said, "In terms of these tools, you don't need to develop

1 anything else." There are two already in place, and with our
2 fear of--ORION is one of those two--and we didn't pay
3 Westinghouse a single cent for them to say that. But, the
4 other one was the code I mentioned, the AREVA code yesterday,
5 is COSI or COSAC the equivalent for the AREVA side?

6 So, if these things already do exist, it's just
7 understanding here, based in the current climate, with lack
8 of funding, lack of resource, lack of time, I think
9 utilizing, which is I think is about the same, is actually
10 taking what we already have and looking for the best way
11 forward. I think we are 90 percent--let's not reinvent the
12 wheel because it will only just add time and delay onto these
13 things. We have the capability in place today, and the
14 expertise, to make those assessments.

15 VIENNA: I'd like to make a comment, too. This is John
16 Vienna from PNNL. You had asked a little while ago what you
17 could do with this tool? How you could develop it and where
18 it could be applied? And, one idea I have that would be very
19 timely is to use it to study the different disposition
20 options for low-level waste, and in particular, the NRC is
21 relooking at Part 61, which has the potential to change the
22 infrastructure for how we classify and dispose of low-level
23 waste. And, right now, there's dis-incentive to reducing
24 volume of low-level waste, as we've all heard. And, from
25 reprocessing over 70 percent of the low-level waste is

1 amenable to readily available proven technologies that could
2 volume reduce it.

3 We don't use those in the US because of the way
4 Part 61 is written right now. So, right now, we have the
5 Blue Ribbon Commission and others saying that all waste is
6 the same, and if you reprocess, you're going to increase the
7 amount of waste that you have to dispose of, and they don't
8 understand the difference between low-level waste and high-
9 level waste. And, we have NRC relooking at the Part 61, and
10 that may change dramatically how we dispose of low-level
11 waste.

12 So, I think if you could tailor your tool to look
13 at those options that give guidance to the policy makers for
14 low-level waste, it would be very timely.

15 MOTE: What I'm hearing, I think, is that there are two
16 parts to this discussion, which I think can be treated
17 separately. One is do we have codes that can do what we want
18 now, and do we have enough redundancy that we don't need to
19 do anything else? And, that's a discussion I think that we
20 have heard both sides of. So, getting to an agreement--a
21 consensus on that I think would be the target.

22 The second one is what else can we use the codes
23 for that we have now? And low-level waste is one that's come
24 back time and time again. And, by low-level waste, I'm
25 hearing everything that's not high-level waste, and that it's

1 Class A, B, C, and greater than Class C in the US, and what
2 other countries might consider intermediate or low. And from
3 earlier in the workshop, a history that Gene put up, which is
4 there is indecision as far as we know in how you would deal
5 with reprocessed uranium as a waste stream. I know in
6 Europe, it's treated very much as a low-level waste, and it's
7 not--does not seem to be a significant problem, maybe with
8 some delayed storage. But, in this country, there's no
9 determination of how recycled uranium tails would be disposed
10 of.

11 So, if I package low-level waste to include things
12 that may not be strictly low-level, but that they could well
13 be and they need to be considered as other waste streams
14 that's not vitrified high-level waste, and there are two
15 actions that I see from that discussion. Is that a fair
16 statement? Is there any clarification, dissent, counter-
17 suggestions? Steve?

18 PIET: Well, let me at least throw out, there's one
19 other activity going on that you may or may not be aware of,
20 and that is in addition to the Blue Ribbon Commission, in
21 addition to 10 CFR 61, et cetera, et cetera, et cetera,
22 there's also a DOE EIS procedure that's going on with regard
23 to greater than Class C waste disposal options. They have a
24 draft EIS. Public hearings have started. I attended one as
25 a private citizen in Idaho two weeks ago. So, they're

1 looking at above-ground vault, enhanced, near surface burial,
2 and an intermediate depth borehole.

3 And, if you go with the two by two matrix that I
4 mentioned, none of this is high heat generating waste, so
5 it's long lived, but low heat. And, so, how that plays in
6 with all these other acronyms, I will confess to be confused.
7 But, all these different things are going on. Whether it
8 adds up to a consistent strategy on behalf of the US, if it
9 does, my guess is it's going to be more because of accident
10 than because of any coordination.

11 MOTE: If I look at the bullets we have up here, I can
12 see a working group on codes and a technical panel on low-
13 level waste types, including taking account of the DOE EIS
14 consideration, including boreholes, and some of these things
15 become cyclic, because boreholes have other characteristics,
16 other potential applications as well. But, that would be
17 boreholes in the context of an EIS, looking at some part of
18 the low-level waste disposal issue. Is there a comment on
19 that that may fit into a technical panel or working group?

20 MURRAY: Bring it back full circle again. We've loved
21 today and yesterday because fundamentally as industry, we
22 cannot agree on the waste volumes we would generate from
23 recycling. That's it. No matter what codes we've got,
24 anything else, we cannot agree how much waste we produce.

25 So, the first step we do before we start looking at

1 fast reactors, repositories, is to go back and find out why
2 we don't agree. And, I think we take it to the context of
3 the scenario, a realistic scenario for a small plan in the
4 US, look at the outputs, all in the same scenario, come up
5 with the same waste volumes, that's the next logical step to
6 do before we start doing anything else. It doesn't matter
7 what anybody else is doing. Figuring out what the waste
8 volumes are from recycling, nobody can agree.

9 MOTE: Mark?

10 ABKOWITZ: I just wanted to get clarification on that.
11 Your proposal, Paul, would be that we define some realistic
12 scenarios.

13 MURRAY: Yes.

14 ABKOWITZ: And, waste indicators?

15 MURRAY: Just one realistic scenario.

16 ABKOWITZ: And, then, the modeling community comes back
17 at that.

18 MURRAY: Yes.

19 ABKOWITZ: Now that we've done the benchmarking, and we
20 see where we land in our predictions, and discuss why they're
21 different, if they are in fact different.

22 MURRAY: Yes.

23 ABKOWITZ: When you say just one scenario, why just one?

24 MURRAY: Let's just pick one.

25 ABKOWITZ: Well, I was going to say if we're going to go

1 through the effort, we may want two or three that are--

2 MURRAY: I think the point is make is realistic.

3 ABKOWITZ: Yes, I absolutely understand.

4 MURRAY: Make it realistic and agree on one.

5 ABKOWITZ: Right.

6 MURRAY: And, what we do after that, we can all go our
7 own separate ways. If they're all benchmarked, we all know
8 we're saying the same thing at one point in time, and then we
9 can go on.

10 ABKOWITZ: Okay, thank you.

11 KADAK: I'd like to share Steve's frustration with the
12 greater than Class C waste. To account a little story when I
13 was president of the Yankee Atomic, and we had greater than
14 Class C core baffle. We said, "What are we going to do with
15 this?" And, the answer was, "We need to show DOE the way."
16 So, we cut up this core baffle, and we put it in what we
17 called a spent fuel shape, if GTCC is supposed to be in a
18 geological repository, or something equivalent. So, we
19 figured maybe we can make it look like a spent fuel assembly,
20 put the slice of metal in a spent fuel-like assembly, like a
21 BWR, put it in a cask, seal it like a spent fuel can, that
22 maybe DOE will understand that maybe it could go into a
23 repository. No.

24 The problem is not the EIS. The problem is the
25 law. Somebody, when they talked about greater than Class C

1 waste, called it low-level, when it's really high-activity
2 waste. Worse than spent fuel over the duration. So, it's
3 not--I mean, the EIS, shallow burial--do this, and do that.
4 It's geological. Okay? And, I think the problem I think
5 Paul raised, it's the regulation, the classification that
6 needs to be fixed first. Then, we know how to dispose of
7 waste based on its risk level, why won't some re-finate from
8 some reprocessing plant that was conceived in 1952.

9 PIET: Andy, there was a Catch 22.

10 KADAK: Yes.

11 PIET: If you go back and read, without falling asleep,
12 the technical reports that led to 10 CFR 61, and I've gone
13 through parts of it, but they're very sleep-inducing, the
14 regulator takes, if you will, the opposite position, at least
15 the NRC did at the time, which is they looked at all the
16 possible waste streams that they saw at that time, and then
17 said oh, well, these, these and these, we don't have to worry
18 about those yet because nobody is doing them yet.

19 So, they wrote the regulation on the basis of the
20 waste forms they knew they had to regulate. So, they left
21 this whole zone between high-level waste and A,B,C amorphous,
22 and it was a deliberate decision on the part of the NRC,
23 because nobody was pressuring them to set regulations.

24 So, you can't do anything without knowing the
25 regulations. The regulations aren't going to appear without

1 someone wanting to do something.

2 MOTE: Can we bring this back in? It's a great
3 discussion, but we need to focus on where we're going.

4 So, I was hearing earlier there were two things
5 that were of interest to the group to take another look at
6 with a smaller group in the near future. I'm not sure, Paul,
7 that I was hearing you saying we don't need to do that until
8 we've done another scenario. But, to some extent, how you
9 would deal with low-level waste is not conditioned on how
10 much there will be.

11 MURRAY: Well, I beg to differ. In the US, we have so
12 many options, you know, waste isn't classified until it
13 actually gets ready to leave your plant. It's what you do
14 with it before that time is up to you. So, in Europe, we try
15 and segregate the waste, minimize waste volumes. In the US,
16 it's totally opposite, and sometimes, it's better to blend
17 your waste and create a bigger volume before you start
18 shipping out the door.

19 So, I think it's important that we agree what the
20 minimum waste volumes are from a set scenario, and then look
21 at the options for each of those waste streams, for its
22 ultimate disposal. Does that make sense?

23 MOTE: Well, it does if the consequence of selecting the
24 scenario, or the consequence of the scenario you select is
25 going to determine whether or not you have waste in certain

1 categories, then yes, except for as Mark said. You know, if
2 we pick one scenario, it might be a realistic scenario. It
3 may not be the scenario that ends up being--

4 MURRAY: Here's a scenario. If I separate my short
5 lived low-level waste, and I never ship off my site, it's not
6 waste. I store it on site and it decays to nothing. It's
7 not waste. Under the regulations, it's not waste. I'm not
8 shipping off site to dispose of it. I'm keeping it on site.

9 KADAK: It's a fine point, but I think NRC is now
10 looking at regulations, and help me if I'm way off base, but
11 they're looking at the amount of low-level waste now being
12 accumulated at reactor sites, and establishing perhaps more
13 stringent criteria for watching it as it, whatever it's
14 called.

15 MURRAY: Some say license it as a storage facility, I
16 can keep it on site.

17 KADAK: They may end up doing that. Okay, is a
18 consensus that--Eugene?

19 SHWAGERAUS: Yes, it's not exactly on the same subject.
20 But, it's related to path forward where should--what should
21 the next step be. We're discussing what is expected from
22 this fuel cycle simulation code, and it seems like the focus
23 is drifting towards we have to get more precise modeling of
24 reality, or you have to get more realistic with respect to
25 this scenario, but getting back to the uncertainty, it may be

1 a time to recognize that uncertainty on everything,
2 assumptions, you know, data, is so large that it's impossible
3 to make a prediction or pick a realistic scenario.

4 So, instead of focusing on making the precision of
5 the codes better, maybe the focus should be to have a tool
6 that will help create a system, a fuel cycle system, you
7 know, with all the components of this fuel cycle that will be
8 robust and prone to the potential changes in policy, and
9 assumptions, there's so many things that can happen, you
10 know, nuclear accidents, God forbid, right, they could stir
11 things 180 degrees from one thing to another. And, if you
12 base your policy decision on this specific scenario, thinking
13 that it's realistic, then you commit a large amount of
14 resources to that, that, you know, post factum, could be
15 considered as a mistake.

16 So, maybe the focus, at least some effort should be
17 devoted to thinking that these tools should be a help to
18 create these versatile and robust systems that are adaptive,
19 basically, to these changes. So, recognize the fact that
20 uncertainty is inherent and it's so large, and there's
21 nothing you can do about it.

22 MOTE: Isn't that different from Paul's position,
23 though? I mean, Paul's position is we can determine where
24 we're going, not by making a decision, but by saying if it's
25 going in this direction, it may preclude needing to deal with

1 some of the low-level waste streams. If we want to do what
2 Eugene is saying, it means keep all your options open. And,
3 those two seem to be at opposite ends of the scale.

4 SHWAGERAUS: They're not contradicting.

5 MURRAY: They're two options. It comes down to, again,
6 who's going to pay for it. If DOE is going to pay for it,
7 then all the options should be on the table, and maybe that
8 should be one scenario we look at. If the government is
9 paying for it, we can have any scenario we want. But, if
10 industry is paying for it, what's the scenario industry would
11 deploy to start the cycling in the US? There's two
12 scenarios.

13 MOTE: Is it any more realistic to expect that industry,
14 I mean, it's easy to say industry as an indication of a
15 single body--

16 MURRAY: Well, let me and Chris Phillips get together.
17 We'll come back and we'll say this is the potential scenario
18 that industry agrees. If it is on the table to pay for this,
19 this is what we would go and try and build.

20 MOTE: Is industry broader than that?

21 MURRAY: Well, they can come forward if they want to.
22 You know, you get GE, we're going to go to sodium fast
23 reactors, and stuff like that.

24 MOTE: Where is Rod? Would you want to be part

25 MURRAY: Absolutely.

1 MC CULLUM: Industry is broader than that. I mean,
2 industry is the electric utilities. Right now, our future
3 fuel cycle policy is driven by extending the operation of 104
4 plants, bringing 105th on at Watts Bar, building Vogtle 3,
5 Vogtle 3 and 4, perhaps plants, Bellefonte, and then as those
6 demonstrate their success, more light-water reactors.
7 Economically driven fuel cycle policy right now points us to
8 light-water reactors.

9 I look at the mission of this Board, which is to
10 review DOE's program. DOE has said today that their program
11 is to wait for the Blue Ribbon Commission to tell them what
12 to do, and that will also require Congress to enact
13 something, because as Jeff has said, you know, Congress makes
14 policies, DOE implements policy.

15 So, in terms of what there is on the table for this
16 group to do here, it has to be focused on light-water
17 reactors, and our continuing to move--is there something that
18 supports the continuing to move off the broader industry, in
19 the direction of light-water reactors. And, there's some
20 novel things like small reactors, on the table. Until DOE is
21 either directed by Congress or by the President to put in
22 place some other program, there's really not much else that
23 needs to be considered right here. I mean, that's--

24 MURRAY: When industry went before the Blue Ribbon
25 Commission, we couldn't agree on the waste volumes from

1 recycling. So, as if you--builds recycling plants, and
2 Energy Solutions who have access to the UK technology, and
3 also design recycling plants, we can put a realistic scenario
4 down--if anybody else designs recycling plants, they can
5 potentially join in as well, but, you know, what would
6 industry build in the US if we had to start?

7 MC CULLUM: You, really, as a review Board, have to look
8 at what's out there. And, I should say, in respect to GE,
9 there is a fast reactor design in the marketplace. But, you
10 know, it's a broad industry, but absent some other program,
11 it's hard to get too far out in front of this. There's a
12 move to extend the life of and build additional light-water
13 reactors. There is one potential fast reactor player in the
14 marketplace at this point. And, we're waiting for DOE to
15 have a program to fulfill its statutory obligation, the same
16 statute that creates this Board's mandate, to manage the
17 waste from those reactors. That's what this has to fit into.

18 MURRAY: But, don't you think the entire industry would
19 be literally interested to know how much waste was produced
20 by this cycling? Instead of one company saying A, somebody
21 else saying B, somebody else saying C, somebody else saying
22 D, if it's agreed, we could agree on a realistic scenario,
23 look at the waste that was produced, and all agree on that
24 waste volume, and not make a recommendation, just agree on
25 the waste volumes that would be produced by a particular

1 scenario, everybody moves forward.

2 MC CULLUM: I think it would be useful if there was a
3 program to address that waste. I mean, that's not going to
4 affect decisions to build new reactors at this point.

5 MURRAY: No. But, then, once you know the waste
6 volumes, then you can look at the next step, which is in
7 waste, where should it go, stuff like that. But, until we
8 know what those waste volumes are--

9 MC CULLUM: That's valuable. Again, I'm waiting for
10 some leadership from DOE on a program now.

11 MOTE: I think maybe for the record, we should say that
12 the Board may not be involved in some of this work, because
13 if it gets into policy issues and areas outside the Board's
14 mandate, we would not be part of that.

15 MURRAY: But, the Board's position is to look after the
16 waste, isn't it, the high-level waste?

17 MOTE: It's to review and comment on what DOE does.

18 MURRAY: Okay.

19 MOTE: So, we've got to be careful not to be out in
20 front of that. But, in the interest of facilitating that
21 there is a need to do that, this meeting is obviously
22 pointing in that direction, but we would want to be very
23 careful about that.

24 ARNOLD: Just maybe somebody could argue with me on this
25 point, but the Blue Ribbon Commission is itself a DOE entity.

1 It was not a separate entity. It was established by DOE.
2 People may have other opinions, but that's a fact. And, our
3 charge, our mandate is to review technical activities within
4 DOE. So, we're involved in parsing between those parts of
5 the Blue Ribbon Commission, those that deal with technical
6 issues and those which deal with policy.

7 MOTE: What I'm hearing is that Energy Solutions,
8 although Chris I think is out of the room, but I think--

9 PHILLIPS: We had already spoken about it, so--

10 MOTE: Okay. Energy Solutions and AREVA, two are
11 prepared to work together. Do we need to have a third or a
12 fourth body working with them to agree realistic scenarios,
13 or one realistic scenario, so that we can look at the--

14 MURRAY: If we can just get one scenario on the table
15 that we can all look at, then we can open it up afterwards.
16 It's really just one realistic scenario, the benchmark
17 models.

18 MOTE: All right. I feel like an auctioneer here. Is
19 that okay? Are we solved on that one?

20 ABKOWITZ: I was just going to say that we have to agree
21 on what the metrics are, the performance metrics are as well.

22 MURRAY: We'll take the US speculations, the EPA
23 regulations, groundwater regulations, everything.

24 ABKOWITZ: Okay. And, that has to be part of the
25 scenario, what the output measures are.

1 MURRAY: Most definitely.

2 MOTE: Okay, jumping through to are we going to have
3 responsibilities, and the schedule actually is on there, if
4 that's AREVA and Energy Solutions working together, what is
5 the sort of time scale for you coming up with a joint
6 scenario, that is, a jointly agreed single scenario?

7 MURRAY: Can we talk about it and get back to you?

8 MOTE: Sure. Coming back to the low-level waste issue,
9 are we saying that then we do not need to address potential
10 volumes of low-level waste of different categories until that
11 scenario has been defined, because there is something of a
12 cycle to be broken, and we need to start with the scenario
13 first? Because a theme that I heard through the workshop
14 with a number of people saying it, was we need to understand
15 better what the potential options are for disposing of low-
16 level waste, and what the volumes are.

17 Now, if from this scenario, presuming one of the
18 outputs which we did not ask for here as an output, would
19 need to be the low-level waste issue if that's going to be
20 dealt with, now, the Board's mandate doesn't cover low-level
21 waste but to the extent it impacts on things like
22 displacement of high-level waste volume, there may be a
23 secondary route by which we need to be interested in that.
24 But, is that scenario going to be looking also at generation
25 of low-level waste?

1 MURRAY: I'd say yes, because the requirements in place
2 in the US will drive us to recycling older fuel, and one of
3 the biggest low-level waste streams in the US will be grouted
4 tritium waste. Old fuel, the tritium is gone. It's all
5 leaked away or decayed away, pretty much.

6 KADAK: The other thing, I'm not sure our mandate is so
7 narrow as only high-level waste, because once you get into
8 the reprocessing side of it, it becomes part of that cycle.
9 So, I think generally speaking, low-level waste from nuclear
10 power plants is not in our domain. But, once you get into
11 the question of reprocessed outputs, I think it falls into
12 our domain.

13 MURRAY: The current regulations, everything that comes
14 up, first cycle reffinate, is always--

15 ABKOWITZ: Gene?

16 ROWE: Just need some clarification. Are you talking
17 about waste streams or waste forms, low-level waste streams
18 or low-level waste forms?

19 KADAK: My deal would be stream and then form.

20 ROWE: Both, yes.

21 MURRAY: I think it's a duly useful exercise.

22 MOTE: Yes. Okay, what other actions are there that we
23 need to take following this workshop? And, the ones that we
24 just talked about are the ones that I had down as issues that
25 I saw have been the focus of discussion that we were not

1 already covering here. Mark?

2 ABKOWITZ: Well, Abkowitz, Board.

3 A couple of things. You know, one is that if
4 there's any other related documents that people want to share
5 with this audience and with the public, make sure that you
6 follow up by getting that information to the Board, so we can
7 put it on our website.

8 The other thing is that there will be a follow-up
9 report of some form coming out from the Board that summarizes
10 the results of this workshop. And, before we get too far
11 along in that, we need to get some sense of what the
12 commitment is for updating the benchmark results.

13 MOTE: The time scale?

14 ABKOWITZ: Yes.

15 MOTE: Yes. Well, all of the participants have said
16 that where they acknowledged that there was a difference of
17 input, or there was an error in setting up the model, then
18 they would revise that. But, let's agree on a time scale for
19 that. Is it reasonable to get that out in the next two
20 weeks? I mean, all results in to the Board within two weeks
21 from now?

22 ROWE: I'm a little concerned about Steve, because he's
23 taking a week off. His son is graduating from college I
24 guess next week. So, he's not going to be around for a week.
25 So, two weeks may be a little--

1 MOTE: Okay, well, let's check that with Steve, and
2 then--has Steve gone finally?

3 ROWE: I think he left already.

4 MOTE: Okay. Then, we'll check with Steve and put the
5 date in the record. So, two weeks from now will be okay for
6 the participants who are still here? Okay.

7 ABKOWITZ: Abkowitz, Board.

8 I guess I have another question, which is if we are
9 going down this scenario and benchmarking path to Phase 2, or
10 whatever we want to call this, then I think we also need to
11 think about the medium or forum for which those results will
12 be discussed, and who will take the lead in coordinating that
13 activity?

14 MOTE: Maybe you can combine that with a follow-on
15 workshop.

16 ABKOWITZ: That's what I'm saying, is this a--will the
17 Board take that on, and are we looking at early fall, or
18 what?

19 MOTE: I don't know. I think my view is that the Board
20 could be the catalyst in putting that together, subject to
21 depending on the results and depending on what happens in the
22 other actions. It may be that we put that together, but with
23 a view that we hand off some of the responsibilities if we
24 find that it's getting outside our area. But, that's my
25 view. I'm looking for comment on that.

1 KADAK: Kadak, Board.

2 If the focus is on truly waste streams and waste
3 forms, I think we certainly could do that.

4 MURRAY: Yes.

5 MOTE: Okay. Time scale? Three months from now, four
6 months from now? October?

7 ROWE: We have a Board meeting in September.

8 MOTE: We do? So, maybe October? And, how far can we
9 get now? Is it reasonable to say same place, or is there an
10 idea that maybe Arlington is not the right place for the next
11 one, somebody will like it somewhere else? The agency in
12 Vienna has said that at some point, they would be happy to
13 host a sequel. If we're talking about a follow-on from this,
14 which is essentially US based, that would not, I think, be
15 the right time for that. That could be the one after the
16 next one. Is Arlington sometime in October a target that
17 everybody here can agree with at least in principle? Okay,
18 sold.

19 SPEAKER: When you said Vienna, I thought you meant--

20 MOTE: No, no, the other Vienna, the one where they have
21 no kangaroos. Are there any other--well, we have the
22 assignment. One off. The responsibilities really are
23 combined with that. But, if Energy Solutions and AREVA come
24 through with a single scenario, well, I guess we need a time
25 scale for that. And, you said you will advise us. That's

1 got to be time enough that all of the participants, and any
2 others who come along, can run the scenario in time to have
3 results for an October meeting.

4 MURRAY: I think so. I think we can do it.

5 MOTE: Okay.

6 MURRAY: Say within a month.

7 MOTE: Within a month? Okay, all right.

8 ABKOWITZ: This is Abkowitz, Board.

9 Just for those of you that are still here, and
10 actually a goodly number, if you haven't already communicated
11 when you registered, your e-mail address, please make sure
12 that you make that available to Linda Coultry or to one of us
13 so that we can keep everyone that's been at this workshop
14 apprised of the developments for the next one.

15 MOTE: All right. Are there other actions that we need
16 to follow-up on? We have one working group, a small one.
17 And, the one that I saw on low-level waste, we have put on
18 ice until we see what's happening with the scenario.

19 As Mark said, if there are any presentations that
20 have changed, apart from the new stuff, AREVA, Marie-Anne,
21 you changed some of the overheads, if you would let us have
22 the revised version, we will put them out on the website.

23 BRUDIEU: He has them.

24 MOTE: Oh, you have it already. Okay. Well, of course,
25 because we presented it. Yes, okay, I'm sorry.

1 Well, are we at the end of that discussion? I
2 think we probably are.

3 HARRISON: I'm Bill Harrison from the Board Staff. I'm
4 the IT guy. The one thing that came up that I'm not sure if
5 we've gotten resolved or not is Steve talked about the two by
6 two matrix of hot long lived, short lived, and he was having
7 difficulty mapping that to be registering the mandate world,
8 and there was some confusion about how everybody here
9 interpreted outputs. Is that another thing that needs to be
10 clarified, or did I hear that wrong, or was there need for
11 clarification about those outputs.

12 MOTE: I heard confusion about where they would go,
13 rather than there are other forms. But, that was part of the
14 discussion, any place we were just going through with Paul.

15 Did anybody else hear an outstanding issue in that
16 area?

17 (No response.)

18 MOTE: No. Thanks, Bill.

19 Just before Mark starts to close out, I would like
20 to recognize four people. And, we've all sat here with
21 things running smoothly, and that has been very easy. I've
22 been in meetings where it has not run smoothly. I have been
23 astounded at the number of changes that we've had in
24 overheads, the number of people who have been speaking, the
25 loud voices and quiet voices. And, these three guys back

1 here have done a stellar job.

2 Scott Ford is our established reporter, who will be
3 producing the transcript. Bill Harrison is the IT guy on the
4 Staff who has put the presentations together here. He and
5 Linda Coultrey, who is not here, but you've seen Linda around.
6 They were, I know, because I saw them, they were working
7 Saturday, they were in the office on Sunday, they were here
8 on Sunday. They've put the last week into this completely.
9 And, Julian Johnson, the sound guy, has done another
10 outstanding job.

11 I'm difficult to go on a mike, I know, and I've
12 seen people like it. I'll put Gene out just because he's on
13 the Staff and I'm not going to embarrass another
14 organization. Gene gets enthusiastic, as we all do, and then
15 forgets that he's focused on the mike. It's so easy to do,
16 everybody does it, so you three guys, thanks very much, and
17 Linda as well.

18 I'd like a round of applause for those guys.

19 (Applause.)

20 ABKOWITZ: Thank you, Nigel, and I certainly echo those
21 sentiments.

22 We do have on the program a public comment period,
23 and unlike yesterday, we have no one who is confused as to
24 whether they're signing the attendee list or the public
25 comment list. We've pretty much allowed this whole workshop

1 to be a public comment period, but if there is any other
2 comment that anybody would like to offer, this would be the
3 time to do that. Is there any additional participation?

4 (No response.)

5 ABKOWITZ: Okay, I'm supposed to be giving closing
6 remarks, and we're supposed to adjourn at 3:00. So, I think
7 we're going to do just fine.

8 MOTE: Two minutes.

9 ABKOWITZ: Two minutes, I can do two minutes.

10 MOTE: If you try hard, Mark, you can run over.

11 ABKOWITZ: Probably. Duquette is not here to bug me
12 about it.

13 In any event, there is another group that I would
14 like to recognize who have put in endless hours trying to get
15 their arms around how to develop this exercise, and have had
16 a lot of interaction with the people that have actually
17 performed the analyses. And, that's Gene Rowe and Bruce
18 Kirstein and Nigel Mote.

19 So, if you would join me in a round of applause for
20 them?

21 (Applause.)

22 ABKOWITZ: The culmination of a 36 hour event really
23 starts in the planning stages, months, if not years, ahead.
24 And, I can attest to the amount of energy that's gone into
25 getting us to where we are today.

1 I also would like to thank my fellow Board members
2 who elected to participate in this. As you know, we have our
3 public Board meetings, which are coincident with our Board
4 business meetings, and there's an expectation that you will
5 attend those as a Board member almost at all cost. But, when
6 we get into workshops, there is a lot of latitude in terms of
7 Board member participation, and it's generally a function of
8 whether or not that intersects with your sphere of influence
9 and interest.

10 It is not typical to have the majority of Board
11 members attend an individual workshop. So, I would like to
12 commend my colleagues, as well as indicate to the rest of you
13 the level of interest that this particular area and
14 initiative has.

15 I would also very much like to thank our
16 participants. We kind of threw something at you that may
17 have been somewhat unorthodox, given that your tools are all
18 designed for whatever purposes they are, and we asked you to
19 conform to something that was more narrowly defined, and
20 probably a little more planted towards things that we knew we
21 could do with our own tools.

22 So, I think it's very important that you agreed to
23 participate, and I appreciate the time that you put in, and I
24 know that some of you came long distances, either within the
25 US, or across the pond. And, for that, we are also very

1 appreciative.

2 And, finally, I would like to thank everyone that
3 has come. This was a workshop, a public workshop. Without
4 the interest and input from most everyone here, I think the
5 vast majority of the people that are not sitting at the
6 tables here, have interacted in one way or another, if not in
7 front of the microphone, then certainly out in the hallway,
8 and during the breaks. And, I think it's a testament to this
9 group that the level of interest has been sustained over the
10 last couple days.

11 We didn't anticipate the numbers to be this large
12 when we planned it, and I certainly would not have expected
13 you all to stay this long as you have. So, a thank you to
14 all of you.

15 And, with that, I declare this workshop adjourned.
16 Thank you.

17 (Whereupon, at 3:00 p.m., the workshop was
18 adjourned.)

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C E R T I F I C A T E

I certify that the foregoing is a correct transcript of the Nuclear Waste Technical Review Board's Workshop On Evaluation Of Waste Streams Associated With LWR Fuel Cycle Options, held on June 7, 2011 in Arlington, VA, taken from the electronic recording of proceedings in the above-entitled matter.

July 14, 2011

Federal Reporting Service, Inc.
17454 East Asbury Place
Aurora, Colorado 80013
(303) 751-2777