

UNITED STATES
NUCLEAR WASTE TECHNICAL REVIEW BOARD

TECHNICAL WORKSHOP ON THE IMPACTS OF
DRY-STORAGE CANISTER DESIGNS ON
FUTURE HANDLING, STORAGE, TRANSPORTATION AND
GEOLOGIC DISPOSAL OF
SPENT NUCLEAR FUEL IN THE UNITED STATES

Tuesday

November 19, 2013

Embassy Suites
1250 22nd Street, NW
Washington, DC 20037

OFFICIALS OF THE NUCLEAR WASTE TECHNICAL REVIEW BOARD
PRESENT

BOARD MEMBERS

Dr. Rodney C. Ewing, Chairman, NWTRB
Dr. Jean Bahr
Dr. Steven M. Becker
Dr. Susan L. Brantley
Dr. Sue B. Clark
Dr. Gerald S. Frankel
Dr. Efi Foufoula-Georgiou
Dr. Linda K. Nozick
Dr. Kenneth Lee Peddicord
Dr. Paul J. Turinsky
Dr. Mary Lou Zoback

EXECUTIVE STAFF

Nigel Mote, Executive Director
Karyn D. Severson, Director, External Affairs
Debra Dickson, Director of Administration

SENIOR PROFESSIONAL STAFF

Daniel Metlay
Gene Rowe
Bret Leslie
Roberto Pabalan

ADMINISTRATIVE STAFF

Linda Coultry, Meeting Planner
William D. Harrison, Systems Administrator

I N D E XPAGE NO.

Call to Order and Observations from the First Day Rodney C. Ewing, Ph.D. Chairman U.S. Nuclear Waste Technical Review Board	5
Logistics for the Second Day and Framework for the Breakout Sessions Nigel Mote Executive Director U.S. Nuclear Waste Technical Review Board	9
<u>BREAKOUT SESSION 1</u>	27
Facilitated open discussion of the implications of repackaging SNF for transport or disposal <u>Facilitator:</u> Mr. Rick Daniel, Cool Landing Facilitating <u>Rapporteurs:</u> Lee Peddicord, Ph.D., and Paul Turinsky, Ph.D., Board Members	
Opening Industry Perspective: Repackaging Used Fuel at Commercial Nuclear Power Plants Adam H. Levin AHL Consulting.	28
Opening NGO Perspective: Pushing the Envelope Marvin Resnikoff, Ph.D. Senior Associate Radioactive Waste Management Associates	36
<u>BREAKOUT SESSION 2</u>	222
Facilitated open discussion of the implications of direct disposal of large dry-storage canisters <u>Facilitator:</u> Dr. Bret Leslie, Board Senior Professional Staff <u>Rapporteurs:</u> Sue Clark, Ph.D., and Gerald Frankel, Ph.D., Board Members	
Opening Industry Perspective: Thinking of Disposal? Don't Forget the $N \times 10^3$ Dry Storage Systems Already Loaded in U.S. (Where $N > 2$) Andrew Sowder, Ph.D., CHP Senior Project Manager Used Fuel & HLW Management NWTRB Dry Storage Workshop.	225

I N D E X
(Continued)

	<u>PAGE NO.</u>
Opening NGO Perspective	
Beatrice Brailsford	
Snake River Alliance.	234
Lunch	322
Report on issues identified in Breakout Session 1 - Presentation on the Implications of Repackaging SNF for Transportation or Disposal	
Rapporteur from Breakout Session 1	
Lee Peddicord, Ph.D., Board Member.	323
Facilitated Open Discussion	331
Report on issues identified in Breakout Session 2 - Presentation on the Implications of Direct Disposal of Large Dry-Storage Canisters	
Rapporteur from Breakout Session 2	
Gerald Frankel, Ph.D., Board Member	364
Facilitated Open Discussion.	371
Take-Aways from Workshop.	398
Open Discussion	399
Adjourn	425

MORNING PLENARY SESSION

1

2

8:00 a.m.

3

4

5

6

EWING: It's my pleasure to welcome everyone back to the second day of our workshop. In case you weren't here yesterday, my name is Rod Ewing. I'm the Chair of the Board of Radioactive Waste Management.

7

8

9

10

11

12

13

Let me say just a few words about what we learned yesterday, and then I'll turn the podium over to Nigel Mote, the Executive Director for the NWTRB. And he'll outline the day's activities, which you'll know from yesterday, this is the day where we really get to interact and argue over what we should do with these packages, canisters of spent fuel, as they accumulate around the country.

14

15

16

17

So I think we were, in fact, very privileged to have the presentations that we listened to yesterday, because they, in a very explicit, almost frightening way, outlined the scale of the problem that faces us.

18

(Pause.)

19

20

21

22

23

24

25

So the scale of the problem. What we learned yesterday is, already around the country we have some 1,500 dry storage systems that are in use. Most are metal welded containers. There are 26 welded metal canister designs. At the 12 shutdown sites we have 17 canister designs, 8 storage overpack designs, and 8 transport overpack designs. So we have a wide variety of canisters or packages of different

1 dimensions and different mass. And to add to that
2 complexity, some are and some are not certified for
3 transportation. And so to move them from the site to an
4 interim storage facility or to a repository seems to call out
5 for repackaging.

6 So in that context we had presentations on what
7 repackaging means, what is the scale of that effort, and we
8 learned that it's a lot of packages, and it will cost a lot
9 of money, roughly speaking many billions of dollars. Even if
10 we want to embark on this expensive and large-scale effort,
11 we have dry storage canisters on sites which no longer have
12 the facilities for handling or repackaging those materials.
13 And even for dry storage canisters on sites with operating
14 reactors there are operational constraints on what can be
15 done in the context of ongoing reactor operations. The
16 mechanical process, the physical process of opening the
17 welded packages is not only expensive, it's not only
18 complicated, but one has to consider exposure to workers.

19 So with all of that complexity, the next thought
20 is, well, why can't we just move these large packages
21 directly to a repository and leave them there? That skips
22 over the complexities that we face. We had an introduction
23 to some of the implications of, let's call it, direct
24 disposal of these dry cask packages. And the introduction
25 focused mainly on the size, moving these large objects

1 underground, and the heat load and the impact of the heat
2 load in the context of different geologies. And so in this
3 case the higher thermal conductivity of salt makes salt an
4 attractive possibility.

5 But I'd like to suggest where we fell short a
6 little bit yesterday, mainly due to limitations in time, is
7 we didn't ask the fundamental question at the disposal end:
8 What is the role of the waste package in terms of the barrier
9 functions that we need for the successful long-term
10 performance of a geologic repository?

11 If we look around the world, it seems to me that
12 the message is that the waste package and the materials we
13 use in the design of that package is quite important. And
14 I'm thinking of the copper canisters with the small number of
15 fuel elements in each kept to a low, low temperature. This
16 would be the case in Sweden and in Finland.

17 Also, recalling our experience with the Yucca
18 Mountain project where over time the waste package became
19 very important, and we passed through a number of different
20 designs and finally ended up with a package made of a very
21 corrosion-resistant material, an alloy, supplemented by drip
22 shields. So the near field containment, the physical
23 containment of the waste seems to be very important to the
24 long-term performance.

25 There are other questions that have come to my

1 mind, thinking of salt as an example, and just to try to
2 stimulate some of the discussion. In salt the main failure
3 mode is human intrusion; that is, just drilling through the
4 repository. So a simple question--probably the answer is
5 complicated--is: Is there a difference between drilling
6 through a very large waste package with lots of fuel elements
7 versus a much smaller one? Does that affect the long-term
8 performance of the repository and its ability to comply with
9 regulations?

10 And then, finally, a question that goes well beyond
11 what we can do in this workshop but finally is mainly the
12 more important issue: How do we harmonize or blend the
13 difference perspectives? The utilities have a problem today,
14 which they're trying to deal with and solve. There will be
15 some organization in charge of waste management, and they'll
16 be dealing with the waste and applying for or submitting a
17 license on performance that will extend for hundreds of
18 thousands of years. So there has to be, for us to move the
19 whole system forward, in my opinion, some compromise, some
20 blending, some sense of what the final or long-term purpose
21 of these activities actually will be.

22 And this blending is not very easy, because it
23 depends on the time frames. The time frame for utilities is
24 today, this year, next year, the next ten years. The time
25 frame for geologic disposal is hundreds of thousands of

1 years. And the role of the package in those two time frames
2 is one of the subjects we want to or I hope we address today.

3 So I'll stop with that bit of introduction and a
4 few thoughts, and I'll turn this over to Nigel, who will
5 explain to you the logistics and also the goals of what we'll
6 be doing for the rest of the day. Thank you.

7 MOTE: Good morning, everybody. Sound okay? Okay.
8 Hands up everybody who had nightmares last night about the
9 number of canisters and the potential for repackaging.

10 I'd like to start right now by being even more
11 informal than yesterday. I've got a lavalier on, because I'm
12 going to have to walk down the room. And you'll see there
13 are three wall charts here. That's going to be part of what
14 I'll talk about. During the two breakout sessions we'll
15 actually have those down the walls of this room and the other
16 room, which I'll come to in a minute. But I put those up
17 just for examples that I'll come to. So if you're wondering
18 what they are, they're part of what I'm going to talk about
19 now.

20 Before I start on this formal session, I'd like to
21 say that the overheads I'm going to use have not been
22 printed. There are not copies that you can take away,
23 because we (inaudible) that during some of the dry runs
24 yesterday. They will be available, as will all of the
25 overheads, on the Board's Web site, nwtrb.gov. You can find

1 that very easily by Googling the Board's name. All of the
2 overheads will be on the Web site, we're thinking, the first
3 couple of working days after we get the workshop finished.

4 I'd like also to point out for those of you who may
5 never have seen it that there are two cards like this
6 available on the table outside. They are different, and you
7 may not realize they're different unless I point that out.
8 One of them is to let you ask questions in the breakout
9 sessions that we're coming to shortly. And that is, there
10 will be some people who do not want to ask questions for fear
11 of exposing their lack of knowledge, which is absolutely
12 immaterial here, because we all lack knowledge in the areas
13 that we're not familiar with, and we do want to share as much
14 as possible between the expertise of the groups and the
15 representation from organizations and the individuals who are
16 here.

17 So, please, if you have a question and you don't
18 want to ask it yourself, please fill a card out and give it
19 to any of the staff or Board members, and they'll make sure
20 that it gets worked into the system somehow. We are going to
21 be limited on time, so it may be something that we get dealt
22 with in the Board considering it when the report is written,
23 but we would like all the input that we can have.

24 The second card is one to put your name on the
25 Board's registry of people who receive e-mail notices about

1 meetings and reports. You can select what you receive, you
2 can select how you receive it, whether it's electronic or in
3 hard copy; but if you would like to be on the Board's mailing
4 list for something, please fill a card out and leave it on
5 the desk outside.

6 This session--the two breakout sessions that we're
7 coming to are very informal, and we'd like to have them as
8 inclusive as possible for everybody to say things, ask
9 questions, clarify, and so on. We are trying to identify the
10 issues. This was said yesterday by Rod a couple of times.
11 We do not have time to resolve them. I'm sure most of the
12 people who do these things like techies--and most people here
13 being techies--would have looked at the number of options on
14 some of the charts that you saw yesterday, and you'll know
15 that--well, let me start by walking around.

16 This chart down here on the side wall, for those of
17 you who can't see it clearly, you'll see there's a diagonal
18 and there's a bunch of squares. And each of those squares or
19 cells represents a potential area where there will be issues
20 in what we're talking about. And if you do the math, you'll
21 see that there's over a hundred squares, and we have 180
22 minutes, so that works out to 1.8 minutes per square. If we
23 try to stop and resolve everything in all of those cells,
24 rather, not squares, it's an impossible task. So we're not
25 trying to resolve anything; we're trying to identify issues

1 in the areas that we are considering here. We're not trying
2 to resolve them.

3 The Board has a mandate, and the mandate, as most
4 people will know, is technical. That's why "technical" is in
5 the name, the Nuclear Waste Technical Review Board. So
6 normally we don't deal with cost and policy and those sort of
7 things. We cannot do that as an organization, but we can
8 record things that are said in the sessions, and we will do
9 that in the report that we'll prepare.

10 We're looking at spent fuel management at different
11 stages, all the stages from cask canister loading at the
12 utility sites are. Storage, which could be an independent
13 central storage installation out at the utility site,
14 certainly includes transportation. In one of the cases it
15 would include repackaging, which could be at a central
16 storage facility. It could also be at the utility site. It
17 could be at the repository site. If there is a central
18 storage facility, there could be further storage. There
19 could be further storage at the repository site at a separate
20 storage facility.

21 After central storage facility, there would be
22 further transportation. There may need to be overpacking for
23 disposal if there isn't direct disposal of the containers.
24 There's emplacement in the repository. And, as Rod just
25 said, postclosure is an issue which often gets short-

1 circuited, because it isn't an operation that people think
2 about. You're not actually doing anything active over the
3 next hundred thousand years, but postclosure is a very
4 important part of this, and we need to be sure that we
5 include that in the discussion.

6 Those are single issues, single items, single
7 operations. And the other thing that the Board has always
8 been very insistent on is that everything in this area needs
9 to be considered on a system basis. So we're not looking at
10 stovepiping certain areas and operations. We need to examine
11 the interactions between all these stages and operations, and
12 that's what that chart is that I'll come to in a minute.

13 The logistics for the day, we have two sessions,
14 and at the end of this presentation I'm going to ask for a
15 show of hands, because this room will be used for one
16 breakout session. We have another room which will be used
17 for the other breakout session, and that room is the Embassy
18 Room? I think it's the Embassy Room, and it's across the
19 other side of the breakfast area. And that room is smaller
20 than this; it's about half the size. So why we want a show
21 of hands is that whichever breakout session is going to have
22 more people wanting to go to it will stay here, and the
23 smaller population will go to the other room.

24 And so we will ask--we'll separate that way. And
25 we need a few minutes to set up when we've decided which room

1 is which, because we have different wall charts for the two
2 sessions, and we need a few minutes to put those on the
3 walls.

4 We can move between sessions, but yesterday when we
5 had a dry run and we were talking to the facilitators who
6 will be involved heavily in the two breakout sessions, they
7 said they thought from experience it would be potentially
8 possibly disruptive if we have people moving from one to
9 another and raising issues that came up in one in the other
10 session, because each will have its own dynamic, its own
11 flow. And so if you do move between sessions, we would ask
12 you to be, not restrained, but careful not to come in with
13 ideas from one and derail the discussion that is going on in
14 the other session.

15 We have three hours until the lunch break. That
16 doesn't close--it closes the session, but it doesn't close
17 input. And I'll come back to that in a minute.

18 There will be facilitators in each session, one in
19 each session, and they are to guide, encourage, cajole, keep
20 control on target, keep on the time scale. They are to tease
21 out the discussion and, one of the main points, not let the
22 discussion get into trying to resolve the issues, but stay on
23 what are the issues, how do you define them, what are the
24 fundamental points, and what is it that comes from that that
25 needs to be recorded in the report that will come from this

1 meeting.

2 There are flow paths and interaction matrices.

3 They're the diagrams I'll come to in a minute.

4 Two Board members will be in each of the breakout
5 sessions to take notes. And I don't mean like a secretary,
6 but each pair of Board members have interests and expertise
7 in the areas of concern to the relevant breakout session that
8 they're in. And so we have two nuclear engineering Board
9 members who will be in the repackaging session, for example.
10 They know what this is about, and they will be recording not
11 just the words, but the interpretation of what's coming out
12 of the discussion so that we catch the essence of what the
13 issue is and the background. When we come to write the
14 report, which will be a staff issue, the Board members will
15 be there, having had the involvement of recording this with
16 their own expertise so that we catch it the correct way.

17 Also, in the afternoon they will give feedback into
18 a joint session, which will be back in this room, on each of
19 the two sessions. So the session on repackaging will have
20 two Board members who will feed back into the plenary this
21 afternoon the essence of the discussion that came out of the
22 issues on repackaging; similarly, for the breakout session on
23 direct disposal. And that will allow everybody who didn't
24 sit--everybody's in one session, and that will allow
25 everybody to hear what happened in the other session. And so

1 that's the opportunity for cross-fertilization. So if you're
2 in the breakout session on repackaging and you want to bring
3 something into the discussion about direct disposal, the
4 afternoon is the best place to do that.

5 This is being transcribed; yesterday was
6 transcribed; both of the breakout sessions will be
7 transcribed. And that allows us (inaudible) to rewind. That
8 means that we can go back and revisit a discussion to try and
9 make sure that we capture the points correctly.

10 The flowcharts, I'm going to walk down the room in
11 a minute and point some issues out here. The first session,
12 the breakout session, is a session that includes repackaging.
13 As we heard yesterday, there's why, where, when, and whom.
14 They're all variables; they're all important. We will not be
15 trying to resolve that. We will be saying, What are the
16 issues and what's affected and where might the repackaging
17 occur, what are things that might affect it, but not trying
18 to resolve any of those issues.

19 In the repackaging session, we've got to be looking
20 at a large number of flow paths. This is the flowchart that
21 the staff put together for the repackaging discussion. And
22 you can see this is the spent fuel pool at the reactor, this
23 is an independent spent fuel storage installation at the
24 reactor site, this is an interim storage facility, this is
25 the repository site. And I know you can't all see that.

1 That's why we've got multiples of these to put down the walls
2 so everybody can see one of these during the discussion.

3 What we have here are the flowcharts. The blue
4 lines are bare fuel. Some fuel is there in dry storage casks
5 now; and so even though this is focusing on repackaging, some
6 of the fuel will not need to be repackaged because it isn't
7 yet packaged. It's bare fuel assemblies in bolted spent fuel
8 casks. And so the blue, for example here, is bare fuel. The
9 green is large storage containers. And you can see that this
10 is a complicated diagram. We've put that together to
11 represent what we think the primary material flows.

12 And so there are many flow paths. There may be
13 many more than we have there. We're not trying to limit it.
14 This is to stimulate the discussion. So we're looking for as
15 much involvement as possible; and if there are issues that
16 come from flows that are not shown on there, we certainly
17 want to identify those as well.

18 In this scenario, after repackaging you're looking
19 at smaller containers, so potentially transportation is
20 easier. I'm saying that with some reservation. Easy is a
21 strange word to use in this context, but it doesn't have some
22 of the challenges that you do with trying to move the large
23 storage containers. And so the consequence of having smaller
24 containers is you have many more of them, so there's
25 implications there for transportation.

1 And I'm only picking a few here for example. This
2 is not to try and steer the discussion this afternoon.

3 In the other session, direct disposal of large
4 canisters, you're not looking at repackaging. This is the
5 workshop that's over there, and you see it's a much simpler
6 flowchart to the extent we have delved into this. Again,
7 this is the reactor site with a reactor pool and independent
8 spent fuel storage installation. This is the central storage
9 facility if there is one, this is the repository site, and
10 potentially you can see this is a much simpler flow diagram
11 than the Session 1 flow diagram.

12 For the consequences, you have no repackaging.
13 There is some packaging to do, because some of it is in bare
14 fuel. And that's the blue lines on that chart. Less flow
15 paths, but there may also be more than we have shown there.
16 And, again, we're not trying to limit it to these. We're
17 trying to be as inclusive as possible. And the consequence
18 is that you've got hot and heavy all the way: large
19 containers, larger heat load, obviously more fissile
20 material, more radioactive material. And we're looking at
21 taking that all the way through to the repository and then
22 looking at what happens underground in the long term.

23 So that's what we tried to capture on the
24 flowcharts that we'll be using.

25 And then we have--the other set of wall charts that

1 we have are the ones that I have. I have one of them pinned
2 up down there. And I hope those of you at the back can see
3 enough of that to be able to read at least the principles.
4 And I'm going to put a couple up in just a minute, but before
5 I do, let me go through some things here.

6 What we're trying to do is to make sure that we
7 cover all the bases. We're not going to go through those
8 interaction matrices cell by cell. The discussion will take
9 its own path through the issues that we're going to have
10 under discussion. The rapporteurs will make sure that the
11 conversation keeps moving and doesn't get stuck, and we're
12 trying to cover as much as we can on that. We will be open
13 for comments afterwards, so don't think at the end of today,
14 if you haven't got your point through, that's the end. And
15 I'll come back to that point in just a moment.

16 On the matrix--each of the matrices--you go along
17 the diagonal from top left to bottom right. You're following
18 the flow of the path of materials that we have with the
19 arrows on the two wall charts there. Above the diagonal,
20 what we're looking at is the impact of a later stage on
21 actions at an earlier stage. And I'll come back to that in
22 just a moment. Above the diagonal is impact on later stages.
23 Below the diagonal is impact on earlier stages. And we are
24 looking at the interaction, the dynamics, as much as
25 possible, not just individual operations.

1 So, as an example, this is--and I apologize for the
2 quality. We've tried very hard to get this clear, and for
3 some reason it doesn't happen. But I hope you can see enough
4 of this to understand where I'm going. This is the diagonal;
5 this is spent fuel in the spent fuel pool at the reactor
6 site; this is canister loading; and these are operations all
7 the way through to disposal. You cannot see the color very
8 clearly. This is the same pink color as we have on the
9 flowchart, meaning the reactor site; this is transportation
10 in white; this is meant to be the same color as the light
11 green for the central storage facility; and this is the
12 repository site.

13 And the others on here are meant to show you where
14 the discussion can go, encouraged by the facilitators. If
15 you look at this cell, which is canister loading, B-2, and
16 this one here, which is E-5, transportation, the words there
17 say, "What is the impact of canister design on
18 transportation?" So that discussion would be, you've made
19 decisions about the canister loading. That includes the
20 design of the canister, the operations, the materials. And
21 the question to be answered is: What is the impact of that
22 design, that decision, on transportation operations away from
23 the reactor site? And the facilitators will encourage the
24 discussion in that way.

25 This question here is: What is the impact of

1 canister design on disposal? That is, the canister loading
2 operation takes place there. This is disposal. And I'll
3 follow Rod's lead and say, we have also fallen into the same
4 trap and said disposal, and that must include post-disposal
5 performance of the package, looking at engineered barriers,
6 the type of geology, and the impact that has on the
7 performance. And so this disposal cell down here is
8 particularly important in the direct--well, in both of the
9 scenarios, but it's going to be a big focus on the discussion
10 of differences with the large containers.

11 The arrows down here--we've gone back the other
12 way. This is transportation away from the reactor site.
13 This is canister loading, as we said before. So that arrow
14 will stimulate the discussion: What is the impact--and that
15 is what it says here--What is the impact of transportation
16 requirements on canister loading? So if you're going to
17 transport something away from the site, what does that tell
18 you about things that you need to take into account during
19 the canister loading operations, planning for decision
20 making, licensing?

21 So that is the dynamic that we're trying to get
22 from the decision matrix, which is one example on the wall
23 over there.

24 And I should say--I started out by saying this is
25 meant to be the start of being very informal. If you have

1 questions, please ask me. If I'm not getting the point
2 across, please ask me. This is trying to set up the
3 discussion in the breakout sessions, and I want to be sure
4 that I'm getting the discussion points across.

5 So these are examples of the question--I've been
6 through some of these--How does the spent fuel storage in the
7 utility pool impact canister design? And that would be the
8 path from A-1 to B-2, which is there. That's a different
9 example from what I just said. A-1 to C-3 is that one. And
10 we could go through that, and these are just example
11 questions.

12 Like I said, these will be on the Web site, which
13 maybe is not going to help. We wanted to have this printed
14 but couldn't find anywhere to do that overnight. So
15 apologies, but we don't have that printed.

16 This is, again, to show you not something to be
17 dealt with now, but an example of how we will record this
18 discussion for comment later and later input on the Web site.

19 This is a Word table. We have all of the dynamic
20 flows. In this case it's Cell A-1 to Cell B-2. The example
21 here is from Cell B-2 to Cell E-5--let me go back to here--so
22 B-2 to E-5. So that one there, as one example of an issue
23 that we put down just to tease out the discussion, is
24 (inaudible) soluble boron is used in criticality analysis as
25 the basis for canister loading. This is an issue that came

1 up, I think, in Rob Howard's presentation yesterday.

2 If you qualify--if a storage cask is licensed
3 based--if the loading of the storage cask is based on an
4 assumption that there is soluble boron in the pool water,
5 then that will be taken into account in the criticality
6 analysis for cask loading. And if that is used as a basis
7 for cask loading at utility sites, the possibility exists the
8 canister may not meet the criticality requirements for
9 transportation, because if during a transportation accident
10 the cask were breached and there was water ingress, then the
11 water that got in would not have the same soluble boron that
12 was used to meet the regulatory requirements for loading the
13 cask in the spent fuel pool.

14 I'm not going to go through all of that. That's an
15 example of how this would be recorded by the two Board
16 members in each of the breakout sessions so that we capture
17 the points for the report.

18 I want to keep this fairly brief so that we can
19 move into the breakout sessions, but these are other
20 essential points. We are looking at commercial fuel
21 primarily, not by desire, but because it's the right thing to
22 do. It's the majority population of spent fuel in storage
23 casks, and it is the main focus of attention, has been in the
24 industry for a long time. DOE has its own spent fuel in
25 containers that may need to be repackaged. And what we don't

1 want to do is to look only at the commercial spent fuel and
2 not take account of the fact that there may be a repackaging
3 requirement for DOE spent fuel.

4 So this part, it's out of sight, because we don't
5 have information on that at this workshop. It's not out of
6 mind, and we will try and find a way to fold that in during
7 the preparation of the report. Certainly DOE EM, which is
8 the majority owner of DOE spent fuel, know that we're doing
9 this and that we're in discussion with them about how to
10 handle that.

11 I'd like to ask that you help the rapporteurs.
12 They have a difficult task. If I go back to this example
13 here, this is what they're going to be trying to capture,
14 maybe not in that length of discussion for today, but in
15 order for them to be able to capture the points correctly,
16 some of which will be outside their own areas of expertise,
17 what we'd ask is that you help them by giving them time. The
18 facilitators will work with them on this. But if they need
19 to clarify things, they're going to need to ask that and make
20 sure they capture things correctly.

21 Not everything can be reduced to sound bites.
22 Maybe that's a little trite, but what that's meant to say is
23 that there are some issues where there's going to need to be
24 discussion about how to capture things correctly, and one of
25 the best times to do that is going to be during the sessions.

1 Nowadays there tends to be a focus on reducing things to very
2 few words and make things very quick. This workshop we need
3 to not do that, but to record things fully.

4 The workshop ends at 5:00, but the door remains
5 open. What I mean by that is, we will close promptly at
6 5:00. We know the people, particularly who live in D.C.,
7 will want to get away to travel home. We will take comments
8 and input after the workshop. The Web site is open, and
9 we'll be looking for input to the extent anybody wants to
10 give it. There is an e-mail address, november2013workshop@
11 nwtrb.gov. For those of you who registered, it's the same
12 e-mail address that you used there. If you want to e-mail
13 things in--questions, comments, answers, documents--you can
14 do it that way. So that is the open door afterwards.

15 We will record the logs that the Board members
16 take, the rapporteurs, these logs. We will post those on the
17 Web site. Target will be early December, the week after
18 Thanksgiving. If we have comments before then, we'll take
19 account of the comments before we post those records, so
20 we'll take account of those.

21 And then the final--and final doesn't mean the end,
22 but it's the final ones that we will post on the Web site.
23 Those we'll try and get posted by the 16th of December,
24 taking into account any other comments that come in during
25 that period.

1 The transcript we would expect to post by about the
2 16th of December. That's the transcript from the workshop as
3 a whole. And we're looking at a Board report during the
4 first half of 2014.

5 So that, I hope, sets the scene for not only the
6 breakout sessions, but where we're going with the report
7 after that.

8 So there are the end of my slides.

9 Can I ask for any questions or input or comments?
10 And, like I said, this is free range. The start of the
11 breakout sessions is now, and we'd appreciate any input from
12 anybody.

13 (Pause.)

14 Having no questions, okay, then to the next thing.
15 Can we have a show of hands, please, who--Breakout Session
16 Number 1 is the one that includes a discussion of repackaging
17 with this flowchart here. How many people want to be in that
18 session?

19 (Pause.)

20 Okay. And how many people want to be in the direct
21 disposal of big containers session?

22 (Pause.)

23 I think the direct disposal is going to be in the
24 other room, but not by a large margin. I would say that was
25 45-55 or 40-60. All right? Okay. Well, what we'd like is

1 about ten minutes for the staff to be able to put the wall
2 charts up, get everything set up, let the Board members get
3 set up. So I'll look forward to everybody being back here
4 after lunch. Thank you.

5 (Whereupon, the plenary session was adjourned and the
6 attendees split into the two workshop sessions below.)

7

8 **SESSION 1: Facilitated open discussion of the**
9 **implications of repackaging spent nuclear fuel for transport**
10 **or disposal.**

11

12 DANIEL: Good morning, everyone. Welcome, ladies and
13 gentleman. My name is Rick Daniel. I'm from Cool Landing
14 Facilitating. I'm excited to be here, because I'm learning a
15 lot from you folks. And this breakout session the Nuclear
16 Waste Technical Review Board designed to generate discussion,
17 and the more lively the discussion, the more likely we are to
18 highlight and characterize what the issues are.

19 I want to emphasize what Nigel said earlier. This
20 is not about seeking solutions. It's about identifying
21 issues, so this particular breakout session is going to focus
22 on the implications of repackaging spent nuclear fuel for
23 transportation and disposal.

24 To get things started, we're going to have a couple
25 different perspectives that are discussed for five-minute

1 presentations. We are not going to be taking questions after
2 those presentations. The first presentation is going to be
3 by Adam Levin of AHL Consulting. And, as I said, it's going
4 to be about a five-minute presentation; and then immediately
5 afterwards we're going to hear from Dr. Marvin Resnikoff, and
6 so he will follow on right after Adam. And then we're going
7 to get into our discussion right off the bat.

8 So be thinking, as you hear these presentations and
9 as the morning wears on, to go back to what Nigel said. As
10 we raise issues, you can refer to the matrix to best
11 characterize the issue. The more specific you can be for our
12 rapporteurs, Dr. Lee Peddicord and Dr. Paul Turinsky, they're
13 going to be our rapporteurs. They're going to report back
14 after lunch.

15 And after lunch, as they run through these issues,
16 as they highlight these issues, if you hear something that's
17 maybe not quite accurate or we can tweak it or refine it to
18 characterize it better, we're going to do that at that time.
19 But we're not going to have elaborate discussions after
20 lunch, okay? Those will just be fine-tuning things.

21 So, Adam, the floor is yours. Why don't you go
22 ahead.

23 LEVIN: Good morning. First of all, thanks to the Board
24 for the invite this morning, and glad to be here.

25 I wanted to talk today a little bit about what

1 repackaging means to the utilities and the impact upon
2 reactor operations. Three areas of major impacts, the first
3 being dose and safety considerations. Additional radiation
4 exposure. I think it's important for everybody here to
5 understand that the utilities don't measure their performance
6 in terms of person rems. They measure their performance in
7 terms of person millirems, okay?

8 So when you talk about the fact that a cask takes
9 about 400 millirem to load, adding a series of additional
10 casks to load, as John Wagner pointed out yesterday, adds
11 significant amounts of person millirems to exposures. And
12 the plants, again, are measured in terms of their performance
13 on millirem basis, so this is a very important issue to the
14 utilities.

15 The additional heavy lifts are also a big safety
16 issue. Obviously the utilities are very focused on
17 performance when it comes to the heavy lifts. It's a major
18 issue around a nuclear plant. So additional heavy lifts is a
19 serious consideration.

20 Plant operations--and I'll talk more about this at
21 length in just a minute or so, but the use of the spent fuel
22 pool crane and the refueling bridge, those are heavily
23 scheduled during plant operations; so it's difficult to be
24 able to find the kind of time that you might need in order to
25 repackage a lot of systems.

1 Radiation protection and security coordination.
2 Typically at a nuclear plant you'll have radiation protection
3 and security folks that are moving around from major project
4 to major project on the plant. So you're now talking about
5 having to coordinate additional radiation protection and
6 security folks for being able to respond and to take care of
7 the operations of spent fuel movement in the plant.

8 Additional support staffing. Typically, at least
9 from my experience working with Exelon, we required somewhere
10 between 50 and 70 individuals to be either full-time or part-
11 time added to--not added to the staff, but participating in a
12 spent fuel campaign loading casks. So if you're now adding
13 additional casks to load, you have to now coordinate with a
14 significant increase in additional staffing support.

15 And then the cask loading costs, which are about
16 \$300,000 to \$400,000 per cask for a welded system.

17 I think other folks covered this yesterday, but
18 just very quickly, from the standpoint of the operating
19 units, there is over 1,600 dry storage systems containing
20 used fuel at this point. And just to put it into
21 perspective, by 2020 there is going to be 2,900 of these, so
22 almost 3,000 systems out there loaded with spent fuel.

23 The other point I did want to make here this
24 morning is that all of the nuclear units out there are going
25 to be in dry storage by about 2025. So, regardless of which

1 nuclear plant you go to, by this point in time, which is 12
2 years from now, everybody is going to be in dry storage
3 operations, which is not far down the road.

4 MAKHIJANI: Just clarifying--there may be room for
5 clarifying questions, because the slide is unclear.

6 DANIEL: Okay, that's okay. How about if we save the
7 discussion for a little bit later. We can come--

8 MAKHIJANI: I'm not trying to discuss. Can you listen?

9 DANIEL: Sure. Give us your name and where you're from.

10 MAKHIJANI: My name is Arjun Makhijani. What it says
11 there is, estimated that all currently operating plants will
12 need dry cask storage. It's not clear to me whether all the
13 fuel is going to be in dry casks or some. And that's just a
14 clarifying question. If you don't allow clarifying
15 questions, you can't have a sensible discussion.

16 DANIEL: Okay.

17 MAKHIJANI: Thank you.

18 DANIEL: Thank you.

19 LEVIN: The statement here on the slide is correct as it
20 stands. All the plants will need dry cask storage by 2025,
21 okay?

22 There are ten shutdown units right now, which have
23 dry storage. Some of them are in a position where they do
24 not have a fuel pool available to them to return canisters
25 into in order to repackage spent fuel. Zion has been added

1 there. They will be in dry storage--I believe they're
2 starting later on this winter, and in about two years or so
3 they should have all the fuel at Zion Station in dry storage.

4 We have some additional shutdown units, as was
5 mentioned yesterday, at Crystal River, Kewaunee, and SONGS;
6 and all three of those are evaluating whether they want to be
7 in wet storage or dry storage for decommissioning, at least
8 the early stages of decommissioning. And they're going
9 through that financial evaluation and bid process right now.

10 The other thing that I wanted to point out was
11 that, beginning in 2029, those plants that have received
12 60-year--or have received an additional 20 years of license
13 extension, so they have a total of 60 years on their license.
14 Those normal retirements are actually going to begin with
15 Dresden Unit 2 in 2029. So we're 15 years down the road from
16 now, which is not a very long time we're going to actually
17 start to retire the existing nuclear units.

18 What does repackaging involve? Very simply,
19 returning the existing systems to the spent fuel pool,
20 cutting open the canisters--excuse me--removing the lids from
21 the bolted systems. I do want to point out here, this could
22 be a potentially significant issue for a nuclear operator,
23 because cutting open those canisters means that you'll be
24 creating fines from milling operations; you'll be creating
25 dross from cutting operations potentially in your spent fuel

1 pool water. And that means there's an opportunity for
2 foreign material to be able to get into other fuel assemblies
3 that are in the spent fuel pool, and potentially you don't
4 want to return one of those to your reactor. So that'll be a
5 major concern for operators.

6 Offloading the assemblies to spent fuel pool,
7 placing them in the new canisters, and returning new, smaller
8 dry cask systems to storage or transport.

9 So let's put a couple of numbers on some of this.
10 I know Rob Howard got into this a little bit yesterday, but
11 here's some experience from BWRs, the types of schedules that
12 you can expect for loading systems at a nuclear plant. If
13 you add a dual-unit BWR to your operating cycles, you roughly
14 schedule about a week and a half or so typically per system
15 with two weeks mobilization, two weeks for de-mobe, so your
16 schedule for dry cask storage campaigns typically runs
17 between 10 and 12 weeks.

18 You've got other uses for your overhead crane with
19 the activities you see there, and they run typically about 24
20 weeks of operations at a plant.

21 Moving ahead, we've got other activities. Of
22 course, we've got training involved. We've got scheduled
23 time off, etc. for the crane operators. We've got special
24 nuclear material inventories going on, non-outage operations,
25 moving things around in the spent fuel pool.

1 So what it all means is that it results in a very
2 limited time window, very limited availability in the spent
3 fuel pool for additional operations such as repackaging,
4 typically on the order of four to five weeks.

5 Fuel loading and welding for the smaller systems,
6 obviously there's a lot of discussion about this. There
7 could be some efficiencies introduced by designing in a
8 specific way the smaller canisters so that the closure can be
9 made more quickly. But it's really the balance of the
10 schedule that--you know, moving the canister into the pool,
11 getting it loaded, bringing it back out of the pool, and
12 moving it out to the pad, that's not going to change for the
13 smaller systems. So you're going to have a couple days
14 scheduled for that anyhow.

15 What might shorten up a little bit is the fact that
16 you have less linear length of weld to make. You also have
17 less fuel assemblies to put in. So you might shorten up the
18 time frame--the schedule a little bit there.

19 Now, I haven't included the thought of dealing with
20 the canisters that you need to dispose of now as low-level
21 waste, the materials that are in there, so I've kind of left
22 that out of the schedule. And I've said optimistically we
23 can assume that we'll have one cask per week of these smaller
24 systems that we're going to load.

25 So let's put the numbers together now. We're

1 looking at 9 to 11 systems that are going to be required
2 rather than the 4 to 5 systems to be loading the 32-assembly
3 DSCs or between 31 and 38 for the 9-assemblies. So the
4 bottom line is, you've got a minimum of nine weeks required,
5 and that's extremely optimistic, to go into the 32s for BWR
6 and as much as 38 weeks required to go into the 9-assembly
7 systems. So the time isn't there. That's the bottom line.
8 The time isn't available for use of the systems at the plant
9 in order to be able to effect repackaging during operations.

10 The bottom line, the ability to go to smaller
11 systems holistically improves the high-level waste management
12 system. I don't think anybody is going to argue that. The
13 flexibility added in there is very valuable.

14 But from the nuclear fuel cycle perspective, when
15 you step back and look at not just the waste management but
16 plant operations, it has a negative impact on the overall
17 nuclear fuel cycle. And that's the point I wanted to make
18 today. And Rob Howard addressed it yesterday, but I think
19 from the utility perspective the flexibility for the smaller
20 systems should be added outside or off the reactor site as
21 opposed to at the reactor site, simply because of the impact
22 on operations. I'll leave it at that.

23 DANIEL: Thank you.

24 LEVIN: Sure.

25 DANIEL: All right. Dr. Resnikoff is going to offer an

1 NGO perspective.

2 RESNIKOFF: Hi, everybody. I work for NGOs, and I work
3 for the State of Nevada, who have not reviewed what I'm going
4 to say today. They can't be held responsible.

5 I started work on transportation--I'm going to
6 focus on that--in 1975 when Nuclear Fuel Services, a
7 reprocessing facility in West Valley, was shipping liquid
8 plutonium out of JFK Airport; and I worked for the New York
9 Attorney General, who was opposed to that. I thought this
10 was a slam dunk, because these containers were designed to
11 withstand a 30-foot drop, and most people know that planes
12 fly higher than 30 feet. But the NRC fought it until finally
13 Congressman Shoyer (phonetic) in 1981 introduced legislation,
14 an appropriation bill that said you have to design these as
15 well as they design black boxes that can survive air crashes,
16 and the industry went and did that. At any rate, I developed
17 my sense of skepticism about the NRC at that point.

18 Today I'm going to talk mainly about transportation
19 issues. As I see it, the industry is pushing the boundaries.
20 They are having high burnup fuel. They have large systems.
21 They're moving from 24-PWRs to 32-PWRs in a storage cask, and
22 I see there are major problems involved in doing all that.

23 First of all, the time in the pool for high burnup
24 fuel, if you look at--I looked in particular at the NUHOMS
25 container. The time in the pool goes all the way up to 20

1 years for dry cask storage and longer if high burnup fuel is
2 going to be transported. This has major ramifications for
3 decommissioning reactors. Essentially, reactors cannot be
4 immediately dismantled, because the fuel pools are going to
5 remain. So I see safe store as the only option, and I see a
6 long decommissioning period. Reactor licenses will have to
7 be retained.

8 It would be helpful for us--I'm going to point out
9 some of the ways that the Technical Review Board could help
10 us out in the field. It would be helpful for us to have DOE
11 run the ORIGEN code for high burnup fuel so we can actually
12 see the heat output, the radioactivity, over time; and we can
13 actually put that into calculations for how long fuel has to
14 cool down. So it would be helpful for us if the Board would
15 suggest that to DOE.

16 There are people in the room--I know Dr. Einziger
17 is here--who have worked on the brittleness of high burnup
18 fuel, the cladding ductility, and that affects transportation
19 and disposal of high burnup fuel. And I don't believe these
20 transportation issues have been well studied. I noticed that
21 Earl Easton is here, who had a role in NUREG-2125, and those
22 issues have not been well-examined in the NRC reports. This
23 document, NUREG-2125, which deals with transportation, is a
24 document that started as a three-year document, and it moved
25 into a seven-year period to actually produce it. It went

1 from a budget of 400,000 to 1.3 million. And the State of
2 Nevada requested a mere 30-days extension to review a 509-
3 page report with numerous references, and the NRC declined to
4 allow us to do that.

5 And I think it will be a major problem when these
6 hearings arise concerning Yucca Mountain, if that ever takes
7 place, because all the issues that should have been handled
8 in this risk analysis that the NRC did are going to turn up
9 again in the Yucca Mountain proceeding. And we'll extend
10 that proceeding for long periods of time, and I don't see
11 where the Department of Energy, the NRC, or the State of
12 Nevada has the money to actually carry it all out.

13 So I encourage the Board to actually look into
14 these transportation issues, particularly as they affect high
15 burnup fuel. I am particularly concerned about the ductility
16 of this fuel, the brittleness of the cladding, and have some
17 concerns in particular about transportation accidents,
18 because some of the accidents that have been discussed in
19 NUREG-2125 involve major impacts where you have acceleration
20 forces that are on the order of 140g. And I don't see where
21 the fuel cladding would be able to sustain that, which I
22 would imagine the fuel cladding would shatter under those
23 G-forces.

24 High burnup fuel also has disposal implications.
25 If DOE intends to open up NUHOMS or Holtec canisters and

1 repackage high burnup fuel, I see major problems arising,
2 particularly if the cladding--if the fuel has failed.

3 So I would encourage the Board to actually do a
4 serious investigation of that issue, perhaps answer the
5 question whether these high burnup fuel assemblies have to be
6 containerized before they are put into storage casks or into
7 transportation of systems.

8 The next slide--and the last slide--I have attached
9 a critique of NUREG-2125 when I sent my report into the
10 Technical Review Board, and it has a lot of discussion about
11 NUREG-25 (sic) and the concerns that we have about
12 transportation. I'm going to mention several of them as it
13 concerns transportation.

14 Transportation casks have impact limiters, and you
15 saw this yesterday, at the end of each cask; so cask
16 essentially looks like a barbell. So the most vulnerable
17 position in a cask is a side impact. It's not an end impact
18 where the impact limiters are. It's on the side. And there
19 are several references, which have been conveniently omitted
20 from NUREG-2125, which discuss side impacts. I'm
21 particularly concerned about side impacts at railroad
22 crossings. If the train sill directly impacts a
23 transportation cask, the forces and accelerations can be
24 great enough to stretch the bolt lids and leave an opening to
25 the cask interior. And then if you have high burnup fuel

1 where the cladding is also shattered at the same time, then
2 you can have material which actually gets out into the
3 environment.

4 The cited references in NUREG-2125 do not include a
5 sill impact where you actually have impact limiters at each
6 end, and that increases the bending of the cask itself. We'd
7 like the Board to look into these kinds of accidents.

8 We also have serious reservations about
9 long-duration, high-temperature fires and the effect on the
10 cask and fuel cladding. This is the reservation we have. I
11 guess I should really have pictures rather than demonstrating
12 with my hands, but casks have--transportation casks have
13 neutron shielding around the cask and then a thin metal layer
14 that goes around the neutron shielding. The thin metal layer
15 is connected to the main core of the cask with metal holders,
16 metal brackets, and that holds this thin outer metal cylinder
17 in place. And that serves as a heat conductor. Plastic
18 that's wrapped around a transportation cask actually serves
19 as a blanket, and the metal brackets actually serve as heat
20 conductors, so the heat can actually get out of the cask
21 itself through these brackets.

22 But in a fire accident these brackets serve as a
23 way for heat to get into the cask, and that isn't well
24 modeled in the models that I've looked at by the cask
25 manufacturers. And we'd like the Board to seriously

1 investigate fire accidents and take into account these metal
2 brackets, which I don't believe HOLTEC or--and I've looked at
3 those in great detail--HOLTEC has actually looked at and also
4 the truck cask manufacturers have looked into. And I'd like
5 the Board to also look into that.

6 The State of Nevada has been asking for some time
7 for full cask testing. These new transportation casks, which
8 are essentially a metal canister inside a transportation
9 overpack, should be fully tested. That's the position that
10 the State has. At least it should be tested so that we can
11 benchmark the computer models. Right now this is all done by
12 computer simulation and scale models, and the State would
13 like full scale testing. And the State has requested this
14 for many years.

15 I have one final point, which is malevolent events
16 should be seriously examined. We don't have confidence that
17 this has been done. Anti-tank weapons, such as the Russian
18 Kornet or the French MILAN anti-tank missiles, can easily
19 penetrate a meter of metal. So for transportation we remain
20 concerned about not just an entrance hole into a pressurized
21 cask, but events that also include an exit hole. Much more
22 material can get out if you have a two-hole accident than if
23 you just have a single hole into a cask. And also more gets
24 out if you assume the cask is pressurized, which calculations
25 by LUNA have not assumed. This is of particular concern with

1 high burnup fuel, which has large cesium inventories and
2 suspect fuel cladding. So this is another matter which we
3 would like the Board to investigate.

4 Those are my comments. Thank you.

5 DANIEL: Thank you, Dr. Resnikoff.

6 All right. So we're going to get into our
7 discussion time. Again, we're trying to identify issues, not
8 seek solutions. So who would like to start us off? There
9 are microphones scattered throughout the room. If you need a
10 microphone or when you want to speak or ask a question or do
11 anything like that, just raise your hand, we'll get a
12 microphone to you, we'll turn it on. Give us your name and
13 the organization you're with.

14 MAKHIJANI: Hi. My name is Arjun Makhijani. I have a
15 question about what happens in repackaging after the reactor
16 is shut. Does the presentation mean that the spent fuel
17 would have to be there? Because the way the NRC is
18 approaching it in its waste confidence GEIS is that you can
19 do dry-cask-to-dry- cask transfer. But from what I
20 understood, there is an assumption that the spent fuel would
21 always be there--the spent fuel pool would always be there.
22 Thank you.

23 DANIEL: Anyone want to answer that question?

24 RESNIKOFF: Could you give us that again?

25 MAKHIJANI: Yeah. In your presentation, for repackaging

1 you explained how the repackaging would be done by taking the
2 cask into the spent fuel pool and the time it would take and
3 so on. But after the plant is shut, there would be a lot of
4 dry casks; and if repackaging is necessary, is one to infer
5 that the spent fuel pool will always have to be there for the
6 repackaging, or can one dispense with the spent fuel pool and
7 assume that there can be a dry-cask-to-dry-cask transfer
8 infrastructure?

9 LEVIN: If I understand the question correctly is, once
10 the plant is shut down, you've got two situations. You've
11 got one which is the plant is decommissioned, so what remains
12 is dry cask storage on a pad at the site, and those are
13 typically canisters inside of overpacks. You also have
14 another situation, which the plant is shut down, and the
15 spent fuel pool remains, so it's shortly after shutdown, so
16 you're in that configuration.

17 For the situation where there is no spent fuel
18 pool, then repackaging, if you will, or movement of the fuel,
19 if you will, is only going to be in the existing canister. I
20 don't think that anybody is talking about opening up a
21 canister at a site that has no spent fuel pool.

22 MAKHIJANI: From the way I read the NRC draft Generic
23 Environmental Impact Statement, it seemed to me that they are
24 assuming that there would be--you know, in the case of no
25 repository, they have a scenario that they have to do ordered

1 by the court. I think they are assuming that they will have
2 dry-cask-to-dry cask transfer. Maybe I didn't read it right,
3 but that's the way I read it.

4 MOTE: I would like to make two comments. One is--

5 Sorry. Nigel Mote, Nuclear Waste Technical Review Board
6 staff. Thank you. There is a substantial body of experience
7 in the world about dry handling of fuel without it being in a
8 pool. NAC, in particular, did a lot of repackaging in Iraq
9 to get fuel out of Iraq under a U.N. program back in the
10 early 1990s -- different fuel types and I'm not going to say
11 that this is experience of handling commercial fuel
12 assemblies.

13 This is an issue that's been raised, and I suggest
14 you record the issue. We're in danger of slipping into
15 trying to resolve it, and I wouldn't do that. What I would
16 say is, it's a good question, and it's one that we wrestled
17 with inside the staff in writing some of the documents in
18 advance of this. I think we need to take account that both
19 possibilities could exist. If I recall correctly yesterday,
20 one of the presentations included an AREVA schematic, which
21 said there was a pool, but there was also a dry handling
22 facility. And AREVA at La Hague in France has a dry
23 unloading facility. It's inside a hot cell, and there's
24 recovery systems, so there would need to be (inaudible), But
25 my memory is that the presentation yesterday included a

1 modular--mobile transfer system, which included the
2 possibility of dry repackaging. So having recognized that, I
3 would say that we record that that needs to be looked at as
4 an issue of how you do that, whether it's dry or wet.

5 DANIEL: Thank you, Nigel.

6 Sven, give us your name.

7 BADER: Sven Bader from AREVA. I just wanted to follow
8 up on this. There's actually three dry transfer options.
9 There is a dry transfer system that DOE helped produce--
10 Jeff's not here--but it was in the 1990s. Transnuclear
11 designed it. It actually went through an NRC review. It's
12 unclear to me if it actually got completed, but there is a
13 dry transfer system. The mobile hot cell that we talked
14 about, that's a concept--that's something not fully
15 developed--that ideally would be moved between different
16 sites so that it's mobile. And then the third option is the
17 hot cell, as Nigel noted, and that's a fixed facility. We
18 did a study for DOE on this under the IDIQ Act contract. It
19 was Contract Number 14.

20 DANIEL: Diane.

21 CURRAN: This is Diane Curran. I want to ask Mr.
22 Einziger--I think yesterday you were talking about transfer
23 centers and hot cells, and I think you made an important
24 distinction as to what the basic requirements are and the
25 costs. I'd just like to ask if you could clarify that a

1 little bit whether there's such a choice or whether you
2 actually mean a hot cell.

3 DANIEL: This meeting is to identify issues.

4 CURRAN: Yeah, I understand that, but, you know, there's
5 also information about what we already know. And if there's
6 something that's known--I guess it seems to me that it's
7 useful if it can be quickly stated: Here's where to look for
8 this information. And maybe that's how I want to present it.
9 Where do you look?

10 DANIEL: Let's answer this question, and I want us to
11 get back on identifying issues. So if you would answer it
12 briefly, if you can?

13 EINZIGER: Irrespective of what you hear in the public
14 venue, spent fuel is dangerous stuff; and so you just can't
15 take it out of a canister and put it into another one. You
16 have to have substantial shielding around it to protect your
17 personnel. Whether that is in a fixed hot cell or a yet-to-
18 be-demonstrated mobile facility, you still need that
19 shielding. And shielding is heavy. And so I really question
20 whether a mobile facility can be made and really be mobile.

21 Cost-wise, this is no small issue. Do I have any
22 references I can say go to some document and it'll tell you
23 what the cost is? No. All I can tell you is that there are
24 people who have worked around hot cells that tell me that
25 it's not in the 10-million-dollar range. Maybe you should

1 add another zero on it, somewhere probably between those, but
2 that's just a guess. It's not an easy subject to be cracked.
3 Dry-to-dry transfer I don't think has ever been demonstrated
4 except for canisterized systems. Canisterized systems are
5 fairly easy, because it's just essentially unloading and
6 dropping it into another system. And remember, for systems
7 that are directly loaded, there's a lot fewer of those.

8 DANIEL: Okay, so this could be--thank you. So this
9 could be a particular issue that this mobile possibility
10 isn't fully tested yet. You raised the cost, extremely high
11 cost. Other issues? Yes, your name?

12 LANTHRUM: Gary Lanthrum, NAC International. Maybe not
13 so much an issue, but maybe an undoing of an issue. A lot of
14 questions have been raised about the ability to transport
15 safely high burnup fuels and to later transfer them to
16 another canister configuration. A lot of the high burnup
17 fuels that are being loaded now are being loaded into damaged
18 fuel cans before going into a dry storage canister, and that
19 simplifies the ability to both transport and to subsequently
20 handle the fuel. And so I think that needs to be taken into
21 account. Don't assume that high burnup fuels are going
22 directly into a canister, just another basket without
23 additional protections.

24 So your thermal loading will be lower, and your rad
25 loading for a given canister will be less, because you'll

1 have less fuel in the canister, and it will be configured in
2 a damaged fuel can, which is much easier to handle than
3 trying to deal with an assembly that may have cladding issues
4 or other challenges.

5 DANIEL: Okay. I want to keep this on issues, folks,
6 identifying issues.

7 EINZIGER: Just a clarification. Bob Einziger, NRC.
8 Only one vendor not to be named is loading high burnup fuel
9 into damaged fuel cans.

10 DANIEL: Okay. Judy.

11 TREICHEL: Judy Treichel, Nevada Nuclear Waste Task
12 Force. It seems to me like we've got the cart racing to
13 catch up to the horse. And very early on in this whole deal
14 they talked about standardization of casks. And at the Yucca
15 Mountain site it was going to be an MPC, multi-purpose
16 canister, and then it turned into a TAD, and now we've got
17 the STAD. But at any point--it can't happen any too soon
18 that you start to standardize. And I'm not sure why they're
19 not. I would guess it's because everything starts at the
20 utilities, and maybe the utilities don't want to.

21 But on our chart here it shows loading, unloading,
22 loading, unloading over and over and over again. And at the
23 very beginning when it's coming out of the reactors, I guess,
24 the utilities want the biggest bang for the buck so you get
25 the most huge canister. Then you start knocking it down so

1 it can be transported to the storage facility, and I don't
2 know then if you go back up to a bigger canister.

3 DANIEL: So the issue you raise, Judy, is lack of
4 standardization for storage containers for canisters and
5 casks; correct?

6 TREICHEL: Right. And then at the very end there is a
7 big issue where the repository--a geologic repository--where
8 a lot of the design depends upon what's going into it. And
9 so getting something decided first, I would think, would be a
10 really good thing.

11 DANIEL: Thank you.

12 HOWARD: Rob Howard, Oak Ridge National Lab. I think,
13 to follow up on what Judy is saying, looking at the influence
14 diagram here, so there's an arrow that comes back from
15 disposal, and you can take it to any one of these other
16 operations. And the issue is, well, what are the disposal
17 requirements for that package? And so you have to--if you're
18 going to do standardization, you have to either know or
19 assume what the disposal requirements are and then move them
20 back to these other operations. So I think that's the
21 influence diagram implication there.

22 DANIEL: Okay. Nigel.

23 MOTE: Nigel Mote, staff. I'd like to clarify one
24 thing, because Judy didn't say it the way I'd like it said.
25 I'm not saying that that's wrong, and I'm sure there's some

1 misunderstandings here. What Judy picked up is that we have
2 repackaging several times on the diagram. That doesn't mean
3 each time it gets repackaged. They are optional.

4 The understanding the Board has is that if you
5 repackage from the dry storage containers, it will be once
6 into a different container. If you did it at the reactor
7 site, it's because you know that the container you put the
8 fuel in will then be able to go all the way through to
9 disposal. You wouldn't repackage until you know what you're
10 going to need for the end point, unless there is some other
11 configuration, some other influence. And that's another
12 issue. If you have to repackage to remove from the reactor
13 site and you still don't know what the disposal requirements
14 are, you may have to repackage a second time.

15 So it's a good point that Judy raised. Our
16 assumption was repackage once. But thinking about that it's
17 on a number of cells, it may be that it has to happen more
18 than once. I would expect that's in a limited number of
19 cases, though. But that's another issue of how many times do
20 you have to repackage--

21 DANIEL: --repackaging more than once.

22 MOTE: We want to stay away from selecting and saying
23 you don't want to or you do want to. But in this case I'm
24 sure there is a "don't want to repackage more than once
25 unless you have to".

1 CURRAN: I have a follow-up question to Nigel. I guess,
2 Nigel--this is Diane Curran--I would add to your question:
3 What if the fuel degrades inside a canister? NRC is talking
4 about very long-term storage on site, and it has to be
5 repackaged yet again because it fails? I think that's a
6 question.

7 DANIEL: Go ahead, Nigel.

8 MOTE: Nigel Mote, staff. I would say that is an issue.
9 We don't need to go any further than that here. Yes, if
10 there is fuel degradation, that isn't necessarily something
11 that would have been taken into account in all subsequent
12 operations. A quick comment. You know that the NRC has
13 invited comments on the possibility of changing from assembly
14 recovery to retrievability to package retrievability. I'm
15 not going to say we need to discuss that, but that is
16 something that needs to be taken into account in recording
17 that issue.

18 DANIEL: Earl, do you have an issue?

19 EASTON: Earl Easton, private citizen. A related issue.
20 Do the regulations, the way they're implemented, determine
21 who does the repackaging? I mean, that's a very important
22 point. If I have to repackage damaged fuel to transport it,
23 that means the utilities have to repackage it. If I can
24 somehow take transportation out of the equation by going to a
25 canister basis, it might mean that the receiving facility can

1 repackage it.

2 So the issue is: Do the regulations have
3 unintended consequences on who actually is going to do the
4 repackaging?

5 DANIEL: Thank you, Earl. Dr. Resnikoff.

6 RESNIKOFF: I wanted to follow up on what Judy said and
7 what Nigel said, and this relates to the economics of it.
8 And this is what Earl raised. Who is responsible under the
9 standard contract for packaging the fuel? My understanding--
10 I'm not a lawyer--is that the utilities are responsible for
11 that. So they're moving to larger and larger systems, which
12 are cheaper per assembly to use, rather than a large number
13 of small casks. If the utilities are responsible for that
14 cost, then they're going to go to larger system, is the way I
15 understand it.

16 DANIEL: So the issue you raise, Marvin, is the fact
17 that the utilities have one bent towards larger storage as
18 opposed to other areas of the cycle leaning more towards
19 possibly smaller canisters.

20 RESNIKOFF: Exactly. And this was raised yesterday by
21 the Chairman of the NRC when she said that there are two
22 different motivations here. One is for disposal, and the
23 other is for storage.

24 DANIEL: Correct. Thank you.

25 MAKHIJANI: Thank you. I'd like to go back to

1 something--

2 DANIEL: Your name?

3 MAKHIJANI: Arjun Makhijani, Institute for Energy and
4 Environmental Research. I guess Mr. Howard left?

5 SPEAKER: He disappeared.

6 MAKHIJANI: I wanted to follow up on something that he
7 said is, if the disposal arrow feeds back to earlier parts of
8 the cycle, for instance like canister size that has just come
9 up, and there are a number of canister or design canister
10 material the Chairman, Dr. Ewing, raised yesterday--or this
11 morning--the copper canisters in Sweden and so on--it means
12 really that you can't decide on the earlier parts of the
13 system till you know what kind of repository it's going to go
14 into.

15 And so I would think that part of the feedback from
16 this workshop, the next one, would be the issue of: Do we
17 need to have a site before we can settle some of these
18 critical questions? Because if you put it in salt, you've
19 got one problem; if you put it in granite, you've got quite
20 another problem.

21 DANIEL: Okay, so let me make sure I understand what
22 you're saying, Arjun. What you were saying is, we need to--
23 the issue is, we should determine first the repository and
24 the nature of the repository, and that would determine the
25 canisters and the nature and the characteristics of the

1 storage and transportation canisters; correct?

2 MAKHIJANI: It would have a very central influence, not
3 the only determining--

4 DANIEL: Right.

5 MAKHIJANI: I don't mean that.

6 DANIEL: But it would have a lot--that would dictate a
7 lot of these other things, answer a lot of these other
8 things.

9 MAKHIJANI: That is my view. And I think that's the
10 implication of the view that Dr. Ewing expressed this morning
11 that it's very important to know what kind of container
12 you're putting in what kind of environment.

13 DANIEL: Right. Thank you, Arjun.

14 Lee, did you get that?

15 Peter.

16 SWIFT: Peter Swift, Sandia Labs. I appreciate that
17 last comment. I fundamentally agree, it would be good to
18 know what the disposal environment is. We can, however,
19 separate between the container and the overpack. This point
20 was made yesterday with respect to storage. The copper
21 overpack in Sweden is that; it's an overpack; it's not the
22 thing you first package them into.

23 So the question here--I think this will come up in
24 Josh Jarrell's talk tomorrow afternoon to the full Board. Is
25 it possible to design essentially a generic standardized

1 disposal canister now and then overpack it in a way that will
2 work in any environment? And this isn't an open issue. I'm
3 not sure it is. But it's something we are thinking about,
4 and we'll hear more about it tomorrow.

5 CURRAN: Just a question for you, a clarification.

6 DANIEL: Diane, you're going to have to wait until I
7 call on you. I need your name and--go ahead, Diane.

8 CURRAN: This is Diane Curran. Are you saying that if
9 you standardize the container, it doesn't matter what the
10 geologic environment is?

11 SWIFT: Peter Swift, Sandia National Laboratories. No,
12 but I am saying that there are ways to--the question was: Am
13 I saying that it's possible to have a standardized canister
14 that essentially works in any geologic environment? We don't
15 know. Once again, that's one of the hard questions ahead of
16 us. But it is possible that you could design a standardized
17 canister that could be put in something for transportation,
18 taken to a disposal site, and then put in something different
19 to be disposed of without the need to open it again at the
20 disposal site. That would be Rob or John or Josh, if he's
21 here. That would be the point worth considering anyway.

22 The one thing is--keep this in mind--once you seal
23 it, if you want to take it all the way to disposal, you
24 really did seal it. So what you put inside, the hardware
25 inside the canister, the criticality controls, those things

1 you don't get to change after you pick your disposal site
2 later. So pick them carefully now to work in as broad a
3 range of environments in the long-term future as you can.

4 DANIEL: Thank you, Peter. Nigel.

5 MOTE: Nigel Mote, staff. To try and distill this down
6 to an issue, what I'm hearing is, it would be nice to know
7 what the geology is so that you can design for it.
8 Unfortunately, we can't make that choice, because we've been
9 trying to find the geology for the past 20 years or more.
10 Right now we don't have one, so we're in the position where
11 we have to make assumptions and decisions.

12 What this workshop is about is, identify that as an
13 issue, because you may need to keep options--well, you do
14 need to keep options open. There may be decisions you can
15 make so that things don't get any worse, and be aware that we
16 don't know what the geology is in determining how best to
17 manage the system. But there's a disconnect between that
18 analysis and the utilities, because we have a commercial
19 management initially in spent fuel management, and then we
20 have a national program that follows from that. So one of
21 the issues is to what extent does that disconnect dictate the
22 way things are going and create problems, if we can foresee
23 them, we may be able to find a way to resolve or ease in some
24 way.

25 SANCHEZ: Robert Sanchez with the Government

1 Accountability Office. I'm not a technical person, and I'm
2 at a technical workshop, so I'm a little over my head here.
3 But I've got a couple of observations, I think. One was, on
4 the chart that we see there's a couple of issues, I think,
5 that are missing. One is cost, which I think is going to be
6 a major driver of whatever technical decisions are made; and
7 the other is time. And I think that's also going to be a
8 major driver, and I think that's also going to impact the
9 ability to implement any sort of technical solutions. And I
10 think missing those from the chart--I think they have to be
11 involved in the discussion.

12 A couple of issues like on time, degradation
13 issues, I think, are things that have been brought up. I
14 think one that's missing from here, but I think has been
15 raised elsewhere, security. As the spent fuel, of course,
16 cools down, it becomes less radioactive, security becomes an
17 issue. And I don't see that reflected here.

18 And, of course, cost, the federal liabilities, and,
19 of course, the cost to the industry, if repackaging is
20 required, who does it when and where, I think, are probably
21 very major drivers in terms of what technical solutions are
22 implemented. And I think those need to be part of the
23 equation as well.

24 DANIEL: Very good. Thank you. Certainly issues.

25 EINZIGER: I just want to remind people--

1 DANIEL: State your name.

2 EINZIGER: Bob Einziger, NRC. I just want to remind
3 people, there is nothing in the transportation regulation as
4 it's written right now that doesn't--you can ship damaged
5 fuel not in the can. You can ship debris not in the can.
6 What the requirement says is you have to know what the
7 content is that you're shipping.

8 So if you want to declare it all debris and you can show
9 under that condition you can meet all the safety regulations
10 such as containment and retrievability--well, not even
11 retrievability, because there's nothing in the transportation
12 regulation that talks about retrievability. If you can meet
13 the criticality, you can meet the shielding, you can meet the
14 heat transfer in a degraded state, you can transport it. The
15 question you have to answer is, once you get it to the other
16 end, can you handle it? Can you accept it?

17 DANIEL: So there's nothing in Part 71 that talks about
18 retrievability?

19 EINZIGER: Right. So the question is: Do you even want
20 to keep it intact?

21 DANIEL: Susan.

22 HOXIE-KEY: Susan Hoxie-Key, Southern Nuclear. I wanted
23 to add on to the point made by the gentleman from the GAO.
24 One of the things that I don't hear us talking about in time
25 is the fact that, as we go out in time, there will be more

1 early shutdowns of plants. The longer we delay solving this,
2 the more plants that are going to be in the decommissioned
3 stage, because as we approach the license end of life, the
4 utilities will be making decisions about major mods and major
5 maintenance; and they will find that these large-dollar
6 activities can no longer be economically amortized over the
7 remaining life of the plant.

8 So as we approach the end of life, we're going to
9 find plants not really making it to the end of their 60-year
10 license life. And that's going to move the time frame, you
11 know, forward earlier in time that we have to deal with this.
12 So I'm just saying the sooner we--

13 DANIEL: Distill it down to an issue for us.

14 HOXIE-KEY: Okay. So we need to make decisions and move
15 forward quickly, and how can we do that?

16 DANIEL: Okay. So actual implementation is an issue--

17 HOXIE-KEY: Yes. We don't have 20 more years to study,
18 or we're going to be in a situation where every plant is shut
19 down, and the only issue we're dealing with is these orphan
20 sites.

21 DANIEL: Good enough. Thank you.

22 EINZIGER: Bob Einziger, NRC. Just one question:
23 Should plants be able to shut down and get rid of their pool
24 until the fuel is gone?

25 DANIEL: Gary.

1 LANTHRUM: Gary Lanthrum, NAC. One of the other issues
2 is contract requirements. Right now the discussion has been
3 about whether or not you could repackage at utilities, but I
4 don't think there's anything contractually that obligates
5 utilities to do that. And so DOE is going to have to engage
6 if they want additional work to be done at utilities,
7 particularly during the window after shutdown and before the
8 pool is removed. That would take a fairly significant set of
9 contract negotiations that would have to be undertaken.

10 DANIEL: Okay, thank you, Gary. Nigel.

11 MOTE: Nigel Mote, Board staff. Gary, I'm sure I agree
12 with you, and I don't see anybody from DOE here. Jeff's in
13 the other session now.

14 As I understand it, there is nothing that is agreed
15 so far that says DOE will pick up fuel, other than in bare
16 assemblies. So the utilities may not need to repackage. But
17 if there's hardball being played, right now the only way out
18 is for DOE to specify the container and for the utility to
19 load them. And if it gets down to a legal discussion--and
20 I'm way outside any formality here, but we are expressing
21 views--my understanding is that DOE could say, We're taking
22 spent fuel, and until that time it's yours.

23 And I'm not advocating, but the issue out of this
24 one--and I'm trying to think in terms of issues--is: Is
25 there a way for the fuel to be taken away other than as bare

1 fuel assemblies? Otherwise, this discussion is moot.

2 So the starting point is the current contract, and
3 something has to change between now and the future for
4 containers to be taken away other than in that way. That
5 would dictate that repackaging is all at the utility sites.
6 And I'm only saying that's the logical progression. I'm not
7 advocating a view or taking a position, but the issue is:
8 Can you remove that blockage?

9 DANIEL: Got that, Lee?

10 PEDDICORD: No.

11 DANIEL: Tell us again, Nigel, short and sweet.

12 MOTE: Okay. The issue is for fuel to be taken away
13 from the site other than as bare fuel, there would need to be
14 a revision to the standard contract under the Nuclear Waste
15 Policy Act.

16 DANIEL: All right, thank you, Nigel. Issues, issues,
17 there are a lot of issues.

18 NUTT: Mark Nutt from Argonne National Lab. Just
19 looking at the influence diagram you've got, I don't know if
20 it's going to be an issue, but just walking through it,
21 there's a tremendous amount of feedback all the way across
22 it. And we heard earlier, if you start, things get delayed,
23 more fuel goes into canisters, and those canisters have to be
24 handled through the system. So the likelihood is they're
25 going to get shipped to the storage facility and parked as

1 canisters in the storage facility. When and where they're
2 repackaged there or the repository can be decided later.

3 But, again, the longer we wait, the more fuel goes
4 into canisters. So if the acceptance can begin--it all
5 hinges around when acceptance of fuel starts and in what way
6 that fuel is taken off the site. I think Rob or someone
7 showed yesterday, there can be upwards of about 40,000 tons
8 of fuel still sitting in the pools. That's game for reducing
9 or doing anything with. You can keep it as bare fuel; you
10 can store it as bare fuel; you could repackage it later once
11 you have an idea. But if you can reduce, I guess I'll call
12 it, the hemorrhaging of everything that's going into
13 canisters--everybody thinks everything is going into
14 canisters and moving off as canisters--I think there could be
15 technical solutions and ways to turn that around provided
16 once acceptance starts, and then you have tremendous
17 flexibility throughout the system of dealing with what's
18 left. We're always going to have to do something with the
19 canisters that are being loaded. They're going to have to be
20 repackaged unless the guys in the next room can figure out a
21 way to get them underground.

22 But it's going to be there. And the key is, can we
23 do anything on the acceptance side and then on the interim
24 storage side, if we go that route, to try to minimize the
25 size of the problem.

1 DANIEL: Okay. So the issue is to try to quickly focus
2 on minimizing the magnitude of the problem, as you put it, to
3 stop the hemorrhaging.

4 NUTT: Correct. And there's feedbacks all the way
5 across that system of how you operate and how you set that
6 thing up.

7 DANIEL: Thank you. Okay, go ahead, you've got it.

8 TREICHEL: Judy Treichel. Is there any way--and I don't
9 know the answer--is there any way that you can have--I know
10 regulation is always a dirty word, but something overarching.
11 Because every time we transfer fuel, it's older and it's
12 gotten more brittle. And many of the things that Marvin
13 brought up are wrong with the fuel, and that only continues
14 to get worse as you go on. And at the beginning of your
15 chart, the bigger the canister, the better they like it. At
16 the disposal end the smaller the canister, the easier to deal
17 with the repository issues.

18 So I know that you're talking about the freedom of
19 the utilities here, but isn't there any kind of overarching
20 regulator that can say you can't do this in the front end
21 because it hurts the back end? I don't know how you would do
22 that.

23 DANIEL: Judy, that's a good question, but it's a little
24 off topic where we're trying to go right here, and I'd like
25 someone to have a sidebar conversation with you on that, if

1 we could, after this discussion. We're really trying to
2 focus on these issues related to repackaging, okay? So I
3 don't want to ignore you, but I'd like someone--Nigel.

4 MOTE: Let me try and get that to an issue. I want to
5 say the issue is: How do you look at the national interest
6 as a whole when you have two independent management steps in
7 the chain? One is commercial, and one is governmental. And
8 one is an independent operation on the utility side, and the
9 other one is an integrated program on a national basis. The
10 issue is: How do you resolve the conflicting interests of
11 those two?

12 DANIEL: That's the one. Thank you, Nigel. Thank you,
13 Judy.

14 ROWE: May I just--

15 DANIEL: Gene.

16 ROWE: Yeah. Gene Rowe, staff. I think that, to boil
17 it down to a simple issue, I think the issue is that the
18 entity that is responsible for transportation and disposal is
19 different than the entity that's responsible for storage.
20 And obviously at this moment the DOE is the entity that's
21 responsible for transportation and disposal at this point,
22 and they have no influence, because of the Nuclear Waste
23 Policy Act, on how the utilities load the canisters or how
24 they do dry storage.

25 So the issue, I think, is resolving that conflict

1 so that--and I don't want to come up with a solution, but the
2 issue is that the DOE has no influence on how those canisters
3 are loaded. And I think that is the bottom line for most of
4 this discussion.

5 DANIEL: That's an issue. Thank you, Gene. Kris.

6 CUMMINGS: Yeah, I think that ties into--

7 DANIEL: First give us your name, please.

8 CUMMINGS: I'm sorry. Kris Cummings, NEI. I think your
9 comments feed into exactly the issue I wanted to bring up,
10 which was the issue of safety. The primary importance of the
11 plants as they operate is that they operate safely, that they
12 load these casks, and they do it in a safe manner.

13 And, yes, maybe bigger casks is more cost
14 effective, but it's also safer, because you have less
15 evolutions in your plant. You can do it in a condensed time
16 frame. You have move, de-move, things like that. So there's
17 a combination of the larger casks being--I guess I'd call it
18 the sweet point of being a cost effective, more safe solution
19 to the dry storage problem.

20 We don't have a repository. We don't have a
21 canister or a repository that's been designed that can factor
22 into the front end, the loading of the dry canister. So the
23 utilities have taken on themselves with the cask vendors to
24 design something that works for the system as it is right
25 now. When we get a repository, and we have a design, and it

1 may make sense to package into things that are good for
2 disposal. But until that happens, we need to make sure that
3 we continue to focus on safety in the bigger systems are
4 that.

5 So I guess the issue that I would have the Board
6 would be: What is the safest thing that we can do in the
7 context of the situation that we have now? Not in 40 years
8 or 35 years in 2048 when we have a repository, but what is
9 the safest thing to do now?

10 D'ARRIGO: Diane D'Arrigo, Nuclear Information and
11 Resource Service. When you said the less evolutions at the
12 plant required--

13 CUMMINGS: I mean in terms of loading a cask. So if you
14 load 5 casks instead of 9 times as many, meaning 45 casks,
15 that's five evolutions of a cask loading. That's what I
16 meant by evolution was a cask loading of itself. And then if
17 you load 5 big casks versus 45 casks of the small ones, then
18 you've got a lot less operations that you're doing in terms
19 of sealing that cask and things like that. So that's what I
20 meant by an evolution.

21 DANIEL: Okay. Issues related to repackaging, for
22 storage, and disposal--I mean for transportation or disposal.
23 Diane.

24 CURRAN: I want to follow up on an issue that was raised
25 just a minute ago. What I heard it as was: How does the

1 Nuclear Waste Policy Act constrain the DOE from resolving
2 this conflict between various interests at different stages
3 of this? I'd like to add a question, which is: Does the
4 Nuclear Waste Policy Act or the Atomic Energy Act constrain
5 the NRC from doing that in any way, and how would the two
6 agencies interact?

7 DANIEL: Okay. Gene.

8 ROWE: I think this is one issue where we can let the
9 NRC off the hook. I don't think the issue that's being
10 discussed really--the NRC really doesn't have any impact on
11 that decision. The NRC doesn't care whether they're big
12 packages or little packages. What the NRC cares about is
13 that it's done safely.

14 CURRAN: Well, you know, to me, I'd like to keep that
15 issue on the table. I think that's too simplistic an answer,
16 because the NRC is concerned with safety from cradle to
17 grave. So it's not--the NRC doesn't put on blinders and say,
18 We're only going to look at this point and not another. I
19 think it deserves some consideration.

20 ROWE: I don't disagree, okay?

21 CURRAN: Okay.

22 DANIEL: We have representatives from the NRC here.
23 This session is being transcribed, so, Mike, you heard it;
24 right? Good enough.

25 And, Diane, you're welcome to talk with Mike

1 afterwards. Michael will talk to you right now.

2 CURRAN: But just to finish, when we raise issues--when
3 we put issues into the hopper, is there a process for taking
4 them off the table when someone's put them on? Because
5 that's what I heard happening, oh, your issue wasn't
6 legitimate.

7 ROWE: No, no, no.

8 DANIEL: I think, Diane, this session is about the
9 repackaging of spent nuclear fuel. This whole session is
10 designed to talk about the repackaging of spent nuclear fuel
11 for transportation and disposal.

12 Nigel.

13 MOTE: I'd like to try and get the issue out of this,
14 because I think it's important. And I would make it generic
15 and say: To what extent does existing legislation--whether
16 it's regulatory or not, to what extent does existing
17 legislation constrain the options that may lead to the
18 optimum management of fuel within the system?

19 DANIEL: Okay, Mike, go ahead.

20 WATERS: This is Michael Waters of USNRC. First of all,
21 this is not the person who can speak on behalf of the staff,
22 but I think Kris Cummings and then Diane raised the
23 questions. I would like to understand better how repackaging
24 these casks/canisters are indeed safe at a power plant. I
25 think we need more risk analysis to do that. But I also

1 think Diane is correct. The NRC is responsible for safety of
2 the spent fuel with regards to the licensee in the area of
3 storage and disposal. So the question of safety does
4 transcend across industry and DOE, and I think it is a
5 legitimate issue you can consider over the lifetime of spent
6 fuel what is the safest approach. On the other hand, the NRC
7 does not have a policy on that, and we do have (inaudible)to
8 look at storage separate from disposal--

9 MAKHIJANI: Could I follow up on that a little bit, and
10 then I have a question--

11 MAKHIJANI: Arjun Makhijani. Sorry about that. Just a
12 remark here to the facilitator is, you know all decisions
13 that involve containerization, dry storage, size of canister
14 have implications for repackaging. So I think an idea that
15 some issues can be ruled out of this workshop because they're
16 not directly repackaging, in my opinion, is to misconstrue
17 what the idea of--how broad the implications are of the kinds
18 of decisions we're talking about. Just my opinion. You can
19 take it or leave it.

20 DANIEL: Point taken, Arjun.

21 MAKHIJANI: I have a follow-up question for the
22 gentleman from Argonne. I'm sorry, I didn't get your name.

23 I understood from what you said you implied that
24 most or all of the--that repackaging will be required before
25 disposal for what is now in dry canisters and what will be.

1 Did I misunderstand you or--

2 NUTT: Mark Nutt from Argonne National Lab. If you look
3 at some of the design work and the stuff that the Department
4 of Energy under the Used Fuel Disposition Campaign are
5 looking at the--I call them the European designs--those are
6 all much smaller canisters. So if you're going to take one
7 of those designs and utilize one of those, yeah, you're going
8 to have to repackage what's in the large storage canisters
9 into those canisters.

10 Now, the work they're talking about in the other
11 room is the feasibility or potential for direct disposal of
12 the large canisters. If that can be--if a site can be found
13 and that can be demonstrated feasible, you wouldn't need to
14 repackage. But that's over there. We're talking about the
15 need to have to repackage those canisters, and it's all to
16 meet the disposal requirements.

17 MAKHIJANI: Could I follow up just to clarify?

18 DANIEL: Sure, Arjun. There's the microphone.

19 MAKHIJANI: Arjun Makhijani again. So this is kind of
20 a--thank you very much--very informed clarification, because
21 the French repository, for example, that we've looked at in
22 my institute and evaluated, we thought that large boreholes
23 would be very difficult in that repository location. So one
24 kind of possible feedback with very major implications for
25 site selection of what the utilities are--and repackaging--

1 for what the utilities are now deciding in terms of, you
2 know, it being more economical and maybe less worker exposure
3 and so on.

4 Maybe there would be a lot more worker exposure
5 down the line, and one issue for the NWTRB to examine is:
6 What are the implications down the line for worker exposure,
7 safety, repackaging, and site selection of the decisions that
8 utilities are now making regarding canister size. Because,
9 actually, the Chairman of the NWTRB was part of our team when
10 we first looked at the French repository, not the second time
11 around. And this is just an absolutely huge issue in terms
12 of constraining site selection.

13 DANIEL: Okay. So what you're saying, Arjun, is--you're
14 saying the issue is: Based upon what the utilities are doing
15 now, what implications does that have in repackaging and
16 hence exposures to individuals in repackaging as you go
17 through the cycle?

18 MAKHIJANI: Plus site selection, because if you don't
19 want to repackage, that is going to constrain your site
20 selection. If you don't want to constrain your site
21 selection, it's going to mean repackaging. So there is a
22 feedback.

23 DANIEL: Thank you.

24 SUBIRY: Juan Subiry, NAC International. I think
25 another issue that we need to get very serious about is the

1 transport requirements of having a very large number of
2 canisters if you do repackage, especially at the utilities
3 that will be shipping, and utilities do move to a higher-
4 capacity system for the reasons that Kris Cummings mentioned
5 -- safety, economics. But also they have an end in mind, and
6 their end is to ship the fuel off site.

7 And if you are going to, for example, triple the
8 number of canisters that you will be generating at a
9 facility, there are serious security consequences. There are
10 a lot of, for example, rail transport infrastructure
11 considerations, cost, scheduling, things like that that the
12 industry really needs to consider. That, in my view, will
13 probably favor, if repackaging is the decision, to be done at
14 the receiving site. It's an issue that needs to be
15 evaluated.

16 I believe that if that decision to repackage at a
17 receiving site is made, then, in contrast, the logic will
18 tell you that moving to a higher-capacity system at the site
19 is the right thing to do, because you will have fewer systems
20 and at the receiving facility fewer receipts and, therefore,
21 fewer packages to repackage. Thank you.

22 DANIEL: Thank you, Juan.

23 BECKER: Steven Becker, Board. The gentleman from the
24 GAO identified several non-technical drivers about the
25 ability to make and implement these technical decisions.

1 Here's another one that has thus far been conspicuous by its
2 absence: What needs to be done to better incorporate the
3 public into these technical discussions and decisions?

4 DANIEL: Thank you. Okay, Judy.

5 TREICHEL: Judy Treichel. This is just a question. Is
6 it assumed that all transportation is rail, or is it assumed
7 that the transportation overpack or cask can go by either
8 rail or truck?

9 DANIEL: Nigel.

10 MOTE: Nigel Mote, staff. Can I turn that into an issue
11 and say, for all transportation stages, all modes of
12 potential transportation need to be considered, and the
13 implications of those upstream and downstream need to be
14 taken into account in optimizing the system.

15 TREICHEL: Okay. Judy Treichel. Then that means you've
16 got to have smaller packages.

17 MOTE: Mote, staff. No, if you have small packages,
18 then there will be different considerations, limitations,
19 than if you are transporting large packages. To try and keep
20 it at the issue level, what we're looking for is: What
21 implications do you need to take into account in looking at
22 how to optimize the system?

23 And if we're looking at repackaging, yes, you'd
24 have small packages at the disposal point. But as the
25 previous discussion considered, you can do that in different

1 places; and where you do it will be determined by
2 transportation regulations, commercial analyses, other
3 influences. But as the issue, I would say that you need to
4 be open-minded and say -- well, let me put it in terms of the
5 discussion matrix. If you look at transportation from a
6 potential interim storage facility to the repository, what
7 are the implications of that transportation requirement for
8 storage at the interim storage facility?

9 If you have long-term storage, does that include
10 your repackaging so you have more transportation operations?
11 If you repackage at the disposal facility, then you have less
12 transportation operations from the central storage facility.
13 But less transportation means bigger packages. So there's an
14 interplay between all of these, and the issue is to keep the
15 options open and look at how best to manage the system.
16 Small packages could be rail transportation; and large
17 packages presumably could be barge or rail.

18 TREICHEL: Judy Treichel. Well, you have some reactors
19 without rail access and some reactors where you have bridges
20 that won't handle those loads, there are some reactors that
21 can't get waste away from them by either barge or rail.

22 MOTE: Then the issue is to look at the limitations of
23 individual sites in planning the transportation system.

24 TREICHEL: Okay.

25 MOTE: Judy, I agree with you. I mean, I know a lot of

1 sites where there are transportation limitations. We can't
2 take account of that. That's a downstream operation for DOE
3 or the subsequent implementer or the utilities. The issue,
4 as far as we're concerned, is there are limitations based on
5 reactor site access limitations.

6 TREICHEL: I guess I was just making a point for smaller
7 containers.

8 DANIEL: I want to take a break in the discussion here
9 and refocus us on this matrix. If you look to the--if you
10 take a look at the matrix, look at A-1 and look--it talks
11 about spent nuclear fuel in the fuel pool.

12 Is this a possible issue that the storage racks in
13 the spent fuel pool might be different--or the storage racks
14 in the spent fuel pool might be different than in the storage
15 container, and therefore the criticality issues may be
16 different? Is that an issue? Look at each one of these
17 things. Look at the relationship of these items as you go
18 down through the matrix. I'd like to focus us back on the
19 technical issues that be falling out of these various
20 functions. Sven.

21 BADER: Sven Bader, AREVA. During our studies in IDIQ
22 14, some of the things that we've assumed were that the fuel
23 is retrievable after transportation. And by regulation, I'm
24 not sure that's true. And so another consideration, another
25 issue is, after you've sat on the pad for 40 years and then

1 you do transport, do you think the fuel will still be
2 retrievable into another package?

3 DANIEL: So you're talking about retrievability of spent
4 fuel--

5 BADER: Retrievability after transportation was one of
6 our issues. Another issue that we had is: What exactly is
7 failed fuel? Different people define failed fuel
8 differently, and it seems like an issue that might be worth
9 bringing up is getting a succinct definition of what failed
10 fuel is.

11 DANIEL: So as far as--

12 BADER: In this context, yes.

13 DANIEL: We need to have a collective understanding as
14 to what constitutes failed fuel, and there's nothing right
15 now. It's different understandings between different groups;
16 correct?

17 BADER: Correct.

18 DANIEL: Okay. Lee, good on those?

19 PEDDICORD: No.

20 DANIEL: No. Give us those again, the various--

21 BADER: Retrievability after transportation concerning
22 the history before transportation.

23 DANIEL: Okay. And different--what constitutes failed
24 fuel and the implications.

25 BADER: Just to add one other issue to that is, you

1 know, the implications of wet transfer after dry storage.

2 DANIEL: Implications of wet transfer after dry storage.

3 Okay, thank you, Sven. Diane.

4 CURRAN: This is Diane Curran. I just want to follow up
5 or, I guess, develop a little more the issue that Nigel and
6 Judy were talking about. And what occurred to me was that,
7 getting back to the issue of transportability, there may be
8 some drivers or some overriding factors that--are there
9 factors that--are there safety-related factors that drive the
10 choices of, say, for instance, what size package you use at
11 the reactor site and--

12 DANIEL: So maybe the issue being what are the most
13 critical safety factors in repackaging--

14 CURRAN: Right. Are there some that trump everything
15 else that you consider? And also one of the issues that's
16 come up here is the degree to which standardization can be
17 done and when is it done. Are there some factors that really
18 get in the way of standardization? It's just a question.

19 DANIEL: Another issue is what factors most inhibit
20 standardization.

21 CURRAN: Yes.

22 DANIEL: Okay. Marvin.

23 RESNIKOFF: Marvin Resnikoff. Jeff Williams pointed out
24 yesterday that there are different heat requirements for
25 these casks between storage and transportation. In other

1 words, he looked at 32-PWR-element casks and had a maximum
2 heat of 34 kilowatts. But in transportation, because there's
3 more similar circulation to cool the fuel, the heat
4 requirement goes down to 20 kilowatts. So those larger casks
5 have to sit on the pad longer than if it were a smaller cask.

6 DANIEL: Okay. How about going back to A-1 in the
7 matrix, what if uncanistered fuel assemblies were transferred
8 to the consolidated storage facility? Would there be a pool
9 that would need to be built there? Is that an issue?

10 HOWARD: Rob Howard, Oak Ridge National Lab. I think
11 the issue that you're getting at is, we need to define the
12 storage system if you're going to move their fuel from the
13 reactor to the consolidated storage facility. And that
14 choice, as Mark Nutt pointed out, of storage system that you
15 use will have implications if you have to repackage at the
16 storage facility.

17 DANIEL: Okay. Robert.

18 SANCHEZ: Robert Sanchez with GAO. I just have a
19 question, because I don't have the answer to it, and I don't
20 know if anyone else does, so I don't even know if it's an
21 issue. And that is, on the standard contract, if the bare
22 fuel that DOE is supposed to pick up at the fence, if there
23 is any sort of requirement that it meets certain thermal or
24 radiation, I guess, requirements so it is transportable.

25 Because it seems to me as if DOE is saying they're

1 not going to take spent fuel from the large canisters already
2 there and that industry is responsible for repackaging. And
3 I don't want to speak for industry, but it kind of seems the
4 obvious that they're just going to take stuff from the pool.
5 And I understand that the pools are restrained enough in
6 terms of the configuration of the assemblies that are in the
7 pool that they're going to pick the hottest, youngest fuel
8 that they can take out of the pool, so giving them some
9 freedom in terms of, again, loading more assemblies in the
10 pool. And that may constrain what DOE is able to move in
11 terms of canisters, I mean, taking something for
12 transportation.

13 If industry is compelled because DOE is not taking
14 spent fuel from the canisters--that is, the older, cooler
15 fuel--and industry is compelled to give the younger, hotter
16 fuel to DOE, I'm not sure that that's going to be a win-win
17 situation, and that may offer some further constraints.

18 I don't know if that's an issue or not, so I don't
19 know what the answer is, if there is anything in the standard
20 contract.

21 DANIEL: All right, thank you. Do we have anyone here
22 from DOE? This is on the same topic?

23 D'ARRIGO: Yes, it's--Diane D'Arrigo, Nuclear
24 Information and Resource. I just needed clarification. When
25 we talk about bare or, whatever, plain fuel from the pool

1 being taken anywhere, obviously it has to be in some kind of
2 container. So I'm just trying to visualize what's meant
3 when--it's been said a couple of times, and obviously bare
4 fuel isn't moved anywhere via container.

5 MOTE: I'll answer that -- Adam Levin might choose to
6 add something. When fuel assemblies come out of the core,
7 they're put into the spent fuel racks in the spent fuel pool
8 to cool. Those can be put into bolted casks for storage on
9 the site. A bolted cask can go back in the pool, be
10 unbolted; the fuel assemblies can be taken out. Some of
11 those casks can be transported. But until the fuel is put
12 into a different canister, you can pull the fuel assembly out
13 as a fuel assembly unless it's degraded.

14 The utilities have moved to putting those bare fuel
15 assemblies into canisters and sealing them, because
16 potentially that has--it gives them more independence. They
17 can move that around as a unit; and, as we've heard, it's
18 more economical than handling--than storing bare fuel
19 assemblies long-term on a pad. The bare fuel assemblies
20 means that they are in the same form that they came out of
21 the reactor. They can be handled as those fuel assemblies
22 where a sealed container with 30-PWR or 80-PWR assemblies,
23 and that gets handled as a package of that many fuel
24 assemblies. So bare fuel is just a single fuel assembly.

25 D'ARRIGO: In a canister?

1 MOTE: No, in a location in either a rack or a bolted
2 cask for storage.

3 D'ARRIGO: So if it's in a bolted cask, it's also--you
4 can call it bare fuel or whatever you're calling it if it's
5 in a bolted container?

6 MOTE: Yes. It means it's not in a sealed container--
7 excuse me--it's sealed but it's not welded sealed. The
8 canisters we're talking about are very large and they're seal
9 welded so that the fuel--

10 D'ARRIGO: One assembly per--

11 MOTE: No, 32 assemblies, 64 assemblies, depending on--

12 D'ARRIGO: I'm sorry, I've been reading on it, but I
13 don't have all the details. Okay. So you've got a bunch of
14 assemblies, and they're in a container that's not bolted or
15 that's not welded, and that is considered bare fuel.

16 MOTE: Yes.

17 D'ARRIGO: Okay.

18 DANIEL: Go ahead.

19 JONES: This is Jay Jones, Department of Energy, and I'm
20 with the Office of Nuclear Energy. I just want to go back to
21 the standard contract a little bit. I know there are a lot
22 of issues between DOE and the utilities on the acceptance of
23 fuel. And we have an Office of General Counsel, who is
24 actually dealing with the standard contract. So I don't
25 think at this point there are any issues that we can resolve

1 here on a technical basis without input from the General
2 Counsel.

3 DANIEL: Thank you. And, again, we want to stay away
4 from talk about resolving issues. We're not going to do them
5 here. We're trying to identify, identify, identify issues.

6 BERLEPSCH: Thilo Berlepsch from Germany -- DBE. One
7 question for clarification first. There are CASTOR casks in
8 Germany. They are only bolted. Would that mean that there
9 are bare fuel in them? Really, it's just for understanding.

10 MOTE: Nigel Mote, staff. As far as we term it in this
11 country, yes, it means that you have not put those assemblies
12 into a package which may or may not be considered a disposal
13 package that is seal welded. If it's not seal welded, for
14 this discussion we consider it a fuel assembly to be bare
15 assemblies, because they can be handled as bare assemblies
16 without having to cut open a container.

17 BERLEPSCH: Okay, thank you. Then one comment or one
18 issue concerning the size of the casks. Our experience in
19 Germany is that we can transport these heavy casks even on
20 the streets. The CASTORS are 220 tons. The transport is
21 rather slow. I have to admit that. But you can at least
22 transport it to the next train station. But there other
23 things concerned with the size as well, of course, and this
24 is just a transport on the facility, on the repository site,
25 of course, which is then an issue on how to handle all the

1 different casks. I think it's a big issue for you.

2 So when you're thinking of the receiving site and
3 you are thinking of--I forgot the number--30 different casks,
4 then you have to have the means at the site to really handle
5 all these different casks, and you have to store them,
6 somehow on the site, and this needs quite a lot of
7 requirements on the storage itself to have these very
8 different casks on the site.

9 DANIEL: So the issue being, as far as handling and
10 storage and transporting these, there's a lot of
11 considerations to take into consideration, a lot of
12 implications, for the various sized casks and storage
13 canisters and things like that; correct?

14 BERLEPSH: Especially when you handle them at one site,
15 at the receiving site.

16 DANIEL: Especially when they're handled at one site.

17 CUMMINGS: I guess this is a different issue I wanted to
18 raise. Oh, sorry, yes. Kris Cummings, NEI. One of the other
19 limitations associated with coming from storage to transport,
20 other than the thermal requirements that you have a much
21 higher thermal ability in a cask in storage versus
22 transportation, is the criticality requirements. In storage
23 it's been certified by the NRC, and you don't have to assume
24 pure water ingress into the cask. This is really an issue
25 for the PWR reactors, which have soluble boron in their spent

1 fuel pool.

2 Meanwhile, in transportation you have a specific
3 requirement, and you have to assume that pure water gets into
4 the cask. There have been several studies that have been
5 done both by the NRC and EPRI that have shown that the
6 probability or the risk of such an event happening when you
7 have a transportation accident that's over water, that gets
8 the water in and would cause a chain reaction, is incredibly
9 low; several orders of magnitude below the safety criteria
10 that the NRC has.

11 So one of the issues that I think would be good for
12 the Board to look into is to relook at that issue as to
13 whether it makes sense to have that additional limitation in
14 the transportation side for these varying credible events
15 when the NRC has certified the storage and transportation
16 casks to not leak the helium that's in there. They've
17 certified that. That's not part of the licensing basis.
18 They've basically certified that these casks--the welded
19 ones--I want to make that clear--the welded ones do not let
20 the helium out. So if the helium can't get out, how can the
21 water possibly get in on the transportation side?

22 DANIEL: One of the issues you're raising is the
23 difference in criticality requirements between transportation
24 and storage.

25 CUMMINGS: Correct. That's correct.

1 DANIEL: Gene.

2 ROWE: I would like to expound on that a little bit and
3 carry it to disposal, because the disposal requirements are
4 also different than the transportation or storage
5 requirements because of the long-term requirements for
6 storage. So the issue is, in my mind, that the criticality
7 requirements across this chart are different depending on
8 which phase you're in.

9 DANIEL: Good. Thank you, Gene. Jim, do you want to
10 add to this discussion or a new one?

11 WILLIAMS: I want to insert a question at some point.

12 DANIEL: Okay. We're going to hear about your issue,
13 and then we're going to take a break, a ten-minute break. So
14 go ahead.

15 WILLIAMS: Jim Williams. I just wanted to ask a
16 question or raise an issue that I don't think I've heard
17 quite, and it has to do with monitoring what's going on in a
18 sealed canister once the stuff is sealed. And my
19 understanding is that that monitoring capability is very
20 limited. So that introduces an uncertainty about what's
21 happening to that spent fuel over time. That is exaggerated
22 then or has greater implications once you put it into a
23 transportation mode where it's getting shaken around.

24 And so it sort of leads to--and then reading the
25 waste confidence study assumes that dry transfer can happen

1 indefinitely into the future on a hundred-year basis, I don't
2 know that--you know, there's a bunch of things, sort of when
3 do you do what and so forth that sort of gets, to me,
4 introduced by the fact that we really don't know very much in
5 precision about what's the status the fuel once sealed.

6 DANIEL: Okay. So the issue you're raising, Jim, is:
7 How do you monitor the contents of the fuel as it--

8 WILLIAMS: I'm not sure if the question is how to
9 monitor, but rather how to make decisions since we cannot
10 really monitor.

11 DANIEL: Okay. So how do you make decisions on the
12 content when you don't have the ability to monitor it? And
13 this is maybe amplified a little bit by what Dr. Resnikoff
14 raised earlier about high burnup fuel as it's transported and
15 the ductility of it and all.

16 So let's take a ten-minute break. While you're
17 taking a break, be thinking about issues, issues. And we'll
18 see you in ten minutes, folks. Thank you.

19 (Whereupon, the meeting was adjourned for a brief
20 recess.)

21

22 DANIEL: Thank you. Please have a seat. I just want to
23 encourage all of you in our final hour together here for
24 really trying to focus on the technical issues related to
25 repackaging during the facilitation, transportation, and

1 disposal. So, I want to drive this hard.

2 I would ask Gene Rowe from the Board to give us an
3 example using the matrix. So, Gene?

4 ROWE: Yeah. Okay. If you look at the matrix, and this
5 one is applicable to several different evolutions, but if you
6 look at canister loading, B-21, and what impact that has on
7 disposal, which is K-11, it's really very similar to D-4 to
8 K-11, or G-7 to K-11, or J-10 to K-11. It was discussed in
9 general this morning, and I think a lot of good points were
10 made. But I think that to boil it down to a simple issue is
11 like--if you want to do any repackaging for disposal, you
12 have to define what the disposal requirements are. And at
13 this point, the disposal requirements are, I'll say, vague,
14 at best. So, the issue is in order to do a repackaging for
15 disposal, the disposal requirements need to be defined. And
16 that's a very simple, I think, issue, and that's the type of
17 thing we're trying to do is boil it down to something simple
18 like that.

19 DANIEL: Before we start, just an administrative item,
20 folks. If you haven't registered, please register when you
21 leave the room, because we want to make sure that we have
22 everybody's organization and contact information. If you
23 speak, we definitely want to have the right spelling of your
24 name and all, so please, if you haven't registered, please do
25 so. Okay? Thank you.

1 Thilo?

2 VON BERLEPSCH: So, Thilo Berlepsch from DBE just
3 directed to this. I would suggest to specify it a bit more.
4 I wouldn't say it's a sequential process. You have to do it
5 at the same time. You have to look at the same time on the
6 development of possible disposal canisters and the
7 repository, because as he already said, they're working
8 together, the two systems.

9 DANIEL: Respond to that, Gene.

10 ROWE: I guess I'll make a comment that I heard from one
11 of the DOE managers at one of our Board meetings--and I may
12 be out of place when I say this, but the comment, which I
13 agree with 100 percent, is you should design your repository
14 for the waste stream, not design the waste stream for the
15 repository. And because we have such a diverse waste stream,
16 to try to take all of the cats and dogs that we have out in
17 the industry and try to standardize that into one frog that
18 can go into a repository, I think that the repository should
19 be designed to accept all of those cats and dogs. Not an
20 easy thing, but I think that should be one of the objectives.

21 DANIEL: So take a look at--I'm sorry; go ahead.

22 What is your name, please?

23 EINZIGER: Bob Einziger, NRC. One thing I haven't seen
24 considered here is intermediate steps. And as an example, we
25 talked about coming out of storage and going to

1 transportation and do we meet the transportation
2 requirements, and then you talk about disposal. But an
3 intermediate step is if you go to the interim storage site
4 again, because you come out of storage and then you have to
5 meet all the transportation requirements in terms of heat and
6 ability of the canister if you're using it for moderator
7 exclusion again, and a fuel loss, so--and then, if you're
8 going to go to an interim storage site, you have the issue of
9 meeting once again all of the requirements of Part 72 with
10 respect to the canister. If you have a canister that's at a
11 site where you have salt, you may have corrosion of that
12 canister. Now you put it in a transportation cask and you
13 have to ask yourself what changes are in that transportation
14 casks to that canister. And then once again when it goes
15 into the storage site, will it meet the storage site
16 requirements? And I haven't seen anybody asking questions of
17 the intermediate conditions. It always seems to be one step
18 to the next, but not one step to the third point.

19 DANIEL: Well, distill it down for us as an issue. So,
20 you're saying there's not recognition of intermediate steps,
21 or--

22 EINZIGER: I'm saying you can't look at just one leg of
23 that chart. You've got to look at the full path and take
24 into account all of the intermediate steps when you decide
25 what conditions a particular system has to meet.

1 DANIEL: Okay. Let's look at the chart. Look at B-2
2 canister loading. What implications does that have on
3 storage at the consolidated storage facility? What issues
4 are associated with that?

5 ROWE: I think that's an excellent point, and I think
6 that the issue is, especially if you're going from an ISFSI
7 at the utility site to transportation from a utility site, I
8 think that that point is a valid point. How do you meet the
9 71 requirements if the cask has been stored for an extended
10 period of time? How do you verify the integrity of the fuel?
11 71 requires that you can't have a reconfiguration of the
12 basket internals for transportation, so how do you verify
13 that? So, the issue is how do you somehow--if you're going
14 from C-3 to E-5, especially after extended storage, how do
15 you verify that you meet the 71 requirements? That's the
16 issue.

17 DANIEL: Okay, so you're talking about going from the
18 intermediate storage facility to transporting it.

19 ROWE: And I think that goes to the next point--is if we
20 then go to a consolidated storage facility for an extended
21 period of time and you want to transport it to a repository,
22 it's the same issue. How do you verify that you meet the 71
23 requirements after extended long-term dry storage?

24 EINZIGER: Well it's even bigger than that. It's after
25 you transport it, how do you meet the interim storage

1 facility's requirements?

2 ROWE: I agree. So, if you're going from E-5 to F-6,
3 how do you know that you meet the 72 requirements? Very good
4 comment.

5 DANIEL: Peter Swift.

6 SWIFT: Peter Swift, Sandia. Going to the last step
7 there, disposal, Gene, you referred to the need to know what
8 the disposal requirements are. And I would suggest an issue
9 is that we don't actually have a regulatory definition of a
10 disposal standard here. It's EPA's responsibility, not the
11 NRC's, to write the governing standard, and EPA--anybody here
12 from EPA? I don't think so. That was something the Blue
13 Ribbon Commission pointed out in their report. We need
14 prompt action to move forward on our disposal standard, and
15 that would help. I mean, generically we know in general what
16 the package, the container is--should isolate and contain the
17 waste in that environment. But are there specific subsystem
18 standards as in Part 60? We just don't know. So, that's an
19 issue, the lack of certainty about the standard.

20 DANIEL: Got that, Lee? All right. Thank you, Peter.

21 Bob?

22 EINZIGER: Bob Einziger, NRC. Earl Easton and myself and
23 a few other people at the NRC at one time in the past worked
24 on a project to harmonize the regulations between storage
25 disposal and transportation, and I think that document is

1 available somewhere. Earl may know a little bit more about
2 it, but that might be useful in trying to look at this issue.

3 DANIEL: All right. Technical issues. Anyone?

4 Judy?

5 TREICHEL: Judy Treichel. I don't know how technical it
6 is, but if you do wind up doing repackaging in every place
7 that it's shown on this chart, is there somebody that
8 guarantees that they know what the package is when it gets to
9 disposal? Because I think that is a requirement that you've
10 got to be able to trace back everything that's in that
11 package that you're going to dispose.

12 DANIEL: So is that like to ask, Judy, if there's an
13 entity that will establish an audit trail to follow the thing
14 through all the processes and steps? Is that what you're
15 saying?

16 TREICHEL: Yeah, and it goes back to the overarching--
17 there should be something that knows what's going on with
18 fuel from its birth to its demise.

19 DANIEL: Okay. So what's the plan for cradle to grave
20 monitoring of those canisters as they go? Alright, Lee?

21 SPEAKER: Or is the question inventory tracking.

22 TREICHEL: That's it as well. Inventory tracking--

23 DANIEL: Inventory tracking?

24 TREICHEL: --as well as a history of--

25 SPEAKER: That's a lot easier than characterizing--

1 DANIEL: I'm sorry. We're going to miss you on the
2 microphone. We got it though. Okay, anyone else? Arjun?

3 MAKHIJANI: Yeah, Arjun Makhijani. I do think it's more
4 than inventory tracking, the point that Judy makes. For
5 example, I was talking to our German colleague, Thilo, at the
6 break, about the Castor cask versus some other casks that we
7 have. As I understand it, in Germany they have the ability
8 to, at least indirectly, monitor the helium pressure inside
9 the Castor cask. But here, once it is sealed, at least in
10 some cask designs--I might be wrong, and certainly open to
11 being corrected--we have information at the time that it's
12 sealed, but after that we don't have any monitoring ability
13 as to whether there have been leaks. So, we store it for 40
14 years or 60 years. We don't even know whether there has been
15 air ingress into the canisters and whether there has been
16 consequent corrosion. And so the ability to monitor the
17 insides of the casks, especially in terms of helium pressure,
18 I would think is a big issue as to whether there should be a
19 requirement. Because in terms of repackaging, when you
20 reopen it, you at least ought to know whether you're opening
21 an intact canister whether you're reopening a canister whose
22 insides have been subject to corrosion potential.

23 ROWE: All right. This is Gene Rowe, Board. Yeah,
24 you've got to separate casks from canisters on that. The
25 Germans use casks, okay? In the United States the casks that

1 contain bare fuel have a double seal with a pressure monitor
2 between the seals to monitor either inflow to the cask or
3 outflow from the cask, so it detects a leak in or out. So,
4 the casks are monitored; the canisters are not.

5 MAKHIJANI: So correct me--are you saying that after the
6 cask is sealed, that there is an ability to get a signal as
7 to the helium pressure? So, after three decades we know
8 whether the helium inside the canister is still at the
9 original pressure?

10 ROWE: Okay. What I said is there's a difference
11 between casks and canisters.

12 MAKHIJANI: Right. I got that.

13 ROWE: The casks are monitored. The canisters are not
14 monitored.

15 MAKHIJANI: So my bottom line then is correct is that
16 after four decades of storage, we don't know whether the
17 helium pressure inside the canister--and, you know, I did mix
18 up the two terms, and that's fine--I know the difference.
19 But we do not know whether the canister is still intact in
20 terms of whether there had been leaks, and whether the helium
21 pressure is still the same, or whether there has been air
22 ingress into it.

23 ROWE: You are correct.

24 DANIEL: All right.

25 MAKHIJANI: Thank you.

1 DANIEL: I think we've talked a little bit--we touched
2 on that just before the break, too, a little bit, so we have
3 that twice in there, which is fine.

4 What about a site where a canister may not meet
5 transportation requirements and they don't have a spent fuel
6 pool or they don't have a utility pool. It's been
7 decommissioned. Is that an issue?

8 Rob? And if it's an issue, where would it be?

9 HOWARD: Rob Howard, Oak Ridge National Lab. Jeff
10 Williams, yesterday in his presentation, pointed out that
11 there are 308 canisters that don't have transportation CofCs.
12 Those are all at facilities that have operating pools. So,
13 all of the stranded sites, or orphan sites, however you want
14 to name it, all of those canister systems are transportable.
15 So, I don't think it's an issue today; it may be an issue
16 tomorrow, but not today.

17 DANIEL: Okay. Nigel?

18 MOTE: Nigel Mote, Staff. I'd like to add a
19 supplementary issue to that -- one Susan Hoxie-Key and I
20 talked about at the break. As Rob said, today there are no
21 packages at the stranded sites that cannot be transported, or
22 should I say they were intended to be designed for
23 transportation. There may be issues, but certainly that's
24 not ruled out. As time goes by, utilities will find
25 themselves in a position where more reactors shut down, and

1 there will come a time where some of the fuel on stranded
2 sites is in containers that cannot be transported. And so
3 there are some key time points that will come--excuse me.
4 There are some key technical points that will change over
5 time. That issue is what is the time dependence of the
6 relationships that we're looking at? Are there--I'm tempted
7 to say "points of no return", but it isn't a point of no
8 return -- it's a discontinuity in the issues, because time
9 may overtake flexibility, and that needs to be taken into
10 account in optimizing the system, if that's the right way to
11 put it.

12 DANIEL: Absolutely.

13 Be with you in just a minute, Bob.

14 EINZIGER: Bob Einziger, NRC. I brought this up before
15 but I'll bring it up again, and that is how do you change the
16 gaskets on those sites where you have direct loaded canisters
17 even if it has a transportation license if you don't have a
18 pool?

19 DANIEL: That goes back to what Nigel, I think, was
20 saying. What's the time dependence on--well, the issue
21 stands.

22 Robert?

23 SANCHEZ: Robert Sanchez, GAO. Just, I guess, an
24 observation. Again, looking at it from a non-technical point
25 of view, it seems to me that some of the factors--and I think

1 Nigel said it really well in terms of loss of flexibility
2 over time, but there's another thing that could impact the
3 loss of flexibility, or impact flexibility, I guess, and that
4 is the consent based siting approach and what the states and
5 local communities are willing to accept in terms of storage,
6 packaging, repackaging, that sort of thing, on their sites.

7 And I don't know that any of these issues that are
8 here are insurmountable technical issues. I think that
9 everything I've heard in the work that I've done is that
10 they're--it's a matter of choice. It's a matter of cost;
11 it's a matter of what the stakeholders involved are willing
12 to agree to, not so much a matter--I mean, some of it is
13 going to be driven by some technical issues, but they're not
14 all insurmountable. It's a matter of what the stakeholders
15 are willing to abide by. And the flexibility, I think, is a
16 major issue involved with that. And perhaps over time some
17 of that flexibility will go away as well. I don't see it
18 increasing. But, again, it's the stakeholders and that's
19 maybe the consent based siting approach. Not just the
20 siting, but the whole consent based approach from start to
21 finish on that.

22 One example I was sharing with Peter Swift just
23 earlier was on--we'd done some work earlier to look at if you
24 didn't have a pool at a site, how would you package? And we
25 asked a lot of experts the different options, and we went to

1 them and asked about dry transfer and wet transfer, and it
2 came down to, I guess, to a consensus, more or less, that it
3 was a wash either way, because it was going to cost about the
4 same and take about the same amount of time. You had so many
5 redundancies you had to build into a dry transfer system that
6 it was going to cost about the same amount as a wet transfer
7 system. It came down to just a matter of choice in the end.
8 And I think that's maybe one of the things that could impact
9 the flexibility on this issue. Just an observation on that
10 that I don't think you want to leave out the consent based
11 approach in each of these steps, because that may have as
12 much of a role as the engineering.

13 DANIEL: Good enough. Thank you, Robert.

14 Anyone else? Okay. Let's go back to the matrix.
15 Let's talk about actual loading and repackaging. If you can
16 see there in the consolidated storage facility, what impact
17 might that have on canister loading going back the other way?
18 Any thoughts?

19 Go ahead.

20 CUMMINGS: Kris Cummings, NEI. I'd asked this question
21 yesterday to DOE about the ability of repackaging to be done
22 under Part 72, whether it's at a centralized interim storage
23 facility or at the sites, and there it would be the sites
24 that don't have a Part 50 license. And then NRC, I seem to
25 recall, had a different answer, that it's not as simple as

1 saying a yes or no.

2 So I think one of the issues is it needs to be
3 looked at, and maybe that's more of a regulatory issue than
4 it is for the Nuclear Waste Technical Review Board, is what
5 changes would need to be made to 72? Do we need a new set of
6 regulations for centralized interim storage facility where
7 you would be doing repackaging of fuel assemblies, not
8 necessarily canisters? You can do repackaging of canisters
9 under Part 72, because you're not changing that confinement
10 boundary.

11 So, the issue is do we have the current regulatory
12 requirements and regulatory structure that would allow you,
13 at a centralized interim storage facility, to do repackaging
14 of individual fuel assemblies? Because I can think of issues
15 that--fuel drop and what's the offsite dose, and things like
16 that, and I don't think you'd be able to meet an offsite dose
17 of 25 millirem at a Part 72 facility if you had like a fuel
18 drop. So, I think that's a true issue that needs to be
19 looked at is the regulatory structure.

20 DANIEL: Okay.

21 ROWE: Gene Rowe, Board Staff. I think you can expand
22 that also into the sites that no longer have a facility. So,
23 the regulatory issues of does the regulatory framework exist
24 to allow repackaging at a site that is not under 10-CFR-50?

25 DANIEL: Bob?

1 EINZIGER: Yeah, you have here container loading and
2 repackaging under consolidated storage. Is that container
3 loading and repackaging as it comes out of transport into
4 storage, or is it out of storage into transport, because they
5 could be different requirements. I think maybe it would be
6 different approaches.

7 DANIEL: Both. It's really both, and that's an issue
8 right there, that there would be different requirements as to
9 whether it's coming in or going out.

10 Am I right, Gene?

11 ROWE: I don't think that--excuse me. I'm not sure--
12 Gene Rowe, Board Staff. I don't think that the requirements,
13 whether you do it as soon as the canister arrives or just
14 before the canister leaves, I think it's still does the
15 regulatory framework exist. I think technically there's
16 issues. There's no question technically there's issues. But
17 for a regulatory point of view, I think that it's no
18 difference.

19 EINZIGER: When you go into storage, you have to make
20 sure that you maintain containment--let's say you come out of
21 transportation and you have a canister that isn't meeting the
22 storage requirements. You may have to change the canister.
23 When you come out of the storage from the consolidated
24 system, the container, the canister, may be bad, but it's not
25 required for transportation, so you may not have to change

1 it. So, there are different things that you have to consider
2 in the two ends.

3 MOTE: A supplementary technical issue in the same area.
4 The issue is to what extent does a decision of repackaging on
5 receipt—or on dispatch affect the design of the spent fuel
6 storage facility? And in terms of design, if you repackage
7 on receipt, you can have a standardized facility where every
8 container is the same. If you repackage as you dispatch from
9 the site, you would have to have multiple storage container
10 types on that site, and there may be implications of that for
11 (inaudible) facilities and so on. So, the issue is: to what
12 extent does that decision of repackage on receipt or
13 repackage on dispatch influence the facility design.

14 HOWARD: Rob Howard, Oak Ridge National Lab. I'm not
15 sure if you're assuming a process that may not be there where
16 there's another alternative, and that's storage then
17 packaging and then storage at the interim storage facility.
18 So you could bring in bare fuel in a canister, put it in a
19 pool, leave it in a pool for decades, and then package, put
20 it on a pad. Leave it on the pad for decades and then move
21 it.

22 DANIEL: Pass it right back behind you, Rob.

23 NUTT: Mark Nutt, Argonne National Lab. For the DOE
24 program, we did a report that looked at--it was a fiscal year
25 12 report that look at all this. And the design of the

1 facility will depend on what the strategy is to shipping the
2 fuel to it and when it starts. Everything could be put in
3 canisters at the reactors and shipped to the facility and
4 everything looks like a big PFS. Could be a decision to take
5 bare fuel, and there's a variety of different options, as Rob
6 just indicated, for what that facility might look like. And
7 the answer is, we don't know, and it depends on a lot of
8 decisions. And a lot of analysis should be done down the
9 road to determine what that thing might look like. But,
10 yeah, there's huge decisions on what happens up front, what
11 happens at the end. Do you handle fuel coming in the door,
12 do you repackage when it goes out, and I think the answer is
13 you just don't know.

14 D'ARRIGO: Diane D'Arrigo, Nuclear Information Resource
15 Service. This may not be the right time to ask this, but
16 when do we get to talk about a scenario where if--and this
17 was mentioned earlier--we need to have the definitions for
18 the disposal criteria and, in reality, that's not coming
19 today. And yet the fuels need to do something with it right
20 away and centralized storage is not today. So for the fuel
21 that's at the sites, and maybe--I guess the scenario I think
22 needs to be discussed but it doesn't fit into either of these
23 workshops, is storing it at the site without the consolidated
24 storage.

25 NRC, in its response to the court decision, has to

1 look at indefinite recontainerization. So, there's going to
2 be repackaging they say every 100 years anyway. So, at some
3 point I think we need to look at what the criteria are for
4 continued recontainerization at the utility site with the
5 option of going straight to disposal without bothering with
6 an interim step and reducing the amount of transport. It's
7 sort of obvious to me that that's an option, but I haven't
8 really heard that given any credibility here, so I'm putting
9 it out as a technical option.

10 And then raising the concern that--well, that's it.

11 DANIEL: Okay. Thank you, Diane.

12 MOTE: Nigel Mote, Staff. That was a question. Let me
13 see if I can capture that as an issue. I think the issue is:
14 what happens at each stage if the subsequent stage is delayed
15 indefinitely. Is that a--

16 D'ARRIGO: Part of it. That's the larger question, and
17 then as far as technical concerns that people in the public
18 have, if we've got major transportation schemes going on
19 between different consolidated--and between utilities and
20 consolidated sites, who's looking at the technical option of
21 keeping it there and recontainerizing it there as needed, and
22 maybe it won't need to be recontainerized as often because we
23 don't have criteria for disposal yet. So, it just seems,
24 from a public perspective, people do believe that there is a
25 concern with the safety of transport, although that's been

1 dismissed by many, that there is a significant portion of the
2 population that's concerned about those technical issues.

3 So, in order to minimize that--to look at the options for how
4 to store it more securely at the site, at the onsite ISFSI.

5 MOTE: Mote, Staff. I'm not sure I'm seeing a
6 distinction between taking account of indefinite delay at
7 each point and what you said--I'm not trying to--

8 D'ARRIGO: Okay. Well, you're assuming that there could
9 be indefinite delay for consolidated storage and indefinite
10 delay for disposal. So I guess it's not a big difference,
11 but I wanted to at some point talk--if you're going to keep
12 it where it is and minimize transport dangers, does that fit
13 into the scenario. And then we need to discuss what's the
14 safest way to store it indefinitely where it is until there
15 is disposal and disposal criteria.

16 MOTE: So it's how do we make provision for management
17 in the event of long-term interruption to the program.

18 D'ARRIGO: Yeah.

19 MOTE: The management meaning leave it here or
20 repackaging or whatever.

21 D'ARRIGO: Well, what the court was saying, 60, 160, and
22 indefinite.

23 MOTE: Okay, but in terms of trying to distill it down
24 to an issue, it is--take account of the potential for an
25 interruption, potentially long term, and what do you have to

1 do to provide for safe management in the event that happens?

2 Is that capturing it?

3 D'ARRIGO: In the absence of transport.

4 MOTE: Okay. I meant not to be implicit. I mean, if
5 it's at the reactor site or an interim storage site, then it
6 can't go any further for a prolonged period, then there may
7 be a need to do subsequent handling operations, repackaging.

8 D'ARRIGO: Okay. Well, I wanted to make sure that it
9 discussed the onsite options as well as--well, definitely
10 discuss that, because there's a basic assumption that there
11 will be consolidated storage, and I'm saying there's a
12 question about that. So let's face the reality that we could
13 have long-term onsite storage.

14 MOTE: Okay. Lee, can you nod if you have that?

15 PEDDICORD: Well, that was a pretty disjointed
16 conversation.

17 D'ARRIGO: Okay. Use this--and I'll try and distill it
18 into a sentence. Look at the technical requirements and
19 implications of indefinite onsite storage in the absence of
20 transporting, the absence of consolidated storage and
21 disposal. So look at--is that too long? Look at onsite
22 storage. Look at the technical options--

23 PEDDICORD: Look at the technical requirement for
24 indefinite long-term--

25 D'ARRIGO: Onsite storage at utility sites.

1 DANIEL: Thanks.

2 EINZIGER: Bob Einziger with NRC. We don't license for
3 indefinite storage; we license for 40-year terms. So, the
4 question really that you should be asking yourself, what
5 happens if a utility comes up for a relicense and you can't
6 make the safety case for relicense. What do you do?

7 DANIEL: Are you good on that, Lee? All right. Lee,
8 you've got a tough job. I'm glad I'm here and not there.

9 What about criticality and thermal requirements? Are
10 they the same for storage and transportation? Is that an
11 issue?

12 EINZIGER: There's an easy answer. They are the same.
13 You can't be critical.

14 DANIEL: Okay. How about thermal or hot? So, they're
15 basically the same whether--

16 SPEAKER: No.

17 DANIEL: Peter?

18 SWIFT: Peter Swift, Sandia National Laboratories.

19 Bob, could you clarify you were not speaking for
20 the NRC there?

21 EINZIGER: I'm never speaking for the NRC.

22 SWIFT: Again, this--in disposal, which you didn't have
23 on your list. You had transportation and storage for
24 criticality and thermal issues. In disposal, there are
25 uncertainties associated with the lack of a final regulation

1 there again. And that is one of the places where because you
2 would seal a canister before it went underground, and if we
3 would have to seal them now, we would have to pick whatever
4 criticality controls we chose now to work in a broad variety
5 of potential geologic environments. So, that's the issue I
6 was getting at there.

7 DANIEL: Okay. Got that, Lee?

8 Earl?

9 EASTON: Oh. My name is Earl Easton, private citizen.
10 You know the transportation regulations were written in a
11 time where we didn't think casks would sit around for 20
12 years, da-da-da-da-da, and all the criteria was based on
13 shipping pretty near term. Storage was written at a time
14 where, well, Yucca Mountain was going to open 20 years from
15 now, 40 years, and so we have a 20-year period, 40. Maybe
16 it's just time to look at that again, the whole regulatory
17 framework, because all the underlying assumptions have
18 changed.

19 When Bob brings up that you've got to check the
20 seals on these casks, well, it is true in a transportation
21 cask we routinely have them change seals or check seals every
22 year. But does that make sense in something sitting around
23 for 20 years? And, you know, containment was based on
24 somebody being in the warehouse with packages for a long
25 period of time. That's what the leak rate was based on.

1 Does that make sense for a spent fuel cask? Does the surface
2 contamination, which was based on shipping radioactive
3 material with food stuffs, and was set very low, make sense
4 for spent fuel, which is never sent by Fed Ex that I know of.

5 So, maybe it's time to actually go back and look at
6 the underpinnings of all the regulations to see which make
7 sense, which don't make sense. Because what may have been a
8 safety case years ago for one particular circumstance or
9 regulations one size fit all, may not be the optimal way to
10 do things now. So, two types of issues: Technical and
11 regulatory.

12 DANIEL: All right. So, you get on that one, Lee? All
13 right.

14 Thank you, Earl.

15 Rod, and then Diane. Diane. We'll take Diane.

16 CURRAN: This is Diane Curran. I have a follow up to
17 Earl's issue, and this is a concern. I am here in part
18 representing Eureka County, Nevada, which could be a host
19 site for transportation of casks to Yucca Mountain. And one
20 of the concerns that comes up in my mind, sitting here, is
21 you're talking about the cats and dogs, are we going to be
22 transporting cats and dogs, lots of real variety of casks,
23 and is there a real variety of issues such that Eureka County
24 would have trouble planning for emergency response because
25 there's such an array of risk coming down the road? That's a

1 question I just have no answer to, but sounds like it could
2 be an issue.

3 DANIEL: So, let's put that in the flavor of an issue.
4 Local government planning--and I don't want to put words in
5 your mouth--but local government planning is difficult due to
6 not understanding the nature of the technical designs of
7 casks and storage transportation?

8 CURRAN: Well, you kind of got at it, but it's more that
9 it was many, many different kinds of transportation
10 containers, or the contents vary a lot such that the risks, I
11 would assume, would vary in terms of what kind of an accident
12 you might have, because the contents are variable. That's
13 the issue that I'm concerned about. It's not so much the
14 communication, it's more the nature of the problem is very
15 variable and therefore difficult to anticipate.

16 DANIEL: Okay. All right. Thank you, Diane.

17 Arjun:

18 MAKHIJANI: Arjun Makhijani. A couple of issues there.
19 You know, we talked about the relationship of the regulations
20 for a repository to repackaging and storage and all the
21 early-on decisions. I think there are actually two sets of
22 regulations we should think about. One is the EPA
23 regulations that the BRC recommended be done early and before
24 site selection and so on, and I agree with that, actually.
25 The other is the NRC regulations, which go into the

1 performance of the canisters and so on. And so that latter
2 one is actually very directly related to the nature of the
3 site. The first one is not related to the nature of the
4 site. It's simply what kind of maximum dose limits are we
5 going to set. And I guess if it's like 10 CFR 191, are they
6 going to be emission limits? Which, I think, actually, gets
7 into the NRC realm as to what kind of canisters they should
8 be and so on. So, I think the NRC--the absence of NRC
9 regulations in regard to the nature of the system and the
10 interaction between the pieces is actually more critical--and
11 I raise that as an issue--more critical to the kind of
12 problems that we're talking about. Assuming that EPA
13 regulations will be reasonably protective of health, and we
14 might all interpret that in our own way. So, that's kind of
15 one issue I wanted to raise.

16 And I have a question issue if I might.

17 DANIEL: Yes.

18 MAKHIJANI: In 2001 there was a petition filed by people
19 near Prairie Island that the NRC did not know how to transfer
20 damaged fuel from one container to another. And the NRC's
21 response was you're right, we don't know now, but we'll know
22 that the fuel is damaged when we get it out, and we'll
23 quickly put it back in--that is a paraphrase--and then we'll
24 figure out what to do.

25 I think this is a huge issue that the NRC actually

1 has punted the issue of failed fuel and its management,
2 especially much more important now than it was in 2001,
3 because now the repository program has fallen apart. So, I
4 think the problem of failed fuel management is an absolutely
5 huge issue, especially for repackaging. I raised this
6 yesterday.

7 DANIEL: Okay.

8 MAKHIJANI: And I think it should be considered, and the
9 NWTRB maybe ought to write a letter to the NRC to get its
10 house in order so it can be considered properly.

11 DANIEL: Thank you, Arjun.

12 MAKHIJANI: Thank you.

13 DANIEL: Bob?

14 EINZIGER: For once--in a very few times--I'm going to
15 agree with Earl. The issue they're looking at, the
16 requirements in '71 and '72 are continually going on, and NRC
17 has a license improvement program going on right now looking
18 at what changes, if any, should be made to the current
19 regulations to homogenize them and improve them. And in the
20 extended storage program, later down the line there is a task
21 to look at how these regulations might have to be changed to
22 look at long-term storage. So, that is an already ongoing
23 program. I don't know about homogenizing with the
24 repository, because we don't know what to homogenize with.

25 DANIEL: Technical issues. We're coming down to the

1 final 15 minutes, folks, so let's go back to the matrix.
2 We've heard about sites that are going to possibly be orphans
3 at a certain time. What about between the intermediate
4 storage facility and transportation? What issues having to
5 do with repackaging exist that we know of?

6 Rob?

7 HOWARD: Rob Howard, Oak Ridge National Lab. One issue
8 there would be, are there changes in the material that are
9 caused from going from storage to repackaging to the
10 methodology of repackaging if you get it wet again or you do
11 it dry? Does it matter for how that material will perform
12 when it's transported again.

13 DANIEL: Okay. Does that--I'm going back to the Rob
14 from NRC. Does that start to go into some those intermediate
15 steps that you were talking about? Was it you that talked
16 about intermediate steps between?

17 EINZIGER: All the guidance--

18 DANIEL: And that this is Bob Lyons (sic) from the NRC.

19 EINZIGER: Yoohoo. All the guidance that we have given
20 so far has been based on the fuel not going back into the
21 pool. The only thing we do right now with respect to the
22 pool is going back into the pools to make sure that there's
23 not sufficient thermal strain that's going to fail the fuel.
24 But whether it will change the properties if you're going to
25 rewet it again is a subject that needs to be considered. As

1 you go through another drying cycle, how is it going to
2 affect, especially for high burnup fuel, the reorientation or
3 the ductility or things like that. So, yes, it's an issue
4 that would have to be considered.

5 DANIEL: Okay. Anyone else?

6 ROWE: Rick, can I consolidate that down a little
7 simpler?

8 DANIEL: Yes. Do it.

9 ROWE: Gene Rowe, Board staff. What issues associated
10 with rewetting the fuel? How does rewetting the fuel going
11 from dry storage to a fuel pool impact the integrity of the
12 fuel assembly?

13 DANIEL: And does it make any difference if it's high
14 burnup fuel?

15 ROWE: Yeah, you've got to look at all the fuel. Just
16 going from a dry environment to a wet environment, and as Bob
17 indicated also, then going--if you're going back into dry
18 storage, you have to go through another drying process, and
19 what impact does that second drying process have on the fuel
20 integrity.

21 DANIEL: How about are there any byproducts in
22 repackaging that we're going to have to deal with? When we
23 talk about repackaging, does it create a lot of low-level
24 waste or products that we're going to have to deal with?
25 Anyone have any insight on that? Thoughts?

1 Sven?

2 BADER: Sven Bader, AREVA. Well, the obvious thing is
3 that you have these canisters that just--and all the
4 internals of that, which we'll have to figure out what to do.
5 We did a study on reuse, repurpose, or recycle. I'm looking
6 back to see if Pat Schwab's here. But we did a report on
7 this, and that's the largest quantity of waste you're going
8 to have from this activity. And the rest of it depends on
9 whether you're going to do dry transfer or wet transfer.

10 For dry transfer, our experience at La Hague is
11 that we get far less low-level waste associated with dry
12 transfer activities than associated with the wet transfer
13 activities. But then again the wet transfer activities are a
14 fallback position in case you have failed fuel or damaged
15 fuel.

16 DANIEL: Okay.

17 SPEAKER: What was it? Transfer at La Hague you saw far
18 less?

19 BADER: Far less low-level waste associated with dry
20 transfer. It's about a factor of four, I believe.

21 ROWE: Okay. I'd like to expand on that one a bit also.
22 The Yucca Mountain project, when we were talking about
23 emptying the canisters, an issue came up as to are the
24 canisters really considered low-level waste? If you have a
25 canister with a failed element in there, you could have

1 isotopes that are contained in that canister that will
2 preclude it from being disposed of as low-level waste. And
3 to identify those isotopes is not easy. To clean those
4 isotopes is not easy. So, I think the issue is how do you
5 confirm that the empty canisters are considered low-level
6 waste.

7 DANIEL: Good. Thank you, Gene.

8 Gary?

9 LANTHRUM: Gary Lanthrum, NAC. A minor side issue is
10 that each--or most--of these sites that have waste in
11 storage, particularly shutdown sites, or exclusively the
12 shutdowns, also have GTCC waste in these same types of
13 canisters. And to some extent, the GTCC waste needs a
14 disposal pathway that is not fully developed or identified.
15 So, some of the same issues that we're discussing for spent
16 fuel may also exist for the GTCC waste and needs to be
17 addressed accordingly.

18 DANIEL: Thank you, Gary.

19 Arjun?

20 MAKHIJANI: I have a follow-up for Mr. Bader. Did I get
21 your name right? Arjun Makhijani. At La Hague do you
22 necessarily transfer spent failed fuel in pools, and why
23 would that be? Because we would need to presumably have
24 spent fuel pool infrastructure, because there are failed fuel
25 elements here that we know.

1 BADER: Sven Bader from AREVA again. Yes, failed fuel
2 is transferred only in the pools, and it's basically to
3 minimize any kind of doses to the operators from releases.

4 EINZIGER: Bob Einziger from the NRC. I just want to
5 make a clarification between the French practice and the U.S.
6 practice. In the U.S., we allow fuel rods with pinholes and
7 tight cracks, which are failed fuel, to be handled as part of
8 the normal population. So, they're not put in damaged fuel
9 cans, and they can be in a cask. While in France, that's not
10 the case. They get put into isolated--depending on what
11 country I don't know what they call them, canisters or cans
12 or whatnot--so there is a difference between the two, because
13 we do have failed fuel that's in the general population that
14 we just handle like any other fuel.

15 DANIEL: Okay. Thanks.

16 Robert?

17 SANCHEZ: This is Robert Sanchez with GAO. Just another
18 quick question. This is probably more for the vendors and
19 the utilities, but on the chart, the canister loading is in
20 one cell, but I kind of wonder how that will be impacted by
21 the large number of expected retirements coming up in the
22 year 2040 or thereabouts. The next 10 years will see a
23 fairly large number of retirements, and I expect that the
24 spent fuel pools will be full at that point. I don't think
25 the utilities are going to unload them unless they have to,

1 and at that point you're going to have a very large number of
2 assemblies that will be in a large number of pools, and a
3 large number of reactors that are retiring all at the same
4 time. And will the vendors and utilities--I know, that kind
5 of work to unload a pool is fairly labor intensive and very--
6 it can cause a lot of specialties, whether they'll have the
7 provisions to do that and the vendors will be able to supply,
8 I guess, the canisters on the numbers required during that
9 time. I don't know if there's any technical issues, but it
10 certainly may create some other headaches.

11 DANIEL: Okay.

12 LOWITZ: Tony Lowitz (phonetic) with CB&I. The trend is
13 to offload all of that fuel out of the pools into dry storage
14 as soon as possible, because of a variety of reasons such as
15 having to maintain the spent fuel pool island with security,
16 all the systems that are required to keep that going. And so
17 to get it into safe store position, we like to move it to dry
18 fuel.

19 DANIEL: Thank you. Anyone else, technical issues?

20 There's got to be more, folks.

21 Nigel, did you have anything?

22 MOTE: Nigel Mote, staff. One of the issues that came
23 up this morning from Rod is that the disposal cell has in it
24 a multitude of aspects: feasibility, long-term degradation,
25 performance underground. I would just like to raise that

1 issue and see if there are issues that come out of thinking
2 not about disposal as emplacement, but about disposal as
3 emplacement followed by a hundred thousand years, a million
4 years. And the sort of thing that comes to my mind is to
5 what extent does the choice of location of repackaging have
6 an impact on those issues? And it's not so much the
7 location, but the implication of the location has on timing.

8 If you repackage at the utility site, and then you
9 have 100 years of storage, and then you put the package
10 underground, the fuel and the package have been stored for
11 100 years in that configuration. If you repackage at the
12 repository site, then it is much later in the chain of
13 events, much later in operational sequence, much later in
14 time scale. To what extent does the need to meet the
15 repository performance requirements that we don't have--not
16 raising that provocatively, but recognize that we don't have,
17 so let's try to be foresighted. If we have to have
18 retrievability over a timeframe that currently is not part of
19 the thinking, as it happens in smaller countries, then how
20 does that play back into determining when you repackage?

21 And Judy made the point before of do you repackage
22 more than once, and I think many of us would have defaulted
23 to, well, no, of course you don't, but it's a real issue. If
24 you need to retrieve on a prolonged time scale after
25 emplacement and you did have to repackage up front to move

1 the stuff away from the site, because right now it's in a
2 container that doesn't meet transportation requirements, that
3 necessarily means you do repackage twice for different
4 reasons, and I think that issue needs to be taken into
5 account. It is the time dependence of repackaging on how you
6 meet disposal requirements. Or maybe it's the other way
7 around, it's how the disposal requirements play back into the
8 decision making of the location of repackaging.

9 SWIFT: Can I ask a question?

10 DANIEL: Sure.

11 SWIFT: Peter Swift, Sandia. Nigel, is the issue you're
12 getting at there that perhaps not just the timing but the
13 amount of handling of the fuel will affect its long-term
14 performance, it's performance over a hundred thousand years?

15 MOTE: I meant all of that. There is one issue there,
16 which is timing, but there's a lot of sub-issues, which is
17 how does that play into the requirement for handling safety,
18 casks, low-level waste generation, all of those issues.

19 SWIFT: Peter Swift, Sandia National Labs. I'm trying
20 to reframe as an issue. Is the issue that we should be
21 considering now, at the beginning of a storage process, the
22 impacts of the choices we make now on long-term performance
23 of the waste form, the fuel itself?

24 MOTE: I'm sorry, would you say that again?

25 SWIFT: I'm trying not to offer a solution. I'm trying

1 to raise an issue, and I think the issue you're raising is
2 that what we do now, the choices we make now with respect to
3 storage in particular, but handling choices, packaging and
4 handling choices in the next, say, 50 years, could result in
5 different conditions of the fuel as it enters its permanent
6 disposal phase later. And so we could, in some way, be
7 protecting the fuel now so it will work better in the far
8 future. And if that is indeed the issue, then the second,
9 the correlated issue, and one I'm trying not to raise the
10 solution for, is to what extent do different disposal
11 concepts actually rely on the long-term performance of the
12 fuel form. And the answer, which you're not supposed to
13 give, is that some do and some don't.

14 MOTTE: We'll ignore the last sentence and say, yeah,
15 that's the issue.

16 DANIEL: Lee, do you have a decent facsimile of that
17 issue?

18 PEDDICORD: Say it again, Peter.

19 DANIEL: I'm glad he asked him and not me.

20 SWIFT: Peter Swift, Sandia. The issue, I believe, is
21 to the extent to which we should be considering how the
22 choices we make now about storage and packaging, how those
23 choices may affect the performance of a waste form, which
24 basically is the fuel assembly, over hundreds of thousands of
25 years after disposal.

1 And then the part I said at the end was that a
2 corollary issue is to what extent do different disposal
3 concepts actually rely on the long-term performance of the
4 fuel form. Is it something that is important? And the
5 answer to that is in some cases in some concepts it does
6 matter, and in some it doesn't.

7 DANIEL: Nigel.

8 MOTE: Staff. Yes, that captures that point. In terms
9 of looking at how cells later in the matrix play back to the
10 beginning, not correlate, but an extension or an inversion of
11 that is to what extent should the decision-making operations
12 on the surface respond to the need for ensuring long-term
13 performance underground in accordance with regulatory
14 requirements.

15 And the way that might play out is it might affect
16 the choice of where you repackage, because the longer you
17 leave it to repackage, the more you're going to know about
18 the requirements for the disposal, the operation and the
19 regulations for disposal.

20 DANIEL: Gary?

21 LANTHRUM: One more temporal issue is that as plants
22 shut down, the infrastructure supporting those plants
23 typically degrades and goes away and that becomes
24 particularly important for transportation. And to the extent
25 that plants are loading into large transportation systems, it

1 doesn't preclude your ability to transport those casks later
2 on or canisters later on, but if your rail infrastructure
3 goes away, it certainly complicates it by having to do an
4 intermodal system in between. And so there's a timing issue
5 of when you make those shipments and maximize the use of the
6 best transportation system to minimize impacts to the local
7 communities when you're making the shipments.

8 DANIEL: Thank you. Can we talk at all about
9 retrievability once in disposal issues associated with that?
10 Implications of repackaging and retrievability once it's in
11 disposal?

12 Peter, you need a microphone.

13 SWIFT: Yeah. Peter Swift, Sandia National
14 Laboratories. So, the first, as a point of clarification,
15 retrievability in the storage and transportation world means
16 something quite different than it does in the disposal world.
17 Retrievability in storage and transportation means more or
18 less the ability to get the fuel assembly intact back out of
19 the container that you put it in. In a repository,
20 retrievability means the ability to bring the waste material
21 back up to the land surface. And this is where we get into
22 legal and regulatory uncertainties. What will a future
23 regulation actually require with respect to retrievability?

24 The current regulations--the NRC regulations and
25 Nuclear Waste Policy Act required that the waste be

1 retrievable during the operations of a repository. They were
2 silent on what happened after the repository was sealed,
3 which is, I think, what your question was getting to. The
4 EPA, in Part 191, created a requirement that it be possible
5 but not easy to remove most of the waste for a reasonable
6 period after the repository was sealed. But EPA's Part 191
7 may or may not be the governing regulation. So, I didn't
8 answer your question at all, but the issue is we have a
9 fundamentally--not a technical issue, but a societal choice
10 and a regulatory choice about what type of retrievability
11 standard do we want to have.

12 DANIEL: Okay. Thank you. Judy?

13 TREICHEL: Judy Treichel. In line with that, you may
14 not want to be able to retrieve, or you may not want to plan
15 to retrieve, because you're screwing with the isolation
16 capability.

17 SWIFT: Peter Swift. That is something that the--the
18 European community has debated these points for a very long
19 time. And, indeed the NEA wrote a report on that where they
20 concluded exactly that point, that retrievability should not
21 be achieved--long-term retrievability should not be achieved
22 at the expense of isolation. Good point.

23 DANIEL: Thilo, do you have any thoughts on that, what
24 you do in Germany?

25 VON BERLEPSCH: Thilo Berlepsch from DBE. Well, the

1 current situation, at least in Germany, is that we are
2 required to plan for retrievability during operation and then
3 for another 500 years. We have to show that it is possible
4 to get back the waste somehow. But, still, I think the point
5 was made every plan to get the waste back somehow is on the
6 cost of isolation of the facility down under the earth.

7 DANIEL: Okay. All right. Thank you.

8 Any additional issues? You guys aren't hungry, are
9 you?

10 It's 12:02, I believe, and I appreciate your
11 participation and your patience. Wanted to just reiterate
12 something that both Rod Ewing and Nigel Mote mentioned
13 earlier, and that is that the window remains open to all
14 issues. If you go home at night and you're talking to your
15 spouse and something comes up, there's means of responding.
16 There's the website, there are cards, and I know these guys
17 will give you their personal cell phone numbers as well if
18 you want. So, thank you all very much, and we'll see you
19 again.

20 (Whereupon, Session 1 was recessed for lunch.)

21

22

23

24

25

1

2

3

4

5

6

7

8 DANIEL: Good morning, everyone. Welcome, ladies and
9 gentleman. My name is Rick Daniel. I'm from Cool Landing
10 Facilitating. I'm excited to be here, because I'm learning a
11 lot from you folks. And this breakout session the Nuclear
12 Waste Technical Review Board designed to generate discussion,
13 and the more lively the discussion, the more likely we are to
14 highlight and characterize what the issues are.

15 I want to emphasize what Nigel said earlier. This
16 is not about seeking solutions. It's about identifying
17 issues, so this particular breakout session is going to focus
18 on the implications of repackaging spent nuclear fuel for
19 transportation and disposal.

20 To get things started, we're going to have a couple
21 different perspectives that are discussed for five-minute
22 presentations. We are not going to be taking questions after
23 those presentations. The first presentation is going to be
24 by Adam Levin of AHL Consulting. And, as I said, it's going
25 to be about a five-minute presentation; and then immediately

1 afterwards we're going to hear from Dr. Marvin Resnikoff, and
2 so he will follow on right after Adam. And then we're going
3 to get into our discussion right off the bat.

4 So be thinking, as you hear these presentations and
5 as the morning wears on, to go back to what Nigel said. As
6 we raise issues, you can refer to the matrix to best
7 characterize the issue. The more specific you can be for our
8 rapporteurs, Dr. Lee Peddicord and Dr. Paul Turinsky, they're
9 going to be our rapporteurs. They're going to report back
10 after lunch.

11 And after lunch, as they run through these issues,
12 as they highlight these issues, if you hear something that's
13 maybe not quite accurate or we can tweak it or refine it to
14 characterize it better, we're going to do that at that time.
15 But we're not going to have elaborate discussions after
16 lunch, okay? Those will just be fine-tuning things.

17 So, Adam, the floor is yours. Why don't you go
18 ahead.

19 LEVIN: Good morning. First of all, thanks to the Board
20 for the invite this morning, and glad to be here.

21 I wanted to talk today a little bit about what
22 repackaging means to the utilities and the impact upon
23 reactor operations. Three areas of major impacts, the first
24 being dose and safety considerations. Additional radiation
25 exposure, I think it's important for everybody here to

1 understand that the utilities don't measure their performance
2 in terms of person rems. They measure their performance in
3 terms of person millirems, okay?

4 So when you talk about the fact that a cask takes
5 about 400 millirem to load, adding a series of additional
6 casks to load, as John Wagner pointed out yesterday, adds
7 significant amounts of person millirems to exposures. And
8 the plants, again, are measured in terms of their performance
9 on millirem basis, so this is a very important issue to the
10 utilities.

11 The additional heavy lifts are also a big safety
12 issue. Obviously the utilities are very focused on
13 performance when it comes to the heavy lifts. It's a major
14 issue around a nuclear plant. So additional heavy lifts is a
15 serious consideration.

16 Plant operations--and I'll talk more about this at
17 length in just a minute or so, but the use of the spent fuel
18 pool crane and the refueling bridge, those are heavily
19 scheduled during plant operations; so it's difficult to be
20 able to find the kind of time that you might need in order to
21 repackage a lot of systems.

22 Radiation protection and security coordination,
23 typically at a nuclear plant you'll have radiation protection
24 and security folks that are moving around from major project
25 to major project on the plant. So you're now talking about

1 having to coordinate additional radiation protection and
2 security folks for being able to respond and to take care of
3 the operations of spent fuel movement in the plant.

4 Additional support staffing, typically, at least
5 from my experience working with Exelon, we required somewhere
6 between 50 and 70 individuals to be either full-time or part-
7 time added to--not added to the staff, but participating in a
8 spent fuel campaign loading casks. So if you're now adding
9 additional casks to load, you have to now coordinate with a
10 significant increase in additional staffing support.

11 And then the cask loading costs, which are about
12 \$300,000 to \$400,000 per cask for a welded system.

13 I think other folks covered this yesterday, but
14 just very quickly, from the standpoint of the operating
15 units, there is over 1,600 dry storage systems containing
16 used fuel at this point. And just to put it into
17 perspective, by 2020 there is going to be 2,900 of these, so
18 almost 3,000 systems out there loaded with spent fuel.

19 The other point I did want to make here this
20 morning is that all of the nuclear units out there are going
21 to be in dry storage by about 2025. So, regardless of which
22 nuclear plant you go to, by this point in time, which is 12
23 years from now, everybody is going to be in dry storage
24 operations, which is not far down the road.

25 MAKHIJANI: Just clarifying--there may be room for

1 clarifying questions, because the slide is unclear.

2 DANIEL: Okay, that's okay. How about if we save the
3 discussion for a little bit later. We can come--

4 MAKHIJANI: I'm not trying to discuss. Can you listen?

5 DANIEL: Sure. Give us your name and where you're from.

6 MAKHIJANI: My name is Arjun Makhijani. What it says
7 there is, estimated that all currently operating plants will
8 need dry cask storage. It's not clear to me whether all the
9 fuel is going to be in dry casks or some. And that's just a
10 clarifying question. If you don't allow clarifying
11 questions, you can't have a sensible discussion.

12 DANIEL: Okay.

13 MAKHIJANI: Thank you.

14 DANIEL: Thank you.

15 LEVIN: The statement here on the slide is correct as it
16 stands. All the plants will need dry cask storage by 2025,
17 okay?

18 There are ten shutdown units right now, which have
19 dry storage. Some of them are in a position where they do
20 not have a fuel pool available to them to return canisters
21 into in order to repackage spent fuel. Design has been added
22 there. They will be in dry storage--I believe they're
23 starting later on this winter, and in about two years or so
24 they should have all the fuel at Zion Station in dry storage.

25 We have some additional shutdown units, as was

1 mentioned yesterday, at Crystal River, Kewaunee, and SONGS;
2 and all three of those are evaluating whether they want to be
3 in wet storage or dry storage for decommissioning, at least
4 the early stages of decommissioning. And they're going
5 through that financial evaluation and bid process right now.

6 The other thing that I wanted to point out was
7 that, beginning in 2029, those plants that have received
8 60-year--or have received an additional 20 years of license
9 extension, so they have a total of 60 years on their license.
10 Those normal retirements are actually going to begin with
11 Dresden Unit 2 in 2029. So we're 15 years down the road from
12 now, which is not a very long time we're going to actually
13 start to retire the existing nuclear units.

14 What does repackaging involve? Very simply,
15 returning the existing systems to the spent fuel pool,
16 cutting open the canisters--excuse me--removing the lids from
17 the bolted systems. I do want to point out here, this could
18 be a potentially significant issue for a nuclear operator,
19 because cutting open those canisters means that you'll be
20 creating fines from milling operations; you'll be creating
21 dross from cutting operations potentially in your spent fuel
22 pool water. And that means there's an opportunity for
23 foreign material to be able to get into other fuel assemblies
24 that are in the spent fuel pool, and potentially you don't
25 want to return one of those to your reactor. So that'll be a

1 major concern for operators.

2 Offloading the assemblies to spent fuel pool,
3 placing them in the new canisters, and returning new, smaller
4 dry cask systems to storage or transport.

5 So let's put a couple of numbers on some of this.
6 I know Rob Howard got into this a little bit yesterday, but
7 here's some experience from BWRs, the types of schedules that
8 you can expect for loading systems at a nuclear plant. If
9 you add dual-unit BWR2 to your operating cycles, you roughly
10 schedule about a week and a half or so typically per system
11 with two weeks mobilization, two weeks for de-mobe, so your
12 schedule for dry cask storage campaigns typically runs
13 between 10 and 12 weeks.

14 You've got other uses for your overhead crane with
15 the activities you see there, and they run typically about 24
16 weeks of operations at a plant.

17 Moving ahead, we've got other activities. Of
18 course, we've got training involved. We've got scheduled
19 time off, etc. for the crane operators. We've got special
20 nuclear material inventories going on, non-outage operations,
21 moving things around in the spent fuel pool.

22 So what it all means is that it results in a very
23 limited time window, very limited availability in the spent
24 fuel pool for additional operations such as repackaging,
25 typically on the order of four to five weeks.

1 Fuel loading and welding for the smaller systems,
2 obviously there's a lot of discussion about this. There
3 could be some efficiencies introduced by designing in a
4 specific way the smaller canisters so that the closure can be
5 made more quickly. But it's really the balance of the
6 schedule that--you know, moving the canister into the pool,
7 getting it loaded, bringing it back out of the pool, and
8 moving it out to the pad, that's not going to change for the
9 smaller systems. So you're going to have a couple days
10 scheduled for that anyhow.

11 What might shorten up a little bit is the fact that
12 you have less linear length of weld to make. You also have
13 less fuel assemblies to put in. So you might shorten up the
14 time frame--the schedule a little bit there.

15 Now, I haven't included the thought of dealing with
16 the canisters that you need to dispose of now as low-level
17 waste, the materials that are in there, so I've kind of left
18 that out of the schedule. And I've said optimistically we
19 can assume that we'll have one cask per week of these smaller
20 systems that we're going to load.

21 So let's put the numbers together now. We're
22 looking at 9 to 11 systems that are going to be required
23 rather than the 4 to 5 systems to be loading the 32-assembly
24 DSCs or between 31 and 38 for the 9-assemblies. So the
25 bottom line is, you've got a minimum of nine weeks required,

1 and that's extremely optimistic, to go into the 32s for BWR
2 and as much as 38 weeks required to go into the 9-assembly
3 systems. So the time isn't there. That's the bottom line.
4 The time isn't available for use of the systems at the plant
5 in order to be able to effect repackaging during operations.

6 The bottom line, the ability to go to smaller
7 systems holistically improves the high-level waste management
8 system. I don't think anybody is going to argue that. The
9 flexibility added in there is very valuable.

10 But from the nuclear fuel cycle perspective, when
11 you step back and look at not just the waste management but
12 plant operations, it has a negative impact on the overall
13 nuclear fuel cycle. And that's the point I wanted to make
14 today. And Rob Howard addressed it yesterday, but I think
15 from the utility perspective the flexibility for the smaller
16 systems should be added outside or off the reactor site as
17 opposed to at the reactor site, simply because of the impact
18 on operations. I'll leave it at that.

19 DANIEL: Thank you.

20 LEVIN: Sure.

21 DANIEL: All right. Dr. Resnikoff is going to offer an
22 NGO perspective.

23 RESNIKOFF: Hi, everybody. I work for NGOs, and I work
24 for the State of Nevada, who have not reviewed what I'm going
25 to say today. They can't be held responsible.

1 I started work on transportation--I'm going to
2 focus on that--in 1975 when Nuclear Fuel Services, a
3 reprocessing facility in West Valley, was shipping liquid
4 plutonium out of JFK Airport; and I worked for the New York
5 Attorney General, who was opposed to that. I thought this
6 was a slam dunk, because these containers were designed to
7 withstand a 30-foot drop, and most people know that planes
8 fly higher than 30 feet. But the NRC fought it until finally
9 Congressman Shoyer (phonetic) in 1981 introduced legislation,
10 an appropriation bill that said you have to design these as
11 well as they design black boxes that can survive air crashes,
12 and the industry went and did that. At any rate, I developed
13 my sense of skepticism about the NRC at that point.

14 Today I'm going to talk mainly about transportation
15 issues. As I see it, the industry is pushing the boundaries.
16 They are having high burnup fuel. They have large systems.
17 They're moving from 24-PWRs to 32-PWRs in a storage cask, and
18 I see there are major problems involved in doing all that.

19 First of all, the time in the pool for high burnup
20 fuel, if you look at--I looked in particular at the NUHOMS
21 container. The time in the pool goes all the way up to 20
22 years for dry cask storage and longer if high burnup fuel is
23 going to be transported. This has major ramifications for
24 decommissioning reactors. Essentially, reactors cannot be
25 immediately dismantled, because the fuel pools are going to

1 remain. So I see safe store as the only option, and I see a
2 long decommissioning period. Reactor licenses will have to
3 be retained.

4 It would be helpful for us--I'm going to point out
5 some of the ways that the Technical Review Board could help
6 us out in the field. It would be helpful for us to have DOE
7 run the origin code for high burnup fuel so we can actually
8 see the heat output, the radioactivity, over time; and we can
9 actually put that into calculations for how long fuel has to
10 cool down. So it would be helpful for us if the Board would
11 suggest that to DOE.

12 There are people in the room--I know Dr. Einziger
13 is here--who have worked on the brittleness of high burnup
14 fuel, the cladding ductility, and that affects transportation
15 and disposal of high burnup fuel. And I don't believe these
16 transportation issues have been well studied. I noticed that
17 Earl Easton is here, who had a role in NUREG-2125, and those
18 issues have not been well-examined in the NRC reports. This
19 document, NUREG-2125, which deals with transportation, is a
20 document that started as a three-year document, and it moved
21 into a seven-year period to actually produce it. It went
22 from a budget of 400,000 to 1.3 million. And the State of
23 Nevada requested a mere 30-days extension to review a
24 509-page report with numerous references, and the NRC
25 declined to allow us to do that.

1 And I think it will be a major problem when these
2 hearings arise concerning Yucca Mountain, if that ever takes
3 place, because all the issues that should have been handled
4 in this risk analysis that the NRC did are going to turn up
5 again in the Yucca Mountain proceeding. And we'll extend
6 that proceeding for long periods of time, and I don't see
7 where the Department of Energy, the NRC, or the State of
8 Nevada has the money to actually carry it all out.

9 So I encourage the Board to actually look into
10 these transportation issues, particularly as they affect high
11 burnup fuel. I am particularly concerned about the ductility
12 of this fuel, the brittleness of the cladding, and have some
13 concerns in particular about transportation accidents,
14 because some of the accidents that have been discussed in
15 NUREG-2125 involve major impacts where you have acceleration
16 forces that are on the order of 140G. And I don't see where
17 the fuel cladding would be able to sustain that, which I
18 would imagine the fuel cladding would shatter under those
19 G-forces.

20 High burnup fuel also has disposal implications.
21 If DOE intends to open up NUHOMS or HOLTEC canisters and
22 repackaged high burnup fuel, I see major problems arising,
23 particularly if the cladding--if the fuel has failed.

24 So I would encourage the Board to actually do a
25 serious investigation of that issue, perhaps answer the

1 question whether these high burnup fuel assemblies have to be
2 containerized before they are put into storage casks or into
3 transportation of systems.

4 The next slide--and the last slide--I have attached
5 a critique of NUREG-2125 when I sent my report into the
6 Technical Review Board, and it has a lot of discussion about
7 NUREG-25 (sic) and the concerns that we have about
8 transportation. I'm going to mention several of them as it
9 concerns transportation.

10 Transportation casks have impact limit, as you saw
11 this yesterday, at the end of each cask; so cask essentially
12 looks like a barbell. So the most vulnerable position in a
13 cask is a side impact. It's not an end impact where the
14 impact limiters are. It's on the side. And there are
15 several references, which have been conveniently omitted from
16 NUREG-2125, which discuss side impacts. I'm particularly
17 concerned about side impacts at railroad crossings. If the
18 train sill directly impacts a transportation cask, the forces
19 and accelerations can be great enough to stretch the bolt
20 lids and leave an opening to the cask interior. And then if
21 you have high burnup fuel where the cladding is also
22 shattered at the same time, then you can have material which
23 actually gets out into the environment.

24 The cited references in NUREG-2125 do not include a
25 sill impact where you actually have impact limiters at each

1 end, and that increases the bending of the cask itself. We'd
2 like the Board to look into these kinds of accidents.

3 We also have serious reservations about
4 long-duration, high-temperature fires and the effect on the
5 cask and fuel cladding. This is the reservation we have. I
6 guess I should really have pictures rather than demonstrating
7 with my hands, but casks have--transportation casks have
8 neutron shielding around the cask and then a thin metal layer
9 that goes around the neutron shielding. The thin metal layer
10 is connected to the main core of the cask with metal holders,
11 metal brackets, and that holds this thin outer metal cylinder
12 in place. And that serves as a heat conductor. Plastic
13 that's wrapped around a transportation cask actually serves
14 as a blanket, and the metal brackets actually serve as heat
15 conductors, so the heat can actually get out of the cask
16 itself through these brackets.

17 But in a fire accident these brackets serve as a
18 way for heat to get into the cask, and that isn't well
19 modeled in the models that I've looked at by the cask
20 manufacturers. And we'd like the Board to seriously
21 investigate fire accidents and take into account these metal
22 brackets, which I don't believe HOLTEC or--and I've looked at
23 those in great detail--HOLTEC has actually looked at and also
24 the truck cask manufacturers have looked into. And I'd like
25 the Board to also look into that.

1 The State of Nevada has been asking for some time
2 for full cask testing. These new transportation casks, which
3 are essentially a metal canister inside a transportation
4 overpack, should be fully tested. That's the position that
5 the State has. At least it should be tested so that we can
6 benchmark the computer models. Right now this is all done by
7 computer simulation and scale models, and the State would
8 like full scale testing. And the State has requested this
9 for many years.

10 I have one final point, which is malevolent events
11 should be seriously examined. We don't have confidence that
12 this has been done. Anti-tank weapons, such as the Russian
13 Kornet or the French MILAN anti-tank missiles, can easily
14 penetrate a meter of metal. So for transportation we remain
15 concerned about not just an entrance hole into a pressurized
16 cask, but events that also include an exit hole. Much more
17 material can get out if you have a two-hole accident than if
18 you just have a single hole into a cask. And also more gets
19 out if you assume the cask is pressurized, which calculations
20 by LUNA have not assumed. This is of particular concern with
21 high burnup fuel, which has large cesium inventories and
22 suspect fuel cladding. So this is another matter which we
23 would like the Board to investigate.

24 Those are my comments. Thank you.

25 DANIEL: Thank you, Dr. Resnikoff.

1 All right. So we're going to get into our
2 discussion time. Again, we're trying to identify issues, not
3 seek solutions. So who would like to start us off? There
4 are microphones scattered throughout the room. If you need a
5 microphone or when you want to speak or ask a question or do
6 anything like that, just raise your hand, we'll get a
7 microphone to you, we'll turn it on. Give us your name and
8 the organization you're with.

9 MAKHIJANI: Hi. My name is Arjun Makhijani. I have a
10 question about what happens in repackaging after the reactor
11 is shut. Does the presentation mean that the spent fuel
12 would have to be there? Because the way the NRC is
13 approaching it in its waste confidence GEIS is that you can
14 do dry-cask-to-dry- cask transfer. But from what I
15 understood, there is an assumption that the spent fuel would
16 always be there--the spent fuel pool would always be there.
17 Thank you.

18 DANIEL: Anyone want to answer that question?

19 RESNIKOFF: Could you give us that again?

20 MAKHIJANI: Yeah. In your presentation, for repackaging
21 you explained how the repackaging would be done by taking the
22 cask into the spent fuel pool and the time it would take and
23 so on. But after the plant is shut, there would be a lot of
24 dry casks; and if repackaging is necessary, is one to infer
25 that the spent fuel pool will always have to be there for the

1 repackaging, or can one dispense with the spent fuel pool and
2 assume that there can be a dry-cask-to-dry-cask transfer
3 infrastructure?

4 LEVIN: If I understand the question correctly is, once
5 the plant is shut down, you've got two situations. You've
6 got one which is the plant is decommissioned, so what remains
7 is dry cask storage on a pad at the site, and those are
8 typically canisters inside of overpacks. You also have
9 another situation, which the plant is shut down, and the
10 spent fuel pool remains, so it's shortly after shutdown, so
11 you're in that configuration.

12 For the situation where there is no spent fuel
13 pool, then repackaging, if you will, or movement of the fuel,
14 if you will, is only going to be in the existing canister. I
15 don't think that anybody is talking about opening up a
16 canister at a site that has no spent fuel pool.

17 MAKHIJANI: From the way I read the NRC draft Generic
18 Environmental Impact Statement, it seemed to me that they are
19 assuming that there would be--you know, in the case of no
20 repository, they have a scenario that they have to do ordered
21 by the court. I think they are assuming that they will have
22 dry-cask-to-dry cask transfer. Maybe I didn't read it right,
23 but that's the way I read it.

24 MOTE: I would like to make two comments. One is--

25 Sorry. Nigel Mote, Nuclear Waste Technical Review Board

1 staff. Thank you. There is a substantial body of experience
2 in the world about dry handling of fuel without it being in a
3 pool. NAC, in particular, did a lot of repackaging in Iraq
4 to get fuel out of Iraq under a U.N. program back in the
5 early 1990s, different fuel types. And I'm not going to say
6 that I know this experience of handling commercial fuel
7 assemblies.

8 This is an issue that's been raised, and I suggest
9 you record the issue. We're in danger of slipping into
10 trying to resolve it, and I wouldn't do that. What I would
11 say is, it's a good question, and it's one that we wrestle
12 with inside the staff in writing some of the documents in
13 advance of this. I think we need to take account that both
14 possibilities could exist. If I recall correctly yesterday,
15 one of the presentations included an AREVA schematic, which
16 said there was a pool, but there was also a dry handling
17 facility. And AREVA at La Hague in France has a dry loading
18 facility. It's inside a hot cell, and there's recovery
19 systems, so there would need to be (inaudible), But my
20 memory is that the presentation yesterday included a modular-
21 -mobile transfer system, which included the possibility of
22 dry packaging. So having recognized that, I would say that
23 we record that that needs to be looked at as an issue of how
24 you do that, whether it's dry or wet.

25 DANIEL: Thank you, Nigel.

1 Sven, give us your name.

2 BADER: Sven Bader from AREVA. I just wanted to follow
3 up on this. There's actually three dry transfer options.
4 There is a dry transfer system that DOE helped produce--
5 Jeff's not here--but it was in the 1990s. Transnuclear
6 designed it. It actually went through an NRC review. It's
7 unclear to me if it actually got completed, but there is a
8 dry transfer system. The mobile hot cell that we talked
9 about, that's a concept--that's something not fully
10 developed--that ideally would be moved between different
11 sites so that it's mobile. And then the third option is the
12 hot cell, as Nigel noted, and that's a fixed facility. We
13 did a study for DOE on this under the IDIQ Act contract. It
14 was Contract Number 14.

15 DANIEL: Diane.

16 CURRAN: This is Diane Curran. I want to ask Mr.
17 Einziger--I think yesterday you were talking about transfer
18 centers and hot cells, and I think you made an important
19 distinction as to what the basic requirements are and the
20 costs. I'd just like to ask if you could clarify that a
21 little bit whether there's such a choice or whether you
22 actually mean a hot cell.

23 DANIEL: This meeting is to identify issues.

24 CURRAN: Yeah, I understand that, but, you know, there's
25 also information about what we already know. And if there's

1 something that's known--I guess it seems to me that it's
2 useful if it can be quickly stated: Here's where to look for
3 this information. And maybe that's how I want to present it.
4 Where do you look?

5 DANIEL: Let's answer this question, and I want us to
6 get back on identifying issues. So if you would answer it
7 briefly, if you can?

8 EINZIGER: Irrespective of what you hear in the public
9 venue, spent fuel is dangerous stuff; and so you just can't
10 take it out of a canister and put it into another one. You
11 have to have substantial shielding around it to protect your
12 personnel. Whether that is in a fixed hot cell or a yet-to-
13 be-demonstrated mobile facility, you still need that
14 shielding. And shielding is heavy. And so I really question
15 whether a mobile facility can be made and really be mobile.

16 Cost-wise, this is no small issue. Do I have any
17 references I can say go to some document and it'll tell you
18 what the cost is? No. All I can tell you is that there are
19 people who have worked around hot cells that tell me that
20 it's not in the 10-million-dollar range. Maybe you should
21 add another zero on it, somewhere probably between those, but
22 that's just a guess. It's not an easy subject to be cracked.
23 Dry-to-dry transfer I don't think has ever been demonstrated
24 except for canisterized systems. Canisterized systems are
25 fairly easy, because it's just essentially unloading and

1 dropping it into another system. And remember, for systems
2 that are directly loaded, there's a lot fewer of those.

3 DANIEL: Okay, so this could be--thank you. So this
4 could be a particular issue that this mobile possibility
5 isn't fully tested yet. You raised the cost, extremely high
6 cost. Other issues? Yes, your name?

7 LANTHRUM: Gary Lanthrum, NAC International. Maybe not
8 so much an issue, but maybe an undoing of an issue. A lot of
9 questions have been raised about the ability to transport
10 safely high burnup fuels and to later transfer them to
11 another canister configuration. A lot of the high burnup
12 fuels that are being loaded now are being loaded into damaged
13 fuel cans before going into a dry storage canister, and that
14 simplifies the ability to both transport and to subsequently
15 handle the fuel. And so I think that needs to be taken into
16 account. Don't assume that high burnup fuels are going
17 directly into a canister, just another basket without
18 additional protections.

19 So your thermal loading will be loader (sic), and
20 your rad loading for a given canister will be less, because
21 you'll have less fuel in the canister, and it will be
22 configured in a damaged fuel can, which is much easier to
23 handle than trying to deal with an assembly that may have
24 cladding issues or other challenges.

25 DANIEL: Okay. I want to keep this on issues, folks,

1 identifying issues.

2 EINZIGER: Just a clarification. Bob Einziger, NRC.
3 Only one vendor not to be named is loading high burnup fuel
4 into damaged fuel cans.

5 DANIEL: Okay. Judy.

6 TREICHEL: Judy Treichel, Nevada Nuclear Waste Task
7 Force. It seems to me like we've got the cart racing to
8 catch up to the horse. And very early on in this whole deal
9 they talked about standardization of casks. And at the Yucca
10 Mountain site it was going to be an MPC, multi-purpose
11 canister, and then it turned into a TAD, and now we've got
12 the STAD. But at any point--it can't happen any too soon
13 that you start to standardize. And I'm not sure why they're
14 not. I would guess it's because everything starts at the
15 utilities, and maybe the utilities don't want to.

16 But on our chart here it shows loading, unloading,
17 loading, unloading over and over and over again. And at the
18 very beginning when it's coming out of the reactors, I guess,
19 the utilities want the biggest bang for the buck so you get
20 the most huge canister. Then you start knocking it down so
21 it can be transported to the storage facility, and I don't
22 know then if you go back up to a bigger canister.

23 DANIEL: So the issue you raise, Judy, is lack of
24 standardization for storage containers for canisters and
25 casks; correct?

1 TREICHEL: Right. And then at the very end there is a
2 big issue where the repository--a geologic repository--where
3 a lot of the design depends upon what's going into it. And
4 so getting something decided first, I would think, would be a
5 really good thing.

6 DANIEL: Thank you.

7 HOWARD: Rob Howard, Oak Ridge National Lab. I think,
8 to follow up on what Judy is saying, looking at the influence
9 diagram here, so there's an arrow that comes back from
10 disposal, and you can take it to any one of these other
11 operations. And the issue is, well, what are the disposal
12 requirements for that package? And so you have to--if you're
13 going to do standardization, you have to either know or
14 assume what the disposal requirements are and then move them
15 back to these other operations. So I think that's the
16 influence diagram implication there.

17 DANIEL: Okay. Nigel.

18 MOTE: Nigel Mote, staff. I'd like to clarify one
19 thing, because Judy didn't say it the way I'd like it said.
20 I'm not saying that that's wrong, and I'm sure there's some
21 misunderstandings here. What Judy picked up is that we have
22 repackaging several times on the diagram. That doesn't mean
23 each time it gets repackaged. They are optional.

24 The understanding the Board has is that if you
25 repackage from the dry storage containers, it will be once

1 into a different container. If you did it at the reactor
2 site, it's because you know that the container you put the
3 fuel in will then be able to go all the way through to
4 disposal. You wouldn't repackage until you know what you're
5 going to need for the end point, unless there is some other
6 configuration, some other influence. And that's another
7 issue. If you have to repackage to remove from the reactor
8 site and you still don't know what the disposal requirements
9 are, you may have to repackage a second time.

10 So it's a good point that Judy raised. Our
11 assumption was repackage once. But thinking about that it's
12 on a number of cells, it may be that it has to happen more
13 than once. I would expect that's in a limited number of
14 cases, though. But that's another issue of how many times do
15 you have to repackage--

16 DANIEL: --repackaging more than once.

17 MOTE: We want to stay away from selecting and saying
18 you don't want to or you do want to. But in this case I'm
19 sure there is a don't want to repackage more than once unless
20 you have to.

21 CURRAN: I have a follow-up question to Nigel. I guess,
22 Nigel--this is Diane Curran--I would add to your question:
23 What if the fuel degrades inside a canister? NRC is talking
24 about very long-term storage on site, and it has to be
25 repackaged yet again because it fails? I think that's a

1 question.

2 DANIEL: Go ahead, Nigel.

3 MOTE: Nigel Mote, staff. I would say that is an issue.
4 We don't need to go any further than that here. Yes, if
5 there is fuel degradation, that isn't necessarily something
6 that would have been taken into account in all subsequent
7 operations. A quick comment. You know that the NRC has
8 invited comments on the possibility of changing from assembly
9 recovery to retrievability to package retrievability. I'm
10 not going to say we need to discuss that, but that is
11 something that needs to be taken into account in recording
12 that issue.

13 DANIEL: Earl, do you have an issue?

14 EASTON: Earl Easton, private citizen. A related issue.
15 Do the regulations, the way they're implemented, determine
16 who does the repackaging? I mean, that's a very important
17 point. If I have to repackage damaged fuel to transport it,
18 that means the utilities have to repackage it. If I can
19 somehow take transportation out of the equation by going to a
20 canister basis, it might mean that the receiving facility can
21 repackage it.

22 So the issue is: Do the regulations have
23 unintended consequences on who actually is going to do the
24 repackaging?

25 DANIEL: Thank you, Earl. Dr. Resnikoff.

1 RESNIKOFF: I wanted to follow up on what Judy said and
2 what Nigel said, and this relates to the economics of it.
3 And this is what Earl raised. Who is responsible under the
4 standard contract for packaging the fuel? My understanding--
5 I'm not a lawyer--is that the utilities are responsible for
6 that. So they're moving to larger and larger systems, which
7 are cheaper for assembly to use, rather than a large number
8 of small casks. If the utilities are responsible for that
9 cost, then they're going to go to larger system, is the way I
10 understand it.

11 DANIEL: So the issue you raise, Marvin, is the fact
12 that the utilities have one bent towards larger storage as
13 opposed to other areas of the cycle leaning more towards
14 possibly smaller canisters.

15 RESNIKOFF: Exactly. And this was raised yesterday by
16 the Chairman of the NRC when she said that there are two
17 different motivations here. One is for disposal, and the
18 other is for storage.

19 DANIEL: Correct. Thank you.

20 MAKHIJANI: Thank you. I'd like to go back to
21 something--

22 DANIEL: Your name?

23 MAKHIJANI: Arjun Makhijani, Institute for Energy and
24 Environmental Research. I guess Mr. Howard left?

25 SPEAKER: He disappeared.

1 MAKHIJANI: I wanted to follow up on something that he
2 said is, if the disposal arrow feeds back to earlier parts of
3 the cycle, for instance like canister size that has just come
4 up, and there are a number of canister or design canister
5 material the Chairman, Dr. Ewing, raised yesterday--or this
6 morning--the copper canisters in Sweden and so on--it means
7 really that you can't decide on the earlier parts of the
8 system till you know what kind of repository it's going to go
9 into.

10 And so I would think that part of the feedback from
11 this workshop, the next one, would be the issue of: Do we
12 need to have a site before we can settle some of these
13 critical questions? Because if you put it in salt, you've
14 got one problem; if you put it in granite, you've got quite
15 another problem.

16 DANIEL: Okay, so let me make sure I understand what
17 you're saying, Arjun. What you were saying is, we need to--
18 the issue is, we should determine first the repository and
19 the nature of the repository, and that would determine the
20 canisters and the nature and the characteristics of the
21 storage and transportation canisters; correct?

22 MAKHIJANI: It would have a very central influence, not
23 the only determining--

24 DANIEL: Right.

25 MAKHIJANI: I don't mean that.

1 DANIEL: But it would have a lot--that would dictate a
2 lot of these other things, answer a lot of these other
3 things.

4 MAKHIJANI: That is my view. And I think that's the
5 implication of the view that Dr. Ewing expressed this morning
6 that it's very important to know what kind of container
7 you're putting in what kind of environment.

8 DANIEL: Right. Thank you, Arjun.

9 Lee, did you get that?

10 Peter.

11 SWIFT: Peter Swift, Sandia Labs. I appreciate that
12 last comment. I fundamentally agree, it would be good to
13 know what the disposal environment is. We can, however,
14 separate between the container and the overpack. This point
15 was made yesterday with respect to storage. The copper
16 overpack in Sweden is that; it's an overpack; it's not the
17 thing you first package them into.

18 So the question here--I think this will come up in
19 Josh Jarrell's talk tomorrow afternoon to the full Board. Is
20 it possible to design essentially a generic standardized
21 disposal canister now and then overpack it in a way that will
22 work in any environment? And this isn't an open issue. I'm
23 not sure it is. But it's something we are thinking about,
24 and we'll hear more about it tomorrow.

25 CURRAN: Just a question for you, a clarification.

1 DANIEL: Diane, you're going to have to wait until I
2 call on you. I need your name and--go ahead, Diane.

3 CURRAN: This is Diane Curran. Are you saying that if
4 you standardize the container, it doesn't matter what the
5 geologic environment is?

6 SWIFT: Peter Swift, Sandia National Laboratories. No,
7 but I am saying that there are ways to--the question was: Am
8 I saying that it's possible to have a standardized canister
9 that essentially works in any geologic environment? We don't
10 know. Once again, that's one of the hard questions ahead of
11 us. But it is possible that you could design a standardized
12 canister that could be put in something for transportation,
13 taken to a disposal site, and then put in something different
14 to be disposed of without the need to open it again at the
15 disposal site. That would be Rob or John or Josh, if he's
16 here. That would be the point worth considering anyway.

17 The one thing is--keep this in mind--once you seal
18 it, if you want to take it all the way to disposal, you
19 really did seal it. So what you put inside, the hardware
20 inside the canister, the criticality controls, those things
21 you don't get to change after you pick your disposal site
22 later. So pick them carefully now to work in as broad a
23 range of environments in the long-term future as you can.

24 DANIEL: Thank you, Peter. Nigel.

25 MOTE: Nigel Mote, staff. To try and distill this down

1 to an issue, what I'm hearing is, it would be nice to know
2 what the geology is so that you can design for it.
3 Unfortunately, we can't make that choice, because we've been
4 trying to find the geology for the past 20 years or more.
5 Right now we don't have one, so we're in the position where
6 we have to make assumptions and decisions.

7 What this workshop is about is, identify that as an
8 issue, because you may need to keep options--well, you do
9 need to keep options open. There may be decisions you can
10 make so that things don't get any worse, and be aware that we
11 don't know what the geology is in determining how best to
12 manage the system. But there's a disconnect between that
13 analysis and the utilities, because we have a commercial
14 management initially in spent fuel management, and then we
15 have a national program that follows from that. So one of
16 the issues is to what extent does that disconnect dictate the
17 way things are going and create problems, if we can foresee
18 them, we may be able to find a way to resolve or ease in some
19 way.

20 SANCHEZ: Robert Sanchez with the Government
21 Accountability Office. I'm not a technical person, and I'm
22 not a technical workshop, so I'm a little over my head here.
23 But I've got a couple of observations, I think. One was, on
24 the chart that we see there's a couple of issues, I think,
25 that are missing. One is cost, which I think is going to be

1 a major driver of whatever technical decisions are made; and
2 the other is time. And I think that's also going to be a
3 major driver, and I think that's also going to impact the
4 ability to implement any sort of technical solutions. And I
5 think missing those from the chart--I think they have to be
6 involved in the discussion.

7 A couple of issues like on time, degradation
8 issues, I think, are things that have been brought up. I
9 think one that's missing from here, but I think has been
10 raised elsewhere, security. As the spent fuel, of course,
11 cools down, it becomes less radioactive, security becomes an
12 issue. And I don't see that reflected here.

13 And, of course, cost, the federal liabilities, and,
14 of course, the cost to the industry, if repackaging is
15 required, who does it when and where, I think, are probably
16 very major drivers in terms of what technical solutions are
17 implemented. And I think those need to be part of the
18 equation as well.

19 DANIEL: Very good. Thank you. Certainly issues.

20 EINZIGER: I just want to remind people--

21 DANIEL: State your name.

22 EINZIGER: Bob Einziger, NRC. I just want to remind
23 people, there is nothing in the transportation regulation as
24 it's written right now that doesn't--you can ship damaged
25 fuel not in the can. You can ship debris not in the can.

1 What the requirement says is you have to know what the
2 content is that you're shipping.

3 So if you want to declare it all debris and you can show
4 under that condition you can meet all the safety regulations
5 such as containment and retrievability--well, not even
6 retrievability, because there's nothing in the transportation
7 regulation that talks about retrievability. If you can meet
8 the criticality, you can meet the shielding, you can meet the
9 heat transfer in a degraded state, you can transport it. The
10 question you have to answer is, once you get it to the other
11 end, can you handle it? Can you accept it?

12 DANIEL: So there's nothing in Part 71 that talks about
13 retrievability?

14 EINZIGER: Right. So the question is: Do you even want
15 to keep it intact?

16 DANIEL: Susan.

17 HOXIE-KEY: Susan Hoxie-Key, Southern Nuclear. I wanted
18 to add on to the point made by the gentleman from the GAO.
19 One of the things that I don't hear us talking about in time
20 is the fact that, as we go out in time, there will be more
21 early shutdowns of plants. The longer we delay solving this,
22 the more plants that are going to be in the decommissioned
23 stage, because as we approach the license end of life, the
24 utilities will be making decisions about major mods and major
25 maintenance; and they will find that these large-dollar

1 activities can no longer be economically amortized over the
2 remaining life of the plant.

3 So as we approach the end of life, we're going to
4 find plants not really making it to the end of their 60-year
5 license life. And that's going to move the time frame, you
6 know, forward earlier in time that we have to deal with this.
7 So I'm just saying the sooner we--

8 DANIEL: Distill it down to an issue for us.

9 HOXIE-KEY: Okay. So we need to make decisions and move
10 forward quickly, and how can we do that?

11 DANIEL: Okay. So actual implementation is an issue--

12 HOXIE-KEY: Yes. We don't have 20 more years to study,
13 or we're going to be in a situation where every plant is shut
14 down, and the only issue we're dealing with is these orphan
15 sites.

16 DANIEL: Good enough. Thank you.

17 EINZIGER: Bob Einziger, NRC. Just one question:
18 Should plants be able to shut down and get rid of their pool
19 until the fuel is gone?

20 DANIEL: Gary.

21 LANTHRUM: Gary Lanthrum, NAC. One of the other issues
22 is contract requirements. Right now the discussion has been
23 about whether or not you could repackage at utilities, but I
24 don't think there's anything contractually that obligates
25 utilities to do that. And so DOE is going to have to engage

1 if they want additional work to be done at utilities,
2 particularly during the window after shutdown and before the
3 pool is removed. That would take a fairly significant set of
4 contract negotiations that would have to be undertaken.

5 DANIEL: Okay, thank you, Gary. Nigel.

6 MOTE: Nigel Mote, Board staff. Gary, I'm sure I agree
7 with you, and I don't see anybody from DOE here. Jeff's in
8 the other session now.

9 As I understand it, there is nothing that is agreed
10 so far that says DOE will pick up fuel, other than in bare
11 assemblies. So the utilities may not need to repackage. But
12 if there's hardball being played, right now the only way out
13 is for DOE to specify the container and for the utility to
14 load them. And if it gets down to a legal discussion--and
15 I'm way outside any formality here, but we are expressing
16 views--my understanding is that DOE could say, We're taking
17 spent fuel, and until that time it's yours.

18 And I'm not advocating, but the issue out of this
19 one--and I'm trying to think in terms of issues--is: Is
20 there a way for the fuel to be taken away other than as bare
21 fuel assemblies? Otherwise, this discussion is moot.

22 So the starting point is the current contract, and
23 something has to change between now and the future for
24 containers to be taken away other than in that way. That
25 would dictate that repackaging is all at the utility sites.

1 And I'm only saying that's the logical progression. I'm not
2 advocating a view or taking a position, but the issue is:
3 Can you remove that blockage?

4 DANIEL: Got that, Lee?

5 PEDDICORD: No.

6 DANIEL: Tell us again, Nigel, short and sweet.

7 MOTE: Okay. The issue is for fuel to be taken away
8 from the site other than in bare fuels, there would need to
9 be a revision to the standard contract under the Nuclear
10 Waste Policy Act.

11 DANIEL: All right, thank you, Nigel. Issues, issues,
12 there are a lot of issues.

13 NUTT: Mark Nutt from Argonne National Lab. Just
14 looking at the influence diagram you've got, I don't know if
15 it's going to be an issue, but just walking through it,
16 there's a tremendous amount of feedback all the way across
17 it. And we heard earlier, if you start, things get delayed,
18 more fuel goes into canisters, and those canisters have to be
19 handled through the system. So the likelihood is they're
20 going to get shipped to the storage facility and parked as
21 canisters in the storage facility. When and where they're
22 repackaged there or the repository can be decided later.

23 But, again, the longer we wait, the more fuel goes
24 into canisters. So if the acceptance can begin--it all
25 hinges around when acceptance of fuel starts and in what way

1 that fuel is taken off the site. I think Rob or someone
2 showed yesterday, there can be upwards of about 40,000 tons
3 of fuel still sitting in the pools. That's game for reducing
4 or doing anything with. You can keep it as bare fuel; you
5 can store it as bare fuel; you could repackage it later once
6 you have an idea. But if you can reduce, I guess I'll call
7 it, the hemorrhaging of everything that's going into
8 canisters--everybody thinks everything is going into
9 canisters and moving off as canisters--I think there could be
10 technical solutions and ways to turn that around provided
11 once acceptance starts, and then you have tremendous
12 flexibility throughout the system of dealing with what's
13 left. We're always going to have to do something with the
14 canisters that are being loaded. They're going to have to be
15 repackaged unless the guys in the next room can figure out a
16 way to get them underground.

17 But it's going to be there. And the key is, can we
18 do anything on the acceptance side and then on the interim
19 storage side, if we go that route, to try to minimize the
20 size of the problem.

21 DANIEL: Okay. So the issue is to try to quickly focus
22 on minimizing the magnitude of the problem, as you put it, to
23 stop the hemorrhaging.

24 NUTT: Correct. And there's feedbacks all the way
25 across that system of how you operate and how you set that

1 thing up.

2 DANIEL: Thank you. Okay, go ahead, you've got it.

3 TREICHEL: Judy Treichel. Is there any way--and I don't
4 know the answer--is there any way that you can have--I know
5 regulation is always a dirty word, but something overarching.
6 Because every time we transfer fuel, it's older and it's
7 gotten more brittle. And many of the things that Marvin
8 brought up are wrong with the fuel, and that only continues
9 to get worse as you go on. And at the beginning of your
10 chart, the bigger the canister, the better they like it. At
11 the disposal end the smaller the canister, the easier to deal
12 with the repository issues.

13 So I know that you're talking about the freedom of
14 the utilities here, but isn't there any kind of overarching
15 regulator that can say you can't do this in the front end
16 because it hurts the back end? I don't know how you would do
17 that.

18 DANIEL: Judy, that's a good question, but it's a little
19 off topic where we're trying to go right here, and I'd like
20 someone to have a sidebar conversation with you on that, if
21 we could, after this discussion. We're really trying to
22 focus on these issues related to repackaging, okay? So I
23 don't want to ignore you, but I'd like someone--Nigel.

24 MOTE: Let me try and get that to an issue. I want to
25 say the issue is: How do you look at the national interest

1 as a whole when you have two independent management steps in
2 the chain? One is commercial, and one is governmental. And
3 one is an independent operation on the utility side, and the
4 other one is an integrated program on a national basis. The
5 issue is: How do you resolve the conflicting interests of
6 those two?

7 DANIEL: That's the one. Thank you, Nigel. Thank you,
8 Judy.

9 ROWE: May I just--

10 DANIEL: Gene.

11 ROWE: Yeah. Gene Rowe, staff. I think that, to boil
12 it down to a simple issue, I think the issue is that the
13 entity that is responsible for transportation and disposal is
14 different than the entity that's responsible for storage.
15 And obviously at this moment the DOE is the entity that's
16 responsible for transportation and disposal at this point,
17 and they have no influence, because of the Nuclear Waste
18 Policy Act, on how the utilities load the canisters or how
19 they do dry storage.

20 So the issue, I think, is resolving that conflict
21 so that--and I don't want to come up with a solution, but the
22 issue is that the DOE has no influence on how those canisters
23 are loaded. And I think that is the bottom line for most of
24 this discussion.

25 DANIEL: That's an issue. Thank you, Gene. Kris.

1 CUMMINGS: Yeah, I think that ties into--

2 DANIEL: First give us your name, please.

3 CUMMINGS: I'm sorry. Kris Cummings, NEI. I think your
4 comments feed into exactly the issue I wanted to bring up,
5 which was the issue of safety. The primary importance of the
6 plants as they operate is that they operate safely, that they
7 load these casks, and they do it in a safe manner.

8 And, yes, maybe bigger casks is more cost
9 effective, but it's also safer, because you have less
10 evolutions in your plant. You can do it in a condensed time
11 frame. You have move, de-move, things like that. So there's
12 a combination of the larger casks being--I guess I'd call it
13 the sweet point of being a cost effective, more safe solution
14 to the dry storage problem.

15 We don't have a repository. We don't have a
16 canister or a repository that's been designed that can factor
17 into the front end, the loading of the dry canister. So the
18 utilities have taken on themselves with the cask vendors to
19 design something that works for the system as it is right
20 now. When we get a repository, and we have a design, and it
21 may make sense to package into things that are good for
22 disposal. But until that happens, we need to make sure that
23 we continue to focus on safety in the bigger systems are
24 that.

25 So I guess the issue that I would have the Board

1 would be: What is the safest thing that we can do in the
2 context of the situation that we have now? Not in 40 years
3 or 35 years in 2048 when we have a repository, but what is
4 the safest thing to do now?

5 D'ARRIGO: Diane D'Arrigo, Nuclear Information and
6 Resource Service. When you said the less evolutions at the
7 plant required--

8 CUMMINGS: I mean in terms of loading a cask. So if you
9 load 5 casks instead of 9 times as many, meaning 45 casks,
10 that's five evolutions of a cask loading. That's what I
11 meant by evolution was a cask loading of itself. And then if
12 you load 5 big casks versus 45 casks of the small ones, then
13 you've got a lot less operations that you're doing in terms
14 of sealing that cask and things like that. So that's what I
15 meant by an evolution.

16 DANIEL: Okay. Issues related to repackaging, for
17 storage, and disposal--I mean for transportation or disposal.
18 Diane.

19 CURRAN: I want to follow up on an issue that was raised
20 just a minute ago. What I heard it as was: How does the
21 Nuclear Waste Policy Act constrain the DOE from resolving
22 this conflict between various interests at different stages
23 of this? I'd like to add a question, which is: Does the
24 Nuclear Waste Policy Act or the Atomic Energy Act constrain
25 the NRC from doing that in any way, and how would the two

1 agencies interact?

2 DANIEL: Okay. Gene.

3 ROWE: I think this is one issue where we can let the
4 NRC off the hook. I don't think the issue that's being
5 discussed really--the NRC really doesn't have any impact on
6 that decision. The NRC doesn't care whether they're big
7 packages or little packages. What the NRC cares about is
8 that it's done safely.

9 CURRAN: Well, you know, to me, I'd like to keep that
10 issue on the table. I think that's too simplistic an answer,
11 because the NRC is concerned with safety from cradle to
12 grave. So it's not--the NRC doesn't put on blinders and say,
13 We're only going to look at this point and not another. I
14 think it deserves some consideration.

15 ROWE: I don't disagree, okay?

16 CURRAN: Okay.

17 DANIEL: We have representatives from the NRC here.
18 This session is being transcribed, so, Mike, you heard it;
19 right? Good enough.

20 And, Diane, you're welcome to talk with Mike
21 afterwards. Michael will talk to you right now.

22 CURRAN: But just to finish, when we raise issues--when
23 we put issues into the hopper, is there a process for taking
24 them off the table when someone's put them on? Because
25 that's what I heard happening, oh, your issue wasn't

1 legitimate.

2 ROWE: No, no, no.

3 DANIEL: I think, Diane, this session is about the
4 repackaging of spent nuclear fuel. This whole session is
5 designed to talk about the repackaging of spent nuclear fuel
6 for transportation and disposal.

7 Nigel.

8 MOTE: I'd like to try and get the issue out of this,
9 because I think it's important. And I would make it generic
10 and say: To what extent does existing legislation--whether
11 it's regulatory or not, to what extent does existing
12 legislation constrain the options that may lead to the
13 optimum management of fuel within the system?

14 DANIEL: Okay, Mike, go ahead.

15 WATERS: This is Michael Waters of USNRC. First of all,
16 this is not the person who can speak on behalf of the staff,
17 but I think Kris Cummings and then Diane raised the
18 questions. I would like to understand better how repackaging
19 these casks/canisters are indeed safe at a power plant. I
20 think we need more risk analysis to do that. But I also
21 think Diane is correct. The NRC is responsible for safety of
22 the spent fuel with regards to the licensee in the area of
23 storage and disposal. So the question of safety does
24 transcend across industry and DOE, and I think it is a
25 legitimate issue you can consider over the lifetime of spent

1 fuel what is the safest approach. On the other hand, the NRC
2 does not have a policy on that, and we do have (inaudible)to
3 look at storage separate from disposal--

4 MAKHIJANI: Could I follow up on that a little bit, and
5 then I have a question--

6 MAKHIJANI: Arjun Makhijani. Sorry about that. Just a
7 remark here to the facilitator is, you know all decisions
8 that involve containerization, dry storage, size of canister
9 have implications for repackaging. So I think an idea that
10 some issues can be ruled out of this workshop because they're
11 not directly repackaging, in my opinion, is to misconstrue
12 what the idea of--how broad the implications are of the kinds
13 of decisions we're talking about. Just my opinion. You can
14 take it or leave it.

15 DANIEL: Point taken, Arjun.

16 MAKHIJANI: I have a follow-up question for the
17 gentleman from Argonne. I'm sorry, I didn't get your name.

18 I understood from what you said implied that most
19 or all of the--that repackaging will be required before
20 disposal for what is now in dry canisters and what will be.
21 Did I misunderstand you or--

22 NUTT: Mark Nutt from Argonne National Lab. If you look
23 at some of the design work and the stuff that the Department
24 of Energy under the Used Fuel Disposition Campaign, looking
25 at the--I call them the European designs--those are all much

1 smaller canisters. So if you're going to take one of those
2 designs and utilize one of those, yeah, you're going to have
3 to repackage what's in the large storage canisters into those
4 canisters.

5 Now, the work they're talking about in the other
6 room is the feasibility or potential for direct disposal of
7 the large canisters. If that can be--if a site can be found
8 and that can be demonstrated feasible, you wouldn't need to
9 repackage. But that's over there. We're talking about the
10 need to have to repackage those canisters, and it's all to
11 meet the disposal requirements.

12 MAKHIJANI: Could I follow up just to clarify?

13 DANIEL: Sure, Arjun. There's the microphone.

14 MAKHIJANI: Arjun Makhijani again. So this is kind of
15 a--thank you very much--very informed clarification, because
16 the French repository, for example, that we've looked at in
17 my institute and evaluated, we thought that large boreholes
18 would be very difficult in that repository location. So one
19 kind of possible feedback with very major implications for
20 site selection of what the utilities are--and repackaging--
21 for what the utilities are now deciding in terms of, you
22 know, it being more economical and maybe less worker exposure
23 and so on.

24 Maybe there would be a lot more worker exposure
25 down the line, and one issue for the NWTRB to examine is:

1 What are the implications down the line for worker exposure,
2 safety, repackaging, and site selection of the decisions that
3 utilities are now making regarding canister size. Because,
4 actually, the Chairman of the NWTRB was part of our team when
5 we first looked at the French repository, not the second time
6 around. And this is just an absolutely huge issue in terms
7 of constraining site selection.

8 DANIEL: Okay. So what you're saying, Arjun, is--you're
9 saying the issue is: Based upon what the utilities are doing
10 now, what implications does that have in repackaging and
11 hence exposures to individuals in repackaging as you go
12 through the cycle?

13 MAKHIJANI: Plus site selection, because if you don't
14 want to repackage, that is going to constrain your site
15 selection. If you don't want to constrain your site
16 selection, it's going to mean repackaging. So there is a
17 feedback.

18 DANIEL: Thank you.

19 SUBIRY: Juan Subiry, NAC International. I think
20 another issue that we need to get very serious about is the
21 transport requirements of having a very large number of
22 canisters if you do repackage, especially at the utilities
23 that will be shipping, and utilities do move to a higher-
24 capacity system before the reasons that Kris Cummings
25 mentioned, safety, economics. But also they have an end in

1 mind, and their end is to ship the fuel off site.

2 And if you are going to, for example, triple the
3 number of canisters that you will be generating at a
4 facility, there are serious security consequences. There are
5 a lot of, for example, rail transport infrastructure
6 considerations, cost, scheduling, things like that that the
7 industry really needs to consider. That, in my view, will
8 probably favor, if repackaging is the decision, to be done at
9 the receiving site. It's an issue that needs to be
10 evaluated.

11 I believe that if that decision to repackage at a
12 receiving site is made, then, in contrast, the logic will
13 tell you that moving to a higher-capacity system at the site
14 is the right thing to do, because you will have fewer systems
15 and at the receiving facility fewer receipts and, therefore,
16 fewer packages to repackage. Thank you.

17 DANIEL: Thank you, Juan.

18 BECKER: Steven Becker, Board. The gentleman from the
19 GAO identified several non-technical drivers about the
20 ability to make and implement these technical decisions.
21 Here's another one that has thus far been conspicuous by its
22 absence: What needs to be done to better incorporate the
23 public into these technical discussions and decisions?

24 DANIEL: Thank you. Okay, Judy.

25 TREICHEL: Judy Treichel. This is just a question. Is

1 it assumed that all transportation is rail, or is it assumed
2 that the transportation overpack or cask can go by either
3 rail or truck?

4 DANIEL: Nigel.

5 MOTE: Nigel Mote, staff. Can I turn that into an issue
6 and say, for all transportation stages, all modes of
7 potential transportation need to be considered, and the
8 implications of those upstream and downstream need to be
9 taken into account in optimizing the system.

10 TREICHEL: Okay. Judy Treichel. Then that means you've
11 got to have smaller packages.

12 MOTE: Mote, staff. No, if you have small packages,
13 then there will be different considerations, limitations,
14 than if you are transporting large packages. To try and keep
15 it at the issue level, what we're looking for is: What
16 implications do you need to take into account in looking at
17 how to optimize the system?

18 And if we're looking at repackaging, yes, you'd
19 have small packages at the disposal point. But as the
20 previous discussion considered, you can do that in different
21 places; and where you do it will be determined by
22 transportation regulations, commercial analyses, other
23 influences. But as the issue, I would say that you need to
24 be open-minded and say, well, let me put it in terms of the
25 discussion matrix. If you look at transportation from a

1 potential interim storage facility to the repository, what
2 are the implications of that transportation requirement for
3 storage at the interim storage facility?

4 If you have long-term storage, does that include
5 your repackaging so you have more transportation operations?
6 If you repackage at the disposal facility, then you have less
7 transportation operations from the central storage facility.
8 But less transportation means bigger packages. So there's an
9 interplay between all of these, and the issue is to keep the
10 options open and look at how best to manage the system.
11 Small packages could be rail transportation; and large
12 packages presumably could be barge or rail.

13 TREICHEL: Judy Treichel. Well, you have some reactors
14 without rail access and some reactors where you have bridges
15 that won't handle those loads, there are some reactors that
16 can't get waste away from them by either barge or rail.

17 MOTE: Then the issue is to look at the limitations of
18 individual sites in planning the transportation system.

19 TREICHEL: Okay.

20 MOTE: Judy, I agree with you. I mean, I know a lot of
21 sites where there are transportation limitations. We can't
22 take account of that. That's a downstream operation for DOE
23 or the subsequent implementer or the utilities. The issue,
24 as far as we're concerned, is there are limitations based on
25 reactor site access limitations.

1 TREICHEL: I guess I was just making a point for smaller
2 containers.

3 DANIEL: I want to take a break in the discussion here
4 and refocus us on this matrix. If you look to the--if you
5 take a look at the matrix, look at A-1 and look--it talks
6 about spent nuclear fuel in the fuel pool.

7 Is this a possible issue that the storage racks in
8 the spent fuel pool might be different--or the storage racks
9 in the spent fuel pool might be different than in the storage
10 container, and therefore the criticality issues may be
11 different? Is that an issue? Look at each one of these
12 things. Look at the relationship of these items as you go
13 down through the matrix. I'd like to focus us back on the
14 technical issues that be falling out of these various
15 functions. Sven.

16 BADER: Sven Bader, AREVA. During our studies IDIQ 14,
17 some of the things that we've assumed were that the fuel is
18 retrievable after transportation. And by regulation, I'm not
19 sure that's true. And so another consideration, another
20 issue is, after you've sat on the pad for 40 years and then
21 you do transport, do you think the fuel will still be
22 retrievable into another package?

23 DANIEL: So you're talking about retrievability of spent
24 fuel--

25 BADER: Retrievability after transportation was one of

1 our issues. Another issue that we had is: What exactly is
2 failed fuel? Different people define failed fuel
3 differently, and it seems like an issue that might be worth
4 bringing up is getting a succinct definition of what failed
5 fuel is.

6 DANIEL: So as far as--

7 BADER: In this context, yes.

8 DANIEL: We need to have a collective understanding as
9 to what constitutes failed fuel, and there's nothing right
10 now. It's different understandings between different groups;
11 correct?

12 BADER: Correct.

13 DANIEL: Okay. Lee, good on those?

14 PEDDICORD: No.

15 DANIEL: No. Give us those again, the various--

16 BADER: Retrievability after transportation concerning
17 the history before transportation.

18 DANIEL: Okay. And different--what constitutes failed
19 fuel and the implications.

20 BADER: Just to add one other issue to that is, you
21 know, the implications of wet transfer after dry storage.

22 DANIEL: Implications of wet transfer after dry storage.
23 Okay, thank you, Sven. Diane.

24 CURRAN: This is Diane Curran. I just want to follow up
25 or, I guess, develop a little more the issue that Nigel and

1 Judy were talking about. And what occurred to me was that,
2 getting back to the issue of transportability, there may be
3 some drivers or some overriding factors that--are there
4 factors that--are there safety-related factors that drive the
5 choices of, say, for instance, what size package you use at
6 the reactor site and--

7 DANIEL: So maybe the issue being what are the most
8 critical safety factors in repackaging--

9 CURRAN: Right. Are there some that trump everything
10 else that you consider? And also one of the issues that's
11 come up here is the degree to which standardization can be
12 done and when is it done. Are there some factors that really
13 get in the way of standardization? It's just a question.

14 DANIEL: Another issue is what factors most inhibit
15 standardization.

16 CURRAN: Yes.

17 DANIEL: Okay. Marvin.

18 RESNIKOFF: Marvin Resnikoff. Jeff Williams pointed out
19 yesterday that there are different heat requirements for
20 these casks between storage and transportation. In other
21 words, he looked at 32-PWR-element casks and had a maximum
22 heat of 34 kilowatts. But in transportation, because there
23 was more similar circulation to cool the fuel, the heat
24 requirement goes down to 20 kilowatts. So those larger casks
25 have to sit on the pad longer than if it were a smaller cask.

1 DANIEL: Okay. How about going back to A-1 in the
2 matrix, what if uncanistered fuel assemblies were transferred
3 to the consolidated storage facility? Would there be a pool
4 that would need to be built there? Is that an issue?

5 HOWARD: Rob Howard, Oak Ridge National Lab. I think
6 the issue that you're getting at is, we need to define the
7 storage system if you're going to move their fuel from the
8 reactor to the consolidated storage facility. And that
9 choice, as Mark Nutt pointed out, of storage system that you
10 use will have implications if you have to repackage at the
11 storage facility.

12 DANIEL: Okay. Robert.

13 SANCHEZ: Robert Sanchez with GAO. I just have a
14 question, because I don't have the answer to it, and I don't
15 know if anyone else does, so I don't even know if it's an
16 issue. And that is, on the standard contract, if the bare
17 fuel that DOE is supposed to pick up at the fence, if there
18 is any sort of requirement that it meets certain thermal or
19 radiation, I guess, requirements so it is transportable.

20 Because it seems to me as if DOE is saying they're
21 not going to take spent fuel from the large canisters already
22 there and that industry is responsible for repackaging. And
23 I don't want to speak for industry, but it kind of seems the
24 obvious that they're just going to take stuff from the pool.
25 And I understand that the pools are restrained enough in

1 terms of the configuration of the assemblies that are in the
2 pool that they're going to pick the hottest, youngest fuel
3 that they can take out of the pool, so giving them some
4 freedom in terms of, again, loading more assemblies in the
5 pool. And that may constrain what DOE is able to move in
6 terms of canisters, I mean, taking something for
7 transportation.

8 If industry is compelled because DOE is not taking
9 spent fuel from the canisters--that is, the older, cooler
10 fuel--and industry is compelled to give the younger, hotter
11 fuel to DOE, I'm not sure that that's going to be a win-win
12 situation, and that may offer some further constraints.

13 I don't know if that's an issue or not, so I don't
14 know what the answer is, if there is anything in the standard
15 contract.

16 DANIEL: All right, thank you. Do we have anyone here
17 from DOE? This is on the same topic?

18 D'ARRIGO: Yes, it's--Diane D'Arrigo, Nuclear
19 Information and Resource. I just needed clarification. When
20 we talk about bare or, whatever, plain fuel from the pool
21 being taken anywhere, obviously it has to be in some kind of
22 container. So I'm just trying to visualize what's meant
23 when--it's been said a couple of times, and obviously bare
24 fuel isn't moved anywhere via container.

25 MOTE: I'll answer that, Adam Levin might choose to add

1 something. When fuel assemblies come out of the core,
2 they're put into the spent fuel--in racks in the spent fuel
3 pool to cool. Those can be put into bolted casks for storage
4 on the site. A bolted cask can go back in the pool, be
5 unbolted; the fuel assemblies can be taken out. Some of
6 those casks can be transported. But until the fuel is put
7 into a different canister, you can pull the fuel assembly out
8 as a fuel assembly unless it's degraded.

9 The utilities have moved to putting those bare fuel
10 assemblies into canisters and sealing them, because
11 potentially that has--it gives them more independence. They
12 can move that around as a unit; and, as we've heard, it's
13 more economical than handling--than storing bare fuel
14 assemblies long-term on a pad. The bare fuel assemblies
15 means that they are in the same form that they came out of
16 the reactor. They can be handled as those fuel assemblies
17 where a sealed container with 30-PWR or 18-PWR assemblies,
18 and that gets handled as a package of that many fuel
19 assemblies. So bare fuel is just a single fuel assembly.

20 D'ARRIGO: In a canister?

21 MOTE: No, in a location in either a rack or a bolted
22 cask for storage.

23 D'ARRIGO: So if it's in a bolted cask, it's also--you
24 can call it bare fuel or whatever you're calling it if it's
25 in a bolted container?

1 MOTE: Yes. It means it's not in a sealed container--
2 excuse me--it's sealed but it's not welded sealed. The
3 canisters we're talking about are very large and they're seal
4 welded so that the fuel--

5 D'ARRIGO: One assembly per--

6 MOTE: No, 32 assemblies, 64 assemblies, depending on--

7 D'ARRIGO: I'm sorry, I've been reading on it, but I
8 don't have all the details. Okay. So you've got a bunch of
9 assemblies, and they're in a container that's not bolted or
10 that's not welded, and that is considered bare fuel.

11 MOTE: Yes.

12 D'ARRIGO: Okay.

13 DANIEL: Go ahead.

14 JONES: This is Jay Jones, Department of Energy, and I'm
15 with the Office of Nuclear Energy. I just want to go back to
16 the standard contract a little bit. I know there are a lot
17 of issues between DOE and the utilities on the acceptance of
18 fuel. And we have an Office of General Counsel, who is
19 actually dealing with the standard contract. So I don't
20 think at this point there are any issues that we can resolve
21 here on a technical basis without input from the General
22 Counsel.

23 DANIEL: Thank you. And, again, we want to stay away
24 from talk about resolving issues. We're not going to do them
25 here. We're trying to identify, identify, identify issues.

1 BERLEPSCH: Thilo Berlepsch from Germany DBE. One
2 question for clarification first. There are CASTOR casks in
3 Germany. They are only bolted. Would that mean that there
4 are bare fuel in them? Really, it's just for understanding.

5 MOTE: Nigel Mote, staff. As far as we term it in this
6 country, yes, it means that you have not put those assemblies
7 into a package which may or may not be considered a disposal
8 package that is seal welded. If it's not seal welded, for
9 this discussion we consider it a fuel assembly to be bare
10 assemblies, because they can be handled as bare assemblies
11 without having to cut open a container.

12 BERLEPSCH: Okay, thank you. Then one comment or one
13 issue concerning the size of the casks. Our experience in
14 Germany is that we can transport these heavy casks even on
15 the streets. The CASTORS are 220 tons. The transport is
16 rather slow. I have to admit that. But you can at least
17 transport it to the next train station. But there other
18 things concerned with the size as well, of course, and this
19 is just a transport on the facility, on the repository site,
20 of course, which is then an issue on how to handle all the
21 different casks. I think it's a big issue for you.

22 So when you're thinking of the receiving site and
23 you are thinking of--I forgot the number--30 different casks,
24 then you have to have the means at the site to really handle
25 all these different casks, and you have to store them,

1 somehow on the site, and this needs quite a lot of
2 requirements on the storage itself to have these very
3 different casks on the site.

4 DANIEL: So the issue being, as far as handling and
5 storage and transporting these, there's a lot of
6 considerations to take into consideration, a lot of
7 implications, for the various sized casks and storage
8 canisters and things like that; correct?

9 BERLEPSH: Especially when you handle them at one site,
10 at the receiving site.

11 DANIEL: Especially when they're handled at one site.

12 CUMMINGS: I guess this is a different issue I wanted to
13 raise. Oh, sorry, yes. Kris Cummings, NEI. One of the other
14 limitations associated with coming from storage to transport,
15 other than the thermal requirements that you have a much
16 higher thermal ability in a cask in storage versus
17 transportation, is the criticality requirements. In storage
18 it's been certified by the NRC, and you don't have to assume
19 pure water ingress into the cask. This is really an issue
20 for the PWR reactors, which have soluble boron in their spent
21 fuel pool.

22 Meanwhile, in transportation you have a specific
23 requirement, and you have to assume that pure water gets into
24 the cask. There have been several studies that have been
25 done both by the NRC and EPRI that have shown that the

1 probability or the risk of such an event happening when you
2 have a transportation accident that's over water, that gets
3 the water in and would cause a chain reaction, is incredibly
4 low; several orders of magnitude below the safety criteria
5 that the NRC has.

6 So one of the issues that I think would be good for
7 the Board to look into is to relook at that issue as to
8 whether it makes sense to have that additional limitation in
9 the transportation side for these varying credible events
10 when the NRC has certified the storage and transportation
11 casks to not leak the helium that's in there. They've
12 certified that. That's not part of the licensing basis.
13 They've basically certified that these casks--the welded
14 ones--I want to make that clear--the welded ones do not get
15 the helium amounts. So if the helium can't get out, how can
16 the water possibly get in on the transportation side?

17 DANIEL: One of the issues you're raising is the
18 difference in criticality requirements between transportation
19 and storage.

20 CUMMINGS: Correct. That's correct.

21 DANIEL: Gene.

22 ROWE: I would like to expound on that a little bit and
23 carry it to disposal, because the disposal requirements are
24 also different than the transportation or storage
25 requirements because of the long-term requirements for

1 storage. So the issue is, in my mind, that the criticality
2 requirements across this chart are different depending on
3 which phase you're in.

4 DANIEL: Good. Thank you, Gene. Jim, do you want to
5 add to this discussion or a new one?

6 WILLIAMS: I want to insert a question at some point.

7 DANIEL: Okay. We're going to hear about your issue,
8 and then we're going to take a break, a ten-minute break. So
9 go ahead.

10 WILLIAMS: Jim Williams. I just wanted to ask a
11 question or raise an issue that I don't think I've heard
12 quite, and it has to do with monitoring what's going on in a
13 sealed canister once the stuff is sealed. And my
14 understanding is that that monitoring capability is very
15 limited. So that introduces an uncertainty about what's
16 happening to that spent fuel over time. That is exaggerated
17 then or has greater implications once you put it into a
18 transportation mode where it's getting shaken around.

19 And so it sort of leads to--and then reading the
20 waste confidence study assumes that dry transfer can happen
21 indefinitely into the future on a hundred-year basis, I don't
22 know that--you know, there's a bunch of things, sort of when
23 do you do what and so forth that sort of gets, to me,
24 introduced by the fact that we really don't know very much in
25 precision about what's the status the fuel once sealed.

1 DANIEL: Okay. So the issue you're raising, Jim, is:
2 How do you monitor the contents of the fuel as it--

3 WILLIAMS: I'm not sure if the question is how to
4 monitor, but rather how to make decisions since we cannot
5 really monitor.

6 DANIEL: Okay. So how do you make decisions on the
7 content when you don't have the ability to monitor it? And
8 this is maybe amplified a little bit by what Dr. Resnikoff
9 raised earlier about high burnup fuel as it's transported and
10 the ductility of it and all.

11 So let's take a ten-minute break. While you're
12 taking a break, be thinking about issues, issues. And we'll
13 see you in ten minutes, folks. Thank you.

14 (Whereupon, the meeting was adjourned for a brief
15 recess.)

16

17 DANIEL: Thank you. Please have a seat. I just want to
18 encourage all of you in our final hour together here for
19 really trying to focus on the technical issues related to
20 repackaging during the facilitation, transportation, and
21 disposal. So, I want to drive this hard.

22 I would ask Gene Rowe from the Board to give us an
23 example using the matrix. So, Gene?

24 ROWE: Yeah. Okay. If you look at the matrix, and this
25 one is applicable to several different evolutions, but if you

1 look at canister load in B-2 and what impact that has on
2 disposal, which is K-11, it's really very similar to D-4 to
3 K-11, or G-7 to K-11, or J-10 to K-11. It was discussed in
4 general this morning, and I think a lot of good points were
5 made. But I think that to boil it down to a simple issue is
6 like--if you want to do any repackaging for disposal, you
7 have to define what the disposal requirements are. And at
8 this point, the disposal requirements are, I'll say, vague,
9 at best. So, the issue is in order to do a repackaging for
10 disposal, the disposal requirements need to be defined. And
11 that's a very simple, I think, issue, and that's the type of
12 thing we're trying to do is boil it down to something simple
13 like that.

14 DANIEL: Before we start, just an administrative item,
15 folks. If you haven't registered, please register when you
16 leave the room, because we want to make sure that we have
17 everybody's organization and contact information. If you
18 speak, we definitely want to have the right spelling of your
19 name and all, so please, if you haven't registered, please do
20 so. Okay? Thank you.

21 Thilo?

22 VON BERLEPSCH: So, Thilo Berlepsch from DBE just
23 directed to this. I would suggest to specify it a bit more.
24 I wouldn't say it's a sequential process. You have to do it
25 at the same time. You have to look at the same time on the

1 development of possible disposal canisters and the
2 repository, because as he already said, they're working
3 together, the two systems.

4 DANIEL: Respond to that, Gene.

5 ROWE: I guess I'll make a comment that I heard from one
6 of the DOE managers at one of our Board meetings--and I may
7 be out of place when I say this, but the comment, which I
8 agree with 100 percent, is you should design your repository
9 for the waste stream, not design the waste stream for the
10 repository. And because we have such a diverse waste stream,
11 to try to take all of the cats and dogs that we have out in
12 the industry and try to standardize that into one frog that
13 can go into a repository, I think that the repository should
14 be designed to accept all of those cats and dogs. Not an
15 easy thing, but I think that should be one of the objectives.

16 DANIEL: So take a look at--I'm sorry; go ahead.

17 What is your name, please?

18 EINZIGER: Bob Einziger, NRC. One thing I haven't seen
19 considered here is intermediate steps. And as an example, we
20 talked about coming out of storage and going to
21 transportation and do we meet the transportation
22 requirements, and then you talk about disposal. But an
23 intermediate step is if you go to the interim storage site
24 again, because you come out of storage and then you have to
25 meet all the transportation requirements in terms of heat and

1 ability of the canister if you're using it for moderator
2 exclusion again, and a fuel loss, so--and then, if you're
3 going to go to an interim storage site, you have the issue of
4 meeting once again all of the requirements of Part 72 with
5 respect to the canister. If you have a canister that's at a
6 site where you have salt, you may have corrosion of that
7 canister. Now you put it in a transportation cask and you
8 have to ask yourself what changes are in that transportation
9 casks to that canister. And then once again when it goes
10 into the storage site, will it meet the storage site
11 requirements? And I haven't seen anybody asking questions of
12 the intermediate conditions. It always seems to be one step
13 to the next, but not one step to the third point.

14 DANIEL: Well, distill it down for us as an issue. So,
15 you're saying there's not recognition of intermediate steps,
16 or--

17 EINZIGER: I'm saying you can't look at just one leg of
18 that chart. You've got to look at the full path and take
19 into account all of the intermediate steps when you decide
20 what conditions a particular system has to meet.

21 DANIEL: Okay. Let's look at the chart. Look at B-2
22 canister loading. What implications does that have on
23 storage at the consolidated storage facility? What issues
24 are associated with that?

25 ROWE: I think that's an excellent point, and I think

1 that the issue is, especially if you're going from an ISFSI
2 at the utility site to transportation from a utility site, I
3 think that that point is a valid point. How do you meet the
4 71 requirements if the cask has been stored for an extended
5 period of time? How do you verify the integrity of the fuel?
6 71 requires that you can't have a reconfiguration of the
7 basket internals for transportation, so how do you verify
8 that? So, the issue is how do you somehow--if you're going
9 from C-3 to E-5, especially after extended storage, how do
10 you verify that you meet the 71 requirements? That's the
11 issue.

12 DANIEL: Okay, so you're talking about going from the
13 intermediate storage facility to transporting it.

14 ROWE: And I think that goes to the next point--is if we
15 then go to a consolidated storage facility for an extended
16 point of time and you want to transport it to a repository,
17 it's the same issue. How do you verify that you meet the 71
18 requirements after extended long-term dry storage?

19 EINZIGER: Well it's even bigger than that. It's after
20 you transport it, how do you meet the interim storage
21 facility's requirements?

22 ROWE: I agree. So, if you're going from E-5 to F-6,
23 how do you know that you meet the 72 requirements? Very good
24 comment.

25 DANIEL: Peter Swift.

1 SWIFT: Peter Swift, Sandia. Going to the last step
2 there, disposal, Gene, you referred to the need to know what
3 the disposal requirements are. And I would suggest an issue
4 is that we don't actually have a regulatory definition of a
5 disposal standard here. It's EPA's responsibility, not the
6 NRC's, to write the governing standard, and EPA--anybody here
7 from EPA? I don't think so. That was something the Blue
8 Ribbon Commission pointed out in their report. We need
9 prompt action to move forward on our disposal standard, and
10 that would help. I mean, generically we know in general what
11 the package, the container is--should isolate and contain the
12 waste in that environment. But are there specific subsystem
13 standards as in Part 60? We just don't know. So, that's an
14 issue, the lack of certainty about the standard.

15 DANIEL: Got that, Lee? All right. Thank you, Peter.

16 Bob?

17 EINZIGER: Bob Einziger, NRC. Earl Easton and myself and
18 a few other people at the NRC at one time in the past worked
19 on a project to harmonize the regulations between storage
20 disposal and transportation, and I think that document is
21 available somewhere. Earl may know a little bit more about
22 it, but that might be useful in trying to look at this issue.

23 DANIEL: All right. Technical issues. Anyone?

24 Judy?

25 TREICHEL: Judy Treichel. I don't know how technical it

1 is, but if you do wind up doing repackaging in every place
2 that it's shown on this chart, is there somebody that
3 guarantees that they know what the package is when it gets to
4 disposal? Because I think that is a requirement that you've
5 got to be able to trace back everything that's in that
6 package that you're going to dispose.

7 DANIEL: So is that like to ask, Judy, if there's an
8 entity that will establish an audit trail to follow the thing
9 through all the processes and steps? Is that what you're
10 saying?

11 TREICHEL: Yeah, and it goes back to the overarching--
12 there should be something that knows what's going on with
13 fuel from its birth to its demise.

14 DANIEL: Okay. So what's the plan for cradle to grave
15 monitoring of those canisters as they go? Alright, Lee?

16 SPEAKER: Or is the question inventory tracking.

17 TREICHEL: That's it as well. Inventory tracking--

18 DANIEL: Inventory tracking?

19 TREICHEL: --as well as a history of--

20 SPEAKER: That's a lot easier than characterizing--

21 DANIEL: I'm sorry. We're going to miss you on the
22 microphone. We got it though. Okay, anyone else? Arjun?

23 MAKHIJANI: Yeah, Arjun Makhijani. I do think it's more
24 than inventory tracking, the point that Judy makes. For
25 example, I was talking to our German colleague, Thilo, at the

1 break, about the Castor cask versus some other casks that we
2 have. As I understand it, in Germany they have the ability
3 to, at least indirectly, monitor the helium pressure inside
4 the Castor cask. But here, once it is sealed, at least in
5 some cask designs--I might be wrong, and certainly open to
6 being corrected--we have information at the time that it's
7 sealed, but after that we don't have any monitoring ability
8 as to whether there have been leaks. So, we store it for 40
9 years or 60 years. We don't even know whether there has been
10 air ingress into the canisters and whether there have been
11 consequent corrosion. And so the ability to monitor the
12 insides of the casks, especially in terms of helium pressure,
13 I would think is a big issue as to whether there should be a
14 requirement. Because in terms of repackaging, when you
15 reopen it, you at least ought to know whether you're opening
16 an intact canister whether you're reopening a canister whose
17 insides have been subject to corrosion potential.

18 ROWE: All right. This is Gene Rowe, Board. Yeah,
19 you've got to separate casks from canisters on that. The
20 Germans use casks, okay? In the United States the casks that
21 contain bare fuel have a double seal with a pressure monitor
22 between the seals to monitor either inflow to the cask or
23 outflow from the cask, so it detects a leak in or out. So,
24 the casks are monitored; the canisters are not.

25 MAKHIJANI: So correct me--are you saying that after the

1 cask is sealed, that there is an ability to get a signal as
2 to the helium pressure? So, after three decades we know
3 whether the helium inside the canister is still at the
4 original pressure?

5 ROWE: Okay. What I said is there's a difference
6 between casks and canisters.

7 MAKHIJANI: Right. I got that.

8 ROWE: The casks are monitored. The canisters are not
9 monitored.

10 MAKHIJANI: So my bottom line then is correct is that
11 after four decades of storage, we don't know whether the
12 helium pressure inside the canister--and, you know, I did mix
13 up the two terms, and that's fine--I know the difference.
14 But we do not know whether the canister is still intact in
15 terms of whether there had been leaks, and whether the helium
16 pressure is still the same, or whether there has been air
17 ingress into it.

18 ROWE: You are correct.

19 DANIEL: All right.

20 MAKHIJANI: Thank you.

21 DANIEL: I think we've talked a little bit--we touched
22 on that just before the break, too, a little bit, so we have
23 that twice in there, which is fine.

24 What about a site where a canister may not meet
25 transportation requirements and they don't have a spent fuel

1 pool or they don't have a utility pool. It's been
2 decommissioned. Is that an issue?

3 Rob? And if it's an issue, where would it be?

4 HOWARD: Rob Howard, Oak Ridge National Lab. Jeff
5 Williams, yesterday in his presentation, pointed out that
6 there are 308 canisters that don't have transportation CFCs.
7 Those are all at facilities that have operating pools. So,
8 all of the stranded sites, or orphan sites, however you want
9 to name it, all of those canister systems are transportable.
10 So, I don't think it's an issue today; it may be an issue
11 tomorrow, but not today.

12 DANIEL: Okay. Nigel?

13 MOTE: Nigel Mote, Staff. I'd like to add a
14 supplementary issue to that one Susan Hoxie-Key and I were
15 about at the break. As Rob said, today there are no packages
16 at the stranded sites that cannot be transported, or should I
17 say they were intended to design for transportation. There
18 may be issues, but certainly that's not ruled out. As time
19 goes by, utilities will find themselves in a position where
20 more reactors shut down, and there will come a time where
21 some of the fuel on stranded sites is in containers that
22 cannot be transported. And so there are some key time points
23 that will come--excuse me. There are some key technical
24 points that will change over time. That issue is what is the
25 time dependence of the relationships that we're looking at?

1 Are there--I'm tempted to say point of no return, but it
2 isn't a point of no return. It's a discontinuity in the
3 issues, because time may overtake flexibility, and that needs
4 to be taken into account in optimizing the system, if that's
5 the right way to put it.

6 DANIEL: Absolutely.

7 Be with you in just a minute, Bob.

8 EINZIGER: Bob Einziger, NRC. I brought this up before
9 but I'll bring it up again, and that is how do you change the
10 gaskets on those sites where you have direct loaded canisters
11 even if it has a transportation license if you don't have a
12 pool?

13 DANIEL: That goes back to what Nigel, I think, was
14 saying. What's the time dependence on--well, the issue
15 stands.

16 Robert?

17 SANCHEZ: Robert Sanchez, GAO. Just, I guess, an
18 observation. Again, looking at it from a non-technical point
19 of view, it seems to me that some of the factors--and I think
20 Nigel said it really well in terms of loss of flexibility
21 over time, but there's another thing that could impact the
22 loss of flexibility, or impact flexibility, I guess, and that
23 is the consent based siting approach and what the states and
24 local communities are willing to accept in terms of storage,
25 packaging, repackaging, that sort of thing, on their sites.

1 And I don't know that any of these issues that are
2 here are insurmountable technical issues. I think that
3 everything I've heard in the work that I've done is that
4 they're--it's a matter of choice. It's a matter of cost;
5 it's a matter of what the stakeholders involved are willing
6 to agree to, not so much a matter--I mean, some of it is
7 going to be driven by some technical issues, but they're not
8 all insurmountable. It's a matter of what the stakeholders
9 are willing to abide by. And the flexibility, I think, is a
10 major issue involved with that. And perhaps over time some
11 of that flexibility will go away as well. I don't see it
12 increasing. But, again, it's the stakeholders and that's
13 maybe the consent based siting approach. Not just the
14 siting, but the whole consent based approach from start to
15 finish on that.

16 One example I was sharing with Peter Swift just
17 earlier was on--we'd done some work earlier to look at if you
18 didn't have a pool at a site, how would you package? And we
19 asked a lot of experts the different options, and we went to
20 them and asked about dry transfer and wet transfer, and it
21 came down to, I guess, to a consensus, more or less, that it
22 was a wash either way, because it was going to cost about the
23 same and take about the same amount of time. You had so many
24 redundancies you had to build into a dry transfer system that
25 it was going to cost about the same amount as a wet transfer

1 system. It came down to just a matter of choice in the end.
2 And I think that's maybe one of the things that could impact
3 the flexibility on this issue. Just an observation on that
4 that I don't think you want to leave out the consent based
5 approach in each of these steps, because that may have as
6 much of a role as the engineering.

7 DANIEL: Good enough. Thank you, Robert.

8 Anyone else? Okay. Let's go back to the matrix.
9 Let's talk about actual loading and repackaging. If you can
10 see there in the consolidated storage facility, what impact
11 might that have on canister loading going back the other way?
12 Any thoughts?

13 Go ahead.

14 CUMMINGS: Kris Cummings, NEI. I'd asked this question
15 yesterday to DOE about the ability of repackaging to be done
16 under Part 72, whether it's at a centralized interim storage
17 facility or at the sites, and there it would be the sites
18 that don't have a Part 50 license. And then NRC, I seem to
19 recall, had a different answer, that it's not as simple as
20 saying a yes or no.

21 So I think one of the issues is it needs to be
22 looked at, and maybe that's more of a regulatory issue than
23 it is for the Nuclear Waste Technical Review Board, is what
24 changes would need to be made to 72? Do we need a new set of
25 regulations for centralized interim storage facility where

1 you would be doing repackaging of fuel assemblies, not
2 necessarily canisters? You can do repackaging of canisters
3 under Part 72, because you're not changing that confinement
4 boundary.

5 So, the issue is do we have the current regulatory
6 requirements and regulatory structure that would allow you,
7 at a centralized interim storage facility, to do repackaging
8 of individual fuel assemblies? Because I can think of issues
9 that--fuel drop and what's the offsite dose, and things like
10 that, and I don't think you'd be able to meet an offsite dose
11 of 25 millirem of a Part 72 facility if you had like a fuel
12 drop. So, I think that's a true issue that needs to be
13 looked at is the regulatory structure.

14 DANIEL: Okay.

15 ROWE: Gene Rowe, Board Staff. I think you can expand
16 that also into the sites that no longer have a facility. So,
17 the regulatory issues of does the regulatory framework exist
18 to allow repackaging at a site that is not under 10-CFR-50?

19 DANIEL: Bob?

20 EINZIGER: Yeah, you have here container loading and
21 packaging under consolidated storage G. Is that container
22 loading and repackaging as it comes out of transport into
23 storage, or is it out of storage into transport, because they
24 could be different requirements. I think maybe it would be
25 different approaches.

1 DANIEL: Both. It's really both, and that's an issue
2 right there, that there would be different requirements as to
3 whether it's coming in or going out.

4 Am I right, Gene?

5 ROWE: I don't think that--excuse me. I'm not sure--
6 Gene Rowe, Board Staff. I don't think that the requirements,
7 whether you do it as soon as the canister arrives or just
8 before the canister leaves, I think it's still does the
9 regulatory framework exist. I think technically there's
10 issues. There's no question technically there's issues. But
11 for a regulatory point of view, I think that it's no
12 difference.

13 EINZIGER: When you go into storage, you have to make
14 sure that you maintain continued--let's say you come out of
15 transportation and you have a canister that isn't meeting the
16 storage requirements. You may have to change the canister.
17 When you come out of the storage from the consolidated
18 system, the container, the canister, may be bad, but it's not
19 required for transportation, so you may not have to change
20 it. So, there are different things that you have to consider
21 in the two ends.

22 MOTE: A supplementary technical issue in the same area.
23 The issue is to what extent does a decision of repackaging on
24 receipt--on dispatch affect the design of the spent fuel
25 storage facility? And in terms of design, if you repackage

1 on receipt, you can have a standardized facility where every
2 container is the same. If you repackage as you dispatch from
3 the site, you would have to have multiple storage container
4 types on that site, and there may be implications of that for
5 (inaudible) facilities and so on. So, the issue is: to what
6 extent does that decision of repackage on receipt or
7 repackage on dispatch influence the facility design.

8 HOWARD: Rob Howard, Oak Ridge National Lab. I'm not
9 sure if you're assuming a process that may not be there where
10 there's another alternative, and that's storage then
11 packaging and then storage at the interim storage facility.
12 So you could bring in bare fuel in a canister, put it in a
13 pool, leave it in a pool for decades, and then package, put
14 it on a pad. Leave it on the pad for decades and then move
15 it.

16 DANIEL: Pass it right back behind you, Rob.

17 NUTT: Mark Nutt, Argonne National Lab. For the DOE
18 program, we did a report that looked at--it was a fiscal year
19 12 report that look at all this. And the design of the
20 facility will depend on what the strategy is to shipping the
21 fuel to it and when it starts. Everything could be put in
22 canisters at the reactors and shipped to the facility and
23 everything looks like a big PFS. Could be a decision to take
24 bare fuel, and there's a variety of different options, as Rob
25 just indicated, for what that facility might look like. And

1 the answer is, we don't know, and it depends on a lot of
2 decisions. And a lot of analysis should be done down the
3 road to determine what that thing might look like. But,
4 yeah, there's huge decisions on what happens up front, what
5 happens at the end. Do you handle fuel coming in the door,
6 do you repackage when it goes out, and I think the answer is
7 you just don't know.

8 D'ARRIGO: Diane D'Arrigo, Nuclear Information Resource
9 Service. This may not be the right time to ask this, but
10 when do we get to talk about a scenario where if--and this
11 was mentioned earlier--we need to have the definitions for
12 the disposal criteria and, in reality, that's not coming
13 today. And yet the fuels need to do something with it right
14 away and centralized storage is not today. So for the fuel
15 that's at the sites, and maybe--I guess the scenario I think
16 needs to be discussed but it doesn't fit into either of these
17 workshops, is storing it at the site without the consolidated
18 storage.

19 NRC, in its response to the court decision, has to
20 look at indefinite recontainerization. So, there's going to
21 be repackaging they say every 100 years anyway. So, at some
22 point I think we need to look at what the criteria are for
23 continued recontainerization at the utility site with the
24 option of going straight to disposal without bothering with
25 an interim step and reducing the amount of transport. It's

1 sort of obvious to me that that's an option, but I haven't
2 really heard that given any credibility here, so I'm putting
3 it out as a technical option.

4 And then raising the concern that--well, that's it.

5 DANIEL: Okay. Thank you, Diane.

6 MOTE: Nigel Mote, Staff. That was a question. Let me
7 see if I can capture that as an issue. I think the issue is:
8 what happens at each stage if the subsequent stage is delayed
9 indefinitely. Is that a--

10 D'ARRIGO: Part of it. That's the larger question, and
11 then as far as technical concerns that people in the public
12 have, if we've got major transportation schemes going on
13 between different consolidated--and between utilities and
14 consolidated sites, who's looking at the technical option of
15 keeping it there and recontainerizing it there as needed, and
16 maybe it won't need to be recontainerized as often because we
17 don't have criteria for disposal yet. So, it just seems,
18 from a public perspective, people do believe that there is a
19 concern with the safety of transport, although that's been
20 dismissed by many, that there is a significant portion of the
21 population that's concerned about those technical issues.
22 So, in order to minimize that--to look at the options for how
23 to store it more securely at the site, at the onsite ISFSI.

24 MOTE: Mote, Staff. I'm not sure I'm seeing a
25 distinction between taking account of indefinite delay at

1 each point and what you said--I'm not trying to--

2 D'ARRIGO: Okay. Well, you're assuming that there could
3 be indefinite delay for consolidated storage and indefinite
4 delay for disposal. So I guess it's not a big difference,
5 but I wanted to at some point talk--if you're going to keep
6 it where it is and minimize transport dangers, does that fit
7 into the scenario. And then we need to discuss what's the
8 safest way to store it indefinitely where it is until there
9 is disposal and disposal criteria.

10 MOTE: So it's how do we make provision for management
11 in the event of long-term interruption to the program.

12 D'ARRIGO: Yeah.

13 MOTE: The management meaning leave it here or
14 repackaging or whatever.

15 D'ARRIGO: Well, what the court was saying, 60, 160, and
16 indefinite.

17 MOTE: Okay, but in terms of trying to distill it down
18 to an issue, it is--take account of the potential for an
19 interruption, potentially long term, and what do you have to
20 do to provide for safe management in the event that happens?

21 Is that capturing it?

22 D'ARRIGO: In the absence of transport.

23 MOTE: Okay. I meant not to be implicit. I mean, if
24 it's at the reactor site or an interim storage site, then it
25 can't go any further for a prolonged period, then there may

1 be a need to do subsequent handling operations, repackaging.

2 D'ARRIGO: Okay. Well, I wanted to make sure that it
3 discussed the onsite options as well as--well, definitely
4 discuss that, because there's a basic assumption that there
5 will be consolidated storage, and I'm saying there's a
6 question about that. So let's face the reality that we could
7 have long-term onsite storage.

8 MOTE: Okay. Lee, can you nod if you have that?

9 PEDDICORD: Well, that was a pretty disjointed
10 conversation.

11 D'ARRIGO: Okay. Use this--and I'll try and distill it
12 into a sentence. Look at the technical requirements and
13 implications of indefinite onsite storage in the absence of
14 transporting, the absence of consolidated storage and
15 disposal. So look at--is that too long? Look at onsite
16 storage. Look at the technical options--

17 PEDDICORD: Look at the technical requirement for
18 indefinite long-term--

19 D'ARRIGO: Onsite storage at utility sites.

20 DANIEL: Thanks.

21 EINZIGER: Bob Einziger with NRC. We don't license for
22 indefinite storage; we license for 40-year terms. So, the
23 question really that you should be asking yourself, what
24 happens if a utility comes up for a relicense and you can't
25 make the safety case for relicense. What do you do?

1 DANIEL: Are you good on that, Lee? All right. Lee,
2 you've got a tough job. I'm glad I'm here and not there.

3 What about criticality and thermal requirements? Are
4 they the same for storage and transportation? Is that an
5 issue?

6 EINZIGER: There's an easy answer. They are the same.
7 You can't be critical.

8 DANIEL: Okay. How about thermal or hot? So, they're
9 basically the same whether--

10 SPEAKER: No.

11 DANIEL: Peter?

12 SWIFT: Peter Swift, Sandia National Laboratories.

13 Bob, could you clarify you were not speaking for
14 the NRC there?

15 EINZIGER: I'm never speaking for the NRC.

16 SWIFT: Again, this--in disposal, which you didn't have
17 on your list. You had transportation and storage for
18 criticality and thermal issues. In disposal, there are
19 uncertainties associated with the lack of a final regulation
20 there again. And that is one of the places where because you
21 would seal a canister before it went underground, and if we
22 would have to seal them now, we would have to pick whatever
23 criticality controls we chose now to work in a broad variety
24 of potential geologic environments. So, that's the issue I
25 was getting at there.

1 DANIEL: Okay. Got that, Lee?

2 Earl?

3 EASTON: Oh. My name is Earl Easton, private citizen.
4 You know the transportation regulations were written in a
5 time where we didn't think casks would sit around for 20
6 years, da-da-da-da-da, and all the criteria was based on
7 shipping pretty near term. Storage was written at a time
8 where, well, Yucca Mountain was going to open 20 years from
9 now, 40 years, and so we have a 20-year period, 40. Maybe
10 it's just time to look at that again, the whole regulatory
11 framework, because all the underlying assumptions have
12 changed.

13 When Bob brings up that you've got to check the
14 seals on these casks, well, it is true in a transportation
15 cask we routinely have them change seals or check seals every
16 year. But does that make sense in something sitting around
17 for 20 years? And, you know, containment was based on
18 somebody being in the warehouse with packages for a long
19 period of time. That's what the leak rate was based on.
20 Does that make sense for a spent fuel cask? Does the surface
21 contamination, which was based on shipping radioactive
22 material with food stuffs, and was set very low, make sense
23 for spent fuel, which is never sent by Fed Ex that I know of.

24 So, maybe it's time to actually go back and look at
25 the underpinnings of all the regulations to see which make

1 sense, which don't make sense. Because what may have been a
2 safety case years ago for one particular circumstance or
3 regulations one size fit all, may not be the optimal way to
4 do things now. So, two types of issues: Technical and
5 regulatory.

6 DANIEL: All right. So, you get on that one, Lee? All
7 right.

8 Thank you, Earl.

9 Rod, and then Diane. Diane. We'll take Diane.

10 CURRAN: This is Diane Curran. I have a follow up to
11 Earl's issue, and this is a concern. I am here in part
12 representing Eureka County, Nevada, which could be a host
13 site for transportation of casks to Yucca Mountain. And one
14 of the concerns that comes up in my mind, sitting here, is
15 you're talking about the cats and dogs, are we going to be
16 transporting cats and dogs, lots of real variety of casks,
17 and is there a real variety of issues such that Eureka County
18 would have trouble planning for emergency response because
19 there's such an array of risk coming down the road? That's a
20 question I just have no answer to, but sounds like it could
21 be an issue.

22 DANIEL: So, let's put that in the flavor of an issue.
23 Local government planning--and I don't want to put words in
24 your mouth--but local government planning is difficult due to
25 not understanding the nature of the technical designs of

1 casks and storage transportation?

2 CURRAN: Well, you kind of got at it, but it's more that
3 it was many, many different kinds of transportation
4 containers, or the contents vary a lot such that the risks, I
5 would assume, would vary in terms of what kind of an accident
6 you might have, because the contents are variable. That's
7 the issue that I'm concerned about. It's not so much the
8 communication, it's more the nature of the problem is very
9 variable and therefore difficult to anticipate.

10 DANIEL: Okay. All right. Thank you, Diane.

11 Arjun:

12 MAKHIJANI: Arjun Makhijani. A couple of issues there.
13 You know, we talked about the relationship of the regulations
14 for a repository to repackaging and storage and all the
15 early-on decisions. I think there are actually two sets of
16 regulations we should think about. One is the EPA
17 regulations that the BRC recommended be done early and before
18 site selection and so on, and I agree with that, actually.
19 The other is the NRC regulations, which go into the
20 performance of the canisters and so on. And so that latter
21 one is actually very directly related to the nature of the
22 site. The first one is not related to the nature of the
23 site. It's simply what kind of maximum dose limits are we
24 going to set. And I guess if it's like 10 CFR 191, are they
25 going to be emission limits? Which, I think, actually, gets

1 into the NRC realm as to what kind of canisters they should
2 be and so on. So, I think the NRC--the absence of NRC
3 regulations in regard to the nature of the system and the
4 interaction between the pieces is actually more critical--and
5 I raise that as an issue--more critical to the kind of
6 problems that we're talking about. Assuming that EPA
7 regulations will be reasonably protective of health, and we
8 might all interpret that in our own way. So, that's kind of
9 one issue I wanted to raise.

10 And I have a question issue if I might.

11 DANIEL: Yes.

12 MAKHIJANI: In 2001 there was a petition filed by people
13 near Prairie Island that the NRC did not know how to transfer
14 damaged fuel from one container to another. And the NRC's
15 response was you're right, we don't know now, but we'll know
16 that the fuel is damaged when we get it out, and we'll
17 quickly put it back in--that is a paraphrase--and then we'll
18 figure out what to do.

19 I think this is a huge issue that the NRC actually
20 has punted the issue of failed fuel and its management,
21 especially much more important now than it was in 2001,
22 because now the repository program has fallen apart. So, I
23 think the problem of failed fuel management is an absolutely
24 huge issue, especially for repackaging. I raised this
25 yesterday.

1 DANIEL: Okay.

2 MAKHIJANI: And I think it should be considered, and the
3 NWTRB maybe ought to write a letter to the NRC to get its
4 house in order so it can be considered properly.

5 DANIEL: Thank you, Arjun.

6 MAKHIJANI: Thank you.

7 DANIEL: Bob?

8 EINZIGER: For once--in a very few times--I'm going to
9 agree with Earl. The issue they're looking at, the
10 requirements in '71 and '72 are continually going on, and NRC
11 has a license improvement program going on right now looking
12 at what changes, if any, should be made to the current
13 regulations to homogenize them and improve them. And in the
14 extended storage program, later down the line there is a task
15 to look at how these regulations might have to be changed to
16 look at long-term storage. So, that is an already ongoing
17 program. I don't know about homogenizing with the
18 repository, because we don't know what to homogenize with.

19 DANIEL: Technical issues. We're coming down to the
20 final 15 minutes, folks, so let's go back to the matrix.
21 We've heard about sites that are going to possibly be orphans
22 at a certain time. What about between the intermediate
23 storage facility and transportation? What issues having to
24 do with repackaging exist that we know of?

25 Rob?

1 HOWARD: Rob Howard, Oak Ridge National Lab. One issue
2 there would be, are there changes in the material that are
3 caused from going from storage to repackaging to the
4 methodology of repackaging if you get it wet again or you do
5 it dry? Does it matter for how that material will perform
6 when it's transported again.

7 DANIEL: Okay. Does that--I'm going back to the Rob
8 from NRC. Does that start to go into some those intermediate
9 steps that you were talking about? Was it you that talked
10 about intermediate steps between?

11 EINZIGER: All the guidance--

12 DANIEL: And that this is Bob Lyons (sic) from the NRC.

13 EINZIGER: Yoohoo. All the guidance that we have given
14 so far has been based on the fuel not going back into the
15 pool. The only thing we do right now with respect to the
16 pool is going back into the pools to make sure that there's
17 not sufficient thermal strain that's going to fail the fuel.
18 But whether it will change the properties if you're going to
19 rewet it again is a subject that needs to be considered. As
20 you go through another drying cycle, how is it going to
21 affect, especially for high burnup fuel, the reorientation or
22 the ductility or things like that. So, yes, it's an issue
23 that would have to be considered.

24 DANIEL: Okay. Anyone else?

25 ROWE: Rick, can I consolidate that down a little

1 simpler?

2 DANIEL: Yes. Do it.

3 ROWE: Gene Rowe, Board staff. What issues associated
4 with rewetting the fuel? How does rewetting the fuel going
5 from dry storage to a fuel pool impact the integrity of the
6 fuel assembly?

7 DANIEL: And does it make any difference if it's high
8 burnup fuel?

9 ROWE: Yeah, you've got to look at all the fuel. Just
10 going from a dry environment to a wet environment, and as Bob
11 indicated also, then going--if you're going back into dry
12 storage, you have to go through another drying process, and
13 what impact does that second drying process have on the fuel
14 integrity.

15 DANIEL: How about are there any byproducts in
16 repackaging that we're going to have to deal with? When we
17 talk about repackaging, does it create a lot of low-level
18 waste or products that we're going to have to deal with?
19 Anyone have any insight on that? Thoughts?

20 Sven?

21 BADER: Sven Bader, AREVA. Well, the obvious thing is
22 that you have these canisters that just--and all the
23 internals of that, which we'll have to figure out what to do.
24 We did a study on reuse, repurpose, or recycle. I'm looking
25 back to see if Pat Schwab's here. But we did a report on

1 this, and that's the largest quantity of waste you're going
2 to have from this activity. And the rest of it depends on
3 whether you're going to do dry transfer or wet transfer.

4 For dry transfer, our experience at La Hague is
5 that we get far less low-level waste associated with dry
6 transfer activities than associated with the wet transfer
7 activities. But then again the wet transfer activities are a
8 fallback position in case you have failed fuel or damaged
9 fuel.

10 DANIEL: Okay.

11 SPEAKER: What was it? Transfer at La Hague you saw far
12 less?

13 BADER: Far less low-level waste associated with dry
14 transfer. It's about a factor of four, I believe.

15 ROWE: Okay. I'd like to expand on that one a bit also.
16 The Yucca Mountain project, when we were talking about
17 emptying the canisters, an issue came up as to are the
18 canisters really considered low-level waste? If you have a
19 canister with a failed element in there, you could have
20 isotopes that are contained in that canister that will
21 preclude it from being disposed of as low-level waste. And
22 to identify those isotopes is not easy. To clean those
23 isotopes is not easy. So, I think the issue is how do you
24 confirm that the empty canisters are considered low-level
25 waste.

1 DANIEL: Good. Thank you, Gene.

2 Gary?

3 LANTHRUM: Gary Lanthrum, NAC. A minor side issue is
4 that each--or most--of these sites that have waste in
5 storage, particularly shutdown sites, or exclusively the
6 shutdowns, also have GTCC waste in these same types of
7 canisters. And to some extent, the GTCC waste needs a
8 disposal pathway that is not fully developed or identified.
9 So, some of the same issues that we're discussing for spent
10 fuel may also exist for the GTCC waste and needs to be
11 addressed accordingly.

12 DANIEL: Thank you, Gary.

13 Arjun?

14 MAKHIJANI: I have a follow-up for Mr. Bader. Did I get
15 your name right? Arjun Makhijani. At La Hague do you
16 necessarily transfer spent failed fuel in pools, and why
17 would that be? Because we would need to presumably have
18 spent fuel pool infrastructure, because there are failed fuel
19 elements here that we know.

20 BADER: Sven Bader from AREVA again. Yes, failed fuel
21 is transferred only in the pools, and it's basically to
22 minimize any kind of doses to the operators from releases.

23 EINZIGER: Bob Einziger from the NRC. I just want to
24 make a clarification between the French practice and the U.S.
25 practice. In the U.S., we allow fuel rods with pinholes and

1 tight cracks, which are failed fuel, to be handled as part of
2 the normal population. So, they're not putting damaged fuel
3 cans, and they can be in a cask. While in France, that's not
4 the case. They get put into isolated--depending on what
5 country I don't know what they call them, canisters or cans
6 or whatnot--so there is a difference between the two, because
7 we do have failed fuel that's in the general population that
8 we just handle like any other fuel.

9 DANIEL: Okay. Thanks.

10 Robert?

11 SANCHEZ: This is Robert Sanchez with GAO. Just another
12 quick question. This is probably more for the vendors and
13 the utilities, but on the chart, the canister loading is in
14 one cell, but I kind of wonder how that will be impacted by
15 the large number of expected retirements coming up in the
16 year 2040 or thereabouts. The next 10 years will be a fairly
17 large number of retirements, and I expect that the spent fuel
18 pools will be full at that point. I don't think the
19 utilities are going to unload them unless they have to, and
20 at that point you're going to have a very large number of
21 assemblies that will be in a large number of pools, and a
22 large number of reactors that are retiring all at the same
23 time. And will the vendors and utilities--I know, that kind
24 of work to unload a pool is fairly labor intensive and very--
25 it can cause a lot of specialties, whether they'll have the

1 provisions to do that and the vendors will be able to supply,
2 I guess, the canisters on the numbers required during that
3 time. I don't know if there's any technical issues, but it
4 certainly may create some other headaches.

5 DANIEL: Okay.

6 LOWITZ: Tony Lowitz (phonetic) with CB&I. The trend is
7 to offload all of that fuel out of the pools into dry storage
8 as soon as possible, because of a variety of reasons such as
9 having to maintain the spent fuel pool island of security,
10 all the systems that are required to keep that going. And so
11 to get it into safe store position, we like to move it to dry
12 fuel.

13 DANIEL: Thank you. Anyone else, technical issues?

14 There's got to be more, folks.

15 Nigel, did you have anything?

16 MOTE: Nigel Mote, staff. One of the issues that came
17 up this morning from Rod is that the disposal cell has in it
18 a multitude of aspects: Feasibility, long-term degradation,
19 performance underground. I would just like to raise that
20 issue and see if there are issues that come out of thinking
21 not about disposal as emplacement, but about disposal as
22 emplacement followed by a hundred thousand years, a million
23 years. And the sort of thing that comes to my mind is to
24 what extent is the choice of location of repackaging have an
25 impact on those issues? And it's not so much the location,

1 but the implication of the location is a timing.

2 If you repackage at the utility site, and then you
3 have 100 years of storage, and then you put the package
4 underground, the fuel and the package have been stored for
5 100 years in that configuration. If you repackage at the
6 repository site, then it is much later in the chain of
7 events, much later in operational sequence, much later in
8 time scale. To what extent does the need to meet the
9 repository performance requirements that we don't have--not
10 raising that provocatively, but recognize that we don't have,
11 so let's try to be foresighted. If we have to have
12 retrievability over a timeframe that currently is not part of
13 the thinking, as it happens in smaller countries, then how
14 does that play back into determining when you repackage?

15 And Judy made the point before of do you repackage
16 more than once, and I think many of us would have defaulted
17 to, well, no, of course you don't, but it's a real issue. If
18 you need to retrieve on a prolonged time scale after
19 emplacement and you did have to repackage up front to move
20 the stuff away from the site, because right now it's in a
21 container that doesn't meet transportation requirements, that
22 necessarily means you do repackage twice for different
23 reasons, and I think that issue needs to be taken into
24 account. It is the time dependence of repackaging on how you
25 meet disposal requirements. Or maybe it's the other way

1 around, it's (inaudible) the disposal requirements played
2 back into the decision making of the location of repackaging.

3 SWIFT: Can I ask a question?

4 DANIEL: Sure.

5 SWIFT: Peter Swift, Sandia. Nigel, is the issue you're
6 getting at there that perhaps not just the timing but the
7 amount of handling of the fuel will affect its long-term
8 performance, it's performance over a hundred thousand years?

9 MOTE: Amongst all of that. There is one issue there,
10 which is timing, but there's a lot of sub-issues, which is
11 how does that play into the requirement for handling safety
12 casks, low-level waste at generation, all of those issues.

13 SWIFT: Peter Swift, Sandia National Labs. I'm trying
14 to reframe as an issue. Is the issue that we should be
15 considering now, at the beginning of a storage process, the
16 impacts of the choices we make now on long-term performance
17 of the waste form, the fuel itself?

18 MOTE: I'm sorry, would you say that again?

19 SWIFT: I'm trying not to offer a solution. I'm trying
20 to raise an issue, and I think the issue you're raising is
21 that what we do now, the choices we make now with respect to
22 storage in particular, but handling choices, packaging and
23 handling choices in the next, say, 50 years, could result in
24 different conditions of the fuel as it enters its permanent
25 disposal phase later. And so we could, in some way, be

1 protecting the fuel now so it will work better in the far
2 future. And if that is indeed the issue, then the second,
3 the correlated issue, and one I'm trying not to raise the
4 solution for, is to what extent do different disposal
5 concepts actually rely on the long-term performance of the
6 fuel form. And the answer, which you're not supposed to
7 give, is that some do and some don't.

8 MOTE: We'll ignore the last sentence and say, yeah,
9 that's the issue.

10 DANIEL: Lee, do you have a decent facsimile of that
11 issue?

12 PEDDICORD: Say it again, Peter.

13 DANIEL: I'm glad he asked him and not me.

14 SWIFT: Peter Swift, Sandia. The issue, I believe, is
15 to the extent to which we should be considering how the
16 choices we make now about storage and packaging, how those
17 choices may affect the performance of a waste form, which
18 basically is the fuel assembly, over hundreds of thousands of
19 years after disposal.

20 And then the part I said at the end was that a
21 corollary issue is to what extent do different disposal
22 concepts actually rely on the long-term performance of the
23 fuel form. Is it something that is important? And the
24 answer to that is in some cases in some concepts it does
25 matter, and in some it doesn't.

1 DANIEL: Nigel.

2 MOTE: Staff. Yes, that captures that point. In terms
3 of looking at how cells later in the matrix play back to the
4 beginning, not correlate, but an extension or an inversion of
5 that is to what extent should the decision-making operations
6 on the surface respond to the need for ensuring long-term
7 performance underground in accordance with regulatory
8 requirements.

9 And the way that might play out is it might affect
10 the choice of where you repackage, because the longer you
11 leave it to repackage, the more you're going to know about
12 the requirements for the disposal, the operation and the
13 regulations for disposal.

14 DANIEL: Gary?

15 LANTHRUM: One more temporal issue is that as plants
16 shut down, the infrastructure supporting those plants
17 typically degrades and goes away and that becomes
18 particularly important for transportation. And to the extent
19 that plants are loading into large transportation systems, it
20 doesn't preclude your ability to transport those casks later
21 on or canisters later on, but if your rail infrastructure
22 goes away, it certainly complicates it by having to do an
23 intermodal system in between. And so there's a timing issue
24 of when you make those shipments and maximize the use of the
25 best transportation system to minimize impacts to the local

1 communities when you're making the shipments.

2 DANIEL: Thank you. Can we talk at all about
3 retrievability once in disposal issues associated with that?
4 Implications of repackaging and retrievability once it's in
5 disposal?

6 Peter, you need a microphone.

7 SWIFT: Yeah. Peter Swift, Sandia National
8 Laboratories. So, the first, as a point of clarification,
9 retrievability in the storage and transportation world means
10 something quite different than it does in the disposal world.
11 Retrievability in storage and transportation means more or
12 less the ability to get the fuel assembly intact back out of
13 the container that you put it in. In a repository,
14 retrievability means the ability to bring the waste material
15 back up to the land surface. And this is where we get into
16 legal and regulatory uncertainties. What will a future
17 regulation actually require with respect to retrievability?

18 The current regulations--the NRC regulations and
19 Nuclear Waste Policy Act required that the waste be
20 retrievable during the operations of a repository. They were
21 silent on what happened after the repository was sealed,
22 which is, I think, what your question was getting to. The
23 EPA, in Part 191, created a requirement that it be possible
24 but not easy to remove most of the waste for a reasonable
25 period after the repository was sealed. But EPA's Part 191

1 may or may not be the governing regulation. So, I didn't
2 answer your question at all, but the issue is we have a
3 fundamentally--not a technical issue, but a societal choice
4 and a regulatory choice about what type of retrievability
5 standard do we want to have.

6 DANIEL: Okay. Thank you. Judy?

7 TREICHEL: Judy Treichel. In line with that, you may
8 not want to be able to retrieve, or you may not want to plan
9 to retrieve, because you're screwing with the isolation
10 capability.

11 SWIFT: Peter Swift. That is something that the--the
12 European community has debated these points for a very long
13 time. And, indeed the NEA wrote a report on that where they
14 concluded exactly that point, that retrievability should not
15 be achieved--long-term retrievability should not be achieved
16 at the expense of isolation. Good point.

17 DANIEL: Thilo, do you have any thoughts on that, what
18 you do in Germany?

19 VON BERLEPSCH: Thilo Berlepsch from DBE. Well, the
20 current situation, at least in Germany, is that we are
21 required to plan for retrievability during operation and then
22 for another 500 years. We have to show that it is possible
23 to get back the waste somehow. But, still, I think the point
24 was made every plan to get the waste back somehow is on the
25 cost of isolation of the facility down under the earth.

1 DANIEL: Okay. All right. Thank you.

2 Any additional issues? You guys aren't hungry, are
3 you?

4 It's 12:02, I believe, and I appreciate your
5 participation and your patience. Wanted to just reiterate
6 something that both Rod Ewing and Nigel Mote mentioned
7 earlier, and that is that the window remains open to all
8 issues. If you go home at night and you're talking to your
9 spouse and something comes up, there's means of responding.
10 There's the website, there are cards, and I know these guys
11 will give you their personal cellphone numbers as well if you
12 want. So, thank you all very much, and we'll see you again.

13 (Whereupon, Session 1 was recessed for lunch.)

14

15 **Session 2: Facilitated open discussion on the implications of**
16 **direct disposal of large dry-storage canisters.**

17

18 LESLIE: Good morning. And thank you for joining the
19 smaller but better discussion group this morning. My name is
20 Bret Leslie, and I'm going to be your facilitator this
21 morning. I am a Board staff member, but my hat today is not
22 as a Board staff member. My job is to ensure that everyone's
23 comments are heard and recorded. And as Nigel and Rod said,
24 there's a lot of things that can be discussed, but we're
25 really trying to focus on identification of issue and

1 capturing those, and we're going to capture them in a bunch
2 of different ways.

3 One, the meeting is being transcribed, so kind of
4 the rules go, when you have a question, you can raise your
5 hand or show a card. When you get the mic, identify yourself
6 for the record, name and affiliation. That would be great.

7 I have two rapporteurs up here, Board members,
8 Gerry Frankel and Sue Clark, and they're going to be
9 listening and trying to capture things, because in the
10 afternoon they have to present what they've heard from you
11 all back to the entire group. So to the extent that we can
12 outshine the other group, it's really important to be crisp.

13 So, anyway, I want the disposal group to go strong
14 today. So if they don't understand something as you--let's
15 say, Tito, you raise an issue and you're trying to describe
16 it, if they don't understand it, they're going to get my
17 attention, and I'll probably say, "Well, can you re-explain
18 it?" or "Gerry, can you ask a question so that you better
19 understand it?" The idea is to really understand what the
20 issue is and how it's phrased. Again, it's not about
21 resolving the issues.

22 Scheduled to end at noon. If we're all dying at
23 10:30, we might take a short break; but I also have chocolate
24 in my backpack to make sure you don't fall asleep. So if--up
25 here, not in the back, not yet.

1 So you heard Nigel kind of lay things out. The
2 material flows and the interaction matrices are over there.
3 These are tools for us to allow to try to capture these
4 issues. It's not to say that if you raise an issue and it
5 doesn't fit in the framework it's going to be neglected as a
6 facilitator, and they're going to be trying to capture the
7 other issues, too. So if you see me walking around looking
8 and writing things, I'm trying to make sure that between the
9 transcript, the rapporteurs, and myself that we're trying to
10 capture everything.

11 And the way we set up both of these was two five-
12 minute presentations in the beginning, one from kind of an
13 industry perspective, and we have Andrew Sowder, who will
14 present five minutes. And I have asked him and Beatrice
15 Brailsford in the back from the Snake River Alliance to kind
16 of provide some input at the beginning to kind of get the
17 juices flowing, and I'm trying to encourage them to be crisp
18 in terms of identifying the issues. They'll be presenting
19 some information just as a way of background. Beatrice is
20 going to be talking about--not commercial--but she'll
21 probably be talking about DOE spent nuclear fuel.

22 So some of the things--kind of one of the other
23 things is, think about all of the things you heard yesterday.
24 There were things in Pete Lyons' talk that went into my head
25 that could be asked to clarify things. For instance, is a

1 commingled repository important when we try to decide what
2 are the disposal requirements?

3 So I'll be asking--when I see people flagging and
4 lacking of issues, I'm going to be trying to pull out some
5 things, and I might be--you know, if you've identified
6 yourself, I'm going to try to remember your name and maybe
7 ask you, well, Andrew or Jean--so, anyway, that's kind of my
8 role. My role is not to tell you what the issues are, but to
9 encourage you to provide them to us so that we can hear them.

10 Any questions at this point? The only other thing
11 I would say that the emergency exit is the same way you came
12 in and straight out to the street and across the street.

13 So, with that, I think I'll turn it over to Andrew
14 for the first presentation.

15 SOWDER: All right, it's dangerous to hand EPRI the mic
16 and then say speak for five minutes. So I'll do my best.

17 Okay, I'm Andrew Sowder, and I'm here actually to
18 kind of give, as I understand it, a perspective from the
19 utility point of view, which, as the Chairman--as Rod
20 mentioned yesterday, this tends to be a little bit shorter
21 than the 100,000-year mark; and so I have my little catchy
22 title here. But, again, the main point here is not so much
23 to come up with solutions or make recommendation, but mainly
24 to point out things not to forget when we're having our
25 discussions.

1 So just by way of background, I call this the cats
2 and dogs story. And I heard it mentioned yesterday about
3 basically I think everyone agrees that the system we have
4 today is not optimized, far from it. I even call it--people
5 say we are operating on a once-through cycle. I say each
6 individual plant site is operating on its own fuel cycle,
7 given that we've basically relegated fuel cycle decision
8 making to utilities on a plant-site-by-plant-site basis.

9 So I think this slide here or this image here is
10 pretty telling. Basically, it's showing the accumulation of
11 fuel assemblies in dry storage by year, starting here with
12 Virginia, Surry--now Dominion's--kind of lead canister or
13 cask experiment, you might say, all the way to today.
14 Another one that I wanted to put in here--but, again, limited
15 to five minutes--I don't have that much time. But,
16 basically, for every fuel assembly that comes out of the
17 spent fuel pool or goes into the spent fuel pool during
18 refueling, one now has to go into dry storage. That's where
19 we are today in the U.S. industry by and large. There may be
20 a few plants left that have room in their pools, but pretty
21 much we're on a steady-state basis, and it's not a good
22 steady-state.

23 So, again, when you're thinking about options and
24 that sort of thing, ten years ago we might have had--
25 utilities might have even had a lot more room to think ten

1 years from now, twenty years from now, but today they're
2 really facing on an outage-doubtgage basis.

3 ZOBACK: Excuse me.

4 SOWDER: Yeah?

5 ZOBACK: Vertical scale on these drawings?

6 SOWDER: Well, I'll just clarify. Vertical scale is--

7 LESLIE: That was Mary Lou. Let me reask: What's the
8 vertical scale... Let me correct the record. It's Mary Lou
9 Zoback. Anyway, Andrew, can you answer Mary Lou's question?

10 And just a reminder, everything needs to be mic'd.
11 I have Devonya here, too, so if you've got a question, just
12 raise your hand.

13 SOWDER: Yeah. So the actual scale here is the number
14 of independent spent fuel storage installations here. And,
15 meanwhile, we've called out basically two different points in
16 time, you know, how that picture has changed just since 2004
17 to 2012, you know, essentially almost a doubling of both
18 ISFSIs as well as assemblies in dry storage.

19 Another thing here, though, is, again, when people
20 think of ISFSIs and dry storage, they tend to think, oh,
21 well, there's one or two systems out here. But, again, as
22 was pointed out yesterday--and, again, I'm a big cat and dog
23 lover--there's a lot of mutts out here, and this--at one
24 utility site alone, having three pads, it really has turned
25 into a museum of sorts. So even on one site you can have

1 multiple regulatory bases, site-specific and general
2 licensing, as well as different systems.

3 So I'm not going to spend a lot of time on this.
4 These are in your handouts, but I did want to give the basis
5 for EPRI's report and our analysis. Again, I think one of
6 the reasons why I was asked to come today was, EPRI has
7 done--we did our own independent assessment of direct
8 disposal of dual-purpose canister systems at the time for
9 Yucca Mountain.

10 So, you know, again, I think we were asked from
11 that point of view that we had looked at this in the past,
12 recognizing that was for a specific site and geology. But,
13 again, everyone has slightly different numbers and estimates;
14 but, you know, this is what we based ours on. You have to
15 make some assumptions projecting into the future; but, again,
16 by and large, these dual-purpose canister systems are the
17 lion's share in the U.S. What we've moved to are welded
18 stainless steel systems.

19 This is some work from Ernie Hardin and Sandia.
20 Looking at--again, it's interesting to look at what your
21 geology might do to you in terms of thermal limits. But,
22 again, one of the issues I'm just going to call out here is,
23 don't get fixated on, you know, one parameter when that--
24 although this is certainly a very important one if not maybe
25 the most important single design parameter, but it certainly

1 doesn't operate independently, and you have--in terms of--if
2 we're here to bring up issues, things like commingling come
3 into play, being creative about how you manage your
4 repository.

5 So, as I mentioned, EPRI looked at the idea--
6 because even if Yucca Mountain were to have gone ahead at the
7 time, we would still probably be even loading some dual-
8 purpose canister systems even though there was this
9 transportation, aging, and disposal canister that was
10 actually brought in and introduced as a systematic part of
11 trying to integrate the system better.

12 So in terms of raising issues, I think this TAD
13 system is one thing to bear in mind that I think was a very--
14 at the time a very successful proposal and certainly was one
15 that the industry supported in terms of moving to a more
16 standardized canister. But, of course, at the time we also
17 had a place to send things to, and we knew how to design that
18 canister. So without a site, it's very hard to actually
19 design a canister that's truly standardized.

20 Also, I would just point out, actually, even in
21 regulation and DOE's license application that direct disposal
22 of DPCs was not actually ruled out, although I can be--if I'm
23 wrong, please point that out. But our reading of the license
24 application and the regulations was, you could actually,
25 based on performance, dispose of DPCs directly.

1 So here is, just to summarize what I saw pulled out
2 as the key criteria for DPC disposal, maybe even on a generic
3 basis, basically, you know, it's nice to say let's dispose of
4 dual-purpose canisters. But, as was pointed out, the
5 utilities are moving to larger and larger ones, again because
6 they have their own needs to fill on a different time scale.
7 So the question comes: Do they physically fit? Can you
8 shove them into the hole you've dug? And also Yucca Mountain
9 was nice, because you had that nice level rail system. You
10 could move things in by rail. But if you go to more of a
11 shaft system, you suddenly have the problems that was raised
12 yesterday in the German case of having to lower them into a--
13 using a hoist system.

14 So, again, certainly mass of these things becomes a
15 real issue, a technical issue, not insurmountable but
16 certainly challenging.

17 Then, of course, is rock wall temperature,
18 seismicity and rock fall, you know, criticality, of course,
19 is a major one, as well as how do these things influence
20 long-term dose to the public, because that ultimately will
21 likely remain one of the key measures or metrics.

22 So, in conclusion, of these reports, we found no
23 real technical obstacles associated with disposal of at least
24 some DPCs, some population. Again, that was to be determined
25 what fraction could be disposed of. But that was, again, for

1 a very specific case at Yucca Mountain.

2 So this is my issue slide of maybe trying to bring
3 up--raise issues for discussion, basically, to not forget
4 that you're designing and evaluating a system, not just
5 individual elements, because what you care about isn't how
6 one element performs for its own sake, but really that the
7 overall repository system meets its performance objectives.
8 And that's protecting basically the public and the
9 environment.

10 Some things I'll just raise again, things to either
11 don't forget about or let's question. Some of them maybe are
12 assumptions, because, again, we've been operating in this
13 Yucca Mountain mode of legislative limits of 70,000 metric
14 tons for heavy metal, and no basis--no technical basis for
15 that limit. That was a legislative limit.

16 So, again, let's not get stuck and think that, you
17 know, repository footprints have to be limited or, you know,
18 two-dimensional. And also what you put in the repository in
19 terms of high-level waste commingling, high-level, low-level,
20 greater than Class C. I even saw, mentioned by the Koreans
21 of putting coal fly ash in there while you're at it. So
22 let's get rid of another problem.

23 So co-disposal options, I think this is a way to
24 maybe manage some of your heat load problems with hot
25 packages, if you can co-dispose and certainly space out your

1 hot packages with other wastes that are not so hot. Again, I
2 think this was one of the benefits in the Yucca Mountain case
3 of co-disposing cooler high-level waste packages.

4 A big one for EPRI is challenging what typically
5 tend to be conservative values, estimates, criteria versus
6 best estimate limits. And, again, in a positive sense, I
7 heard this mentioned again yesterday, reflected yesterday,
8 is, you know, that a lot of the thermal limits, again, tend
9 to be--in all likelihood are conservative ones. And by
10 pushing those boundaries, you may, again, relax some of these
11 constraints on your repository design. We already have
12 enough constraints. Let's look for some more degrees of
13 freedom.

14 And then also this question of are we talking about
15 thermal performance of the system under steady state
16 conditions or when, in fact, it will likely just be a
17 transient excursion of some kind of peak temperature. That's
18 a very different system than a steady state system.

19 LESLIE: Wrap it up...

20 SOWDER: I'm wrapping up here.

21 So there are basically--this is just recognition
22 that there are inherent limits, though, and this is really
23 the limitations, I think, on even what we can discuss today.
24 Without a site in mind, there are fundamentally some things
25 that we can't know or decide upon without actually having a

1 specific site and an engineered system.

2 And, finally, my parting word is, given that we're
3 not starting with a clean slate anymore. This is not 1985,
4 '84, '83, '82, '87. We're not starting with a clean slate.
5 Perfect is the enemy of the good, and certainly don't forget
6 the fact that we've already got loaded dual-purpose
7 canisters. And these actually--if you want to think about it
8 a different way, there are a lot of sunk costs in those
9 canisters, and I'm not just talking about money-wise, but
10 also worker dose and also risks that were incurred to load
11 those.

12 So, again, thank you very much, and I'm at your
13 disposal, so to speak.

14 LESLIE: Okay, so to speak. So an example is--and this
15 is kind of for everyone--is Andrew talked about a few things
16 that kind of are taking--can I borrow your--that little green
17 thing at the top there--the pointer. Okay, got it.

18 So he's talking about issues here that impact up
19 here basically. He's saying, you know, he's not necessarily
20 looking this direction. He's looking back.

21 SOWDER: Right.

22 LESLIE: And so, for instance, each of these bullets
23 here are things that go into and could constrain the front
24 end. And Andrew also tried to kind of say it's much easier
25 to talk about specific things when you have a specific site.

1 And we'll allow a couple clarifying questions.
2 But, again, remember that--and for the audience, remember,
3 you'll be later able to raise issues like if you heard
4 something from, like, Thilo's talk where other countries have
5 perhaps looked at the footprints or other things, might be
6 that there are other questions that could be asked.

7 Gerry, Sue, are you okay? Do you have anything?

8 FRANKEL: No, it's--

9 LESLIE: Okay. Could you identify yourself?

10 McCULLUM: Yeah, Rod McCullum, NEI. I'm not sure that
11 what I have is a clarifying question. I was going to enjoin
12 a discussion on your concept of going backwards from disposal
13 to initial conditions. Do you want me to hold that?

14 LESLIE: Could you?

15 McCULLUM: Yeah, I'll do that.

16 LESLIE: I appreciate it. Okay. Beatrice?

17 And, again, our next speaker is Beatrice Brailsford
18 from the Snake River Alliance, and she has no slides, but she
19 has plenty to say.

20 BRAILSFORD: Which I am going to say in five minutes.

21 Thank you very much. The Snake River Alliance is
22 Idaho's grass roots nuclear watchdog and advocate for clean
23 energy. We were founded in 1979 and are a member-based
24 group.

25 Today I intend my remarks to just be a brief

1 reminder. This morning we heard that Department of Energy
2 spent fuel is out of sight but not out of mind, and I'm here
3 to make certain that it is not only--it is in sight and in
4 our minds. Because I am from Idaho, I'm going to focus on
5 the spent fuel at the Idaho National Laboratory, but the
6 other sites in the complex that store even more spent--far
7 more spent fuel than Idaho are Hanford and Savannah River.

8 DOE owns about 2,400 metric tons of spent fuel; 11
9 percent of that is at the Idaho National Laboratory. Of our
10 inventory in Idaho, about 60 metric tons is defense, and the
11 rest is non-defense. All of the Nuclear Navy spent fuel
12 comes to Idaho, and until 1992 it came to Idaho to be
13 reprocessed. Currently there are about 27 metric tons of
14 Nuclear Navy spent fuel in Idaho, and more than half of that
15 fuel came in after 1995.

16 The other sources of spent fuel in Idaho are
17 random; 52 reactors have operated there, and most of that
18 spent fuel is still in Idaho. Idaho also stores spent fuel
19 from foreign, DOE, and university research reactors. We have
20 commercial reactor fuel. INL spent fuel ranges from a
21 hundredth of a kilogram up to 1,600 kilograms from four
22 inches to fourteen feet. It's all sorts of sizes, burnups,
23 claddings, enrichments, conditions. Some of it is fully
24 intact and in very good shape, and some of it is in very, you
25 know, almost radically not good shape. Three Mile Island

1 comes to mind. Sodium bonded fuel is at Idaho so that it
2 will eventually be pyroprocessed. The sodium bonded fuel
3 comes from EBR-2 and the Fast Flux Test Facility in Hanford.

4 The fuel in Idaho is stored in all sorts of
5 facilities. DOE's newest pool, which was built 30 years ago,
6 stores a good deal of it. The spent fuel canal at the
7 Advanced Test Reactor stores newly-generated spent fuel just
8 as it comes out of the reactor. It's too hot to send across
9 the highway to the 30-year-old pool.

10 A lot of the dry storage happens at what we call
11 Building 603. It's one of our more modern facilities. It is
12 dry, but one of the reasons it's dry is that they recently
13 successfully repaired the leaking roof, and it depends on
14 forced air ventilation to remove decay heat. We store spent
15 fuel on rail cars in demonstration casks on a pad in below-
16 ground vaults with a lot of--not a lot--but a few different
17 configurations in a hot cell, and the Three Mile Island fuel
18 is stored in an NRC-licensed facility.

19 Idahoans have always been very concerned about the
20 accumulation of spent fuel over the decades, and in the early
21 '90s the State sued the Department of Energy and the Nuclear
22 Navy, reflecting that public concern. The suit was settled
23 in 1995, and in that settlement the importation of commercial
24 spent fuel to Idaho was banned. DOE and Nuclear Navy
25 shipments were regularized, shall we say, you know, limits on

1 how much can come in in any given year. The settlement
2 agreement requires that all spent fuel be taken out of pools
3 and put in dry cask storage by 2023, and it requires that all
4 Department of Energy and Nuclear Navy--and most of the
5 Nuclear Navy, because of a later addendum--all DOE and most
6 of the Nuclear Navy spent fuel be out of the state by 2035.

7 So in no particular order, some considerations--
8 oops, I've already gone over five minutes. One, this is not
9 a technical issue, but the Snake River Alliance does not see
10 any particular benefit in reversing the decision to commingle
11 defense and non-defense spent fuel. We don't see what
12 problem that solves. We see what problems it might create.

13 I mentioned the fuel that comes out of ATR is newly
14 generated and goes into water. It will probably still be
15 generating fuel in 2023 when no more fuel is supposed to go
16 into water. That problem might be exacerbated by--right now
17 the Department of Energy is looking at refurbishing and
18 restarting a reactor it closed in 1994 called the Transient
19 Reactor Test Facility, TREAT.

20 Another thing to keep in mind, the Nuclear Navy is
21 moving its spent fuel out of wet storage to dual-purpose
22 canisters. It has filled 50 of those at the Naval Reactors
23 facility where there are no reactors, and it expects to load
24 over 350 by 2035. Last year the head of the Naval Reactors
25 program testified to congress that one-third of the current

1 inventory of spent fuel from the Nuclear Navy was ready to be
2 shipped to the repository. That might not be--that might be
3 more hopeful than realistic.

4 Another thing, I think, to keep in mind is, are we
5 moving--and this is, you know, maybe across other facilities.
6 Are we moving spent fuel from inadequate old wet storage into
7 inadequate old dry storage? And are we moving that fuel in a
8 way that, you know, we require more follow-on conditioning,
9 because we didn't, for instance, get it dry all the way to
10 begin with? So that's another consideration.

11 And then I guess, finally, you know, all that fuel
12 at Idaho--and it's not a vast amount, I mean, I told you it's
13 a very small inventory. But it's got 250 different
14 attributes, you know, and all these things that you have to
15 take into consideration. All that fuel, as it is getting
16 ready for whatever happens next, the flow chart shows that
17 it's characterized and conditioned in what is called the
18 Idaho Spent Fuel Facility. That is a licensed facility. The
19 license is held by the Department of Energy. It has not been
20 built. And its mission in the Mission Need Statement is to
21 handle all the fuel at the Idaho National Laboratory.

22 Now it is kind of being eyed for a larger mission,
23 handling other spent fuel from other places. And, frankly,
24 our concern--and I think it's a legitimate concern--I know
25 it's a legitimate concern--is that the mission creep is going

1 to take over the mission need before the facility is built,
2 and we will end up with DOE's spent fuel at the back of the
3 line, out of sight, while other material is processed first.
4 Thank you.

5 LESLIE: Thank you, Beatrice. But before you leave,
6 okay, let me do a few things.

7 So although Beatrice was talking about DOE spent
8 nuclear fuel, here is an example, I would say, where she has
9 identified an issue way up at the top in terms of drying the
10 spent nuclear fuel, because before it can be transported and
11 disposed, it's got to be appropriately packaged and dried.
12 And so this is an example where one might argue that some of
13 it's already canisterized, but it's not ready to be
14 transported off. So there might be further conditioning and
15 repackaging of existing dry storage before the DOE spent
16 nuclear fuel could be sent either to an interim storage or a
17 final disposal.

18 And so there's this subtle difference between
19 potentially what the commercial side is doing, but the DOE
20 side spent nuclear fuel--did I capture that?

21 BRAILSFORD: Yes.

22 LESLIE: Okay. Any other questions? If not, then we're
23 going to allow anyone to start to raise the issues. And,
24 again, thanks, Andrew, and thank you, Beatrice.

25 We're going to start with the questions. And,

1 again, you know the routine.

2 McCULLUM: Rod McCullum, NEI. Am I on?

3 LESLIE: Yes.

4 McCULLUM: Okay. And since we're here to raise the
5 issues and not to solve them, which is kind of disappointing,
6 but I've been to meetings where that's happened before.

7 I want to kind of fundamentally--and this is why I
8 raised my hand early--challenge the notion--and I think this
9 is a useful diagram--that there's a backwards arrow that goes
10 from Line 11 down there where it says "Disposal" up to Line 2
11 where it says "Canister Loading."

12 In my world where time travel has not been invented
13 yet, we can only go forward in time. We've loaded 1,700 of
14 these things, 1,771 as of the end of the half year. We will
15 have loaded over 3,000, most of them welded, by--and I don't
16 want to start the repackaging session. Those guys are going
17 to talk about all the reasons why it doesn't make sense.

18 But the fundamental question I want to ask--again,
19 we're here not to solve and make declarative statements;
20 we're here to raise an issue--and I'll call this the initial
21 condition problem--should the U.S. repository program moving
22 forward define, as an initial condition that will guide our
23 repository site selection, that it has to be able to direct
24 dispose of existed loaded canisters? Because we can spend
25 billions of dollars saying, well, where are the pros and the

1 cons, you know, in designing portable dry transfer facilities
2 and comparing that against what happens in--but if we say it
3 is an initial--you know, I'm not saying we should, but we
4 should ask that question, define it as an initial condition,
5 have that--it actually simplifies the repository selection
6 process going forward.

7 I'll give you an example. We could spend billions
8 studying criticality and designing canisters to prevent
9 criticality, or we could do criticality consequence analysis
10 in deep geologic disposal. We'd find the short-lived
11 criticality events you might have that aren't going to be
12 noticed on the surface, and they're not going to have a
13 long-term--but, anyway--

14 LESLIE: Okay. And I'm going to turn one of the things
15 you said back into an issue. So, again, Rod, you've raised a
16 good way of thinking about it in the sense--in terms of how
17 you treat things in the disposal space can influence what you
18 do up ahead.

19 I mean, the example--and, again, for clarification,
20 Rod is talking about how criticality is treated or how it
21 could be treated in a repository license application.
22 Currently DOE treats it a certain way. Probability is--it's
23 screened out by keeping the probability of it occurring below
24 the regulatory limit.

25 McCULLUM: And once you go to the initial condition of

1 having to dispose of the existing--if you went to that--those
2 canisters were not designed to prevent criticality
3 underground a million years from now. So you then have to
4 lose that paradigm.

5 But when you look at the resources--and the
6 resources are important; we've already spent ten billion
7 here--is it has a--it would have--if we chose to define that
8 initial condition, it would have a tremendous value in
9 focusing our resources going forward. I mean, I
10 fundamentally challenge the notion that an arrow can go
11 backwards from Line 11 to Line 2, you know.

12 LESLIE: No, but--okay, we got that.

13 McCULLUM: Is that resource value worth shattering all
14 those paradigms? That's the question.

15 LESLIE: Okay, thank you, Rod.

16 And, Tito, I saw your hand.

17 And, Devonya, I'll direct the traffic and the
18 microphone to folks.

19 And, again, you can either raise new issues or, as
20 you hear things, bring up your own.

21 BONANO: Thank you. Tito Bonano from Sandia National
22 Labs. You know, partly I agree with what Rod said, and we
23 have two problems. One is: What do we do with the DPCs that
24 already have been loaded? So, thus, I think in that context
25 I agree with, we have an initial condition in Box Number 2

1 that we need to take into account.

2 But the other part of the problem is: What are we
3 going to do with the ones that are going to be loaded in the
4 future? If you remember the presentation that Jeff Williams
5 gave yesterday, right now we have about 1,700 to 1,800 loaded
6 DPCs. Most of that is old fuel. The question is: By the
7 year 2050, we may have 10,000 to 12,000 of those DPCs, most
8 of which are likely to be loaded with high burnup rate fuel.

9 So we have, in essence, two different problems, one
10 of them, what do we do with the ones that we have already
11 loaded, which we do not want to repackage? And in that
12 context I agree with Rod's comment about we have an initial
13 condition. But the other part of the problem is: What do we
14 do with the ones that are going to be loaded in the future?
15 And that's where I see the feedback mechanism coming from
16 disposal back to Box Number 2.

17 LESLIE: Thank you, Tito.

18 And so, actually, the focus of this session is
19 really thinking about what are the issues associated with
20 going forward with the DPCs, which is all the issues above.
21 And what Tito just said is, we have to think about down here
22 on the way back, not for the ones that are already loaded,
23 but as we go forward. And so that's kind of the--did I
24 capture that? That's right.

25 So we're dealing with both, and so kind of think

1 about the DPCs that are loaded, what are now the issues here,
2 and for the ones in the future, these are the feedbacks back
3 up. Because in the other session they're talking about
4 repackaging, okay, you know, and the inputs here could
5 influence that. And I understand all of the DPCs that
6 already exist.

7 There's a question back here?

8 FRANKEL: Frankel, Board. So I just want to--you're the
9 facilitator, but I'm trying to get the details here. And so
10 I think, rather than just raise the issue that future DPC
11 designs will affect everything, we want to be specific, you
12 know, so what needs to be considered in DPC design that will
13 affect transportation or loading into a disposal overpack.
14 And it's the details that we're trying to capture here, not
15 just general issues. Is that correct?

16 LESLIE: Yeah, that's fine.

17 BONANO: So one of the things that--this is Tito Bonano
18 again from Sandia National Labs. And I'm going to defer to
19 Ernie Hardin real quickly. But one of the things that we've
20 been thinking about is: Should we be loading future casks
21 with neutron absorbers that are specifically designed to deal
22 with criticality issues? Is that correct, Ernie?

23 HARDIN: Yes. I mean, there's a whole--we'll get into
24 that.

25 LESLIE: No, we'll keep this--no, go ahead. And I'll

1 get back to the back row. Let me get this flow going here,
2 and then we'll come back to you guys in the back; all right?

3 HARDIN: Ernie Hardin, Sandia Labs. We're working on
4 this problem, a team from multiple labs, and I think there is
5 a logic here. There are different levels of preparation and
6 design of a canister for disposal with respect to
7 criticality. At one level you can make all future canisters
8 bolted closure and design the basket so that in future you
9 have the flexibility to open the canister and modify the
10 contents to control criticality postclosure. Okay, that's
11 one level.

12 At another level you can design a canister so that
13 it is small enough or it has enough other materials in
14 addition to spent fuel that it can never go critical no
15 matter its state of degradation. So that would be
16 essentially the SKB approach. They have 4-PWR or 12-PWR
17 assemblies per canister. They have a massive cast iron
18 insert, and they project that the degradation of that system
19 would never go to criticality.

20 And then you go to systems where you have more fuel
21 in the can. You have the Yucca Mountain-type thinking, which
22 was, for an oxidizing environment, we can get 10,000 years or
23 maybe 100,000 years of chemical and mechanical lifetime out
24 of neutron absorbers, which are basically made from 316
25 stainless steel, or in the case of the--actually, we were

1 going to use sintered stainless with 304 and carbide. But
2 the basket structure is also important, and that was to be
3 316. So that's the story.

4 LESLIE: So those are solutions--

5 HARDIN: There's one more point I want to make.

6 LESLIE: Okay.

7 HARDIN: They're are all solutions. But the real point
8 I'm trying to make is, it's a branching problem. So it
9 depends on the environment where this thing is going. And we
10 ought to talk about reducing environments as being
11 advantageous and smart choices, but we have not come up with
12 the structural materials that will survive for a long period
13 of time in reducing environments. So there's an open R&D
14 question there.

15 LESLIE: Okay, thank you, Ernie.

16 Did that clarify for you, Gerry? Just shake your
17 head up and down. Yes? Okay.

18 Rod, is it on the same topic? Close enough?

19 EWING: Close enough.

20 LESLIE: Okay. Again, I've got you in the back. We'll
21 get to you.

22 EWING: This is Rod Ewing on the Board. So I'm
23 commenting on kind of the stream of the discussion. And I'm
24 sympathetic to the initial conditions approach, because we
25 have to deal with what we have in front of us. I understand

1 that it's a branching problem, and there are difficulties and
2 the environment matters quite a lot in terms of the different
3 components in the system.

4 But what I don't hear--and this is what makes me
5 nervous--is simple discussions of canister, waste package, or
6 dry cask lifetimes. Right? Because that matters a lot in
7 geologic disposal. So as you change materials, forget the
8 configurations, but as you go from corrosion-resistant alloys
9 to stainless steel, I presume then the distribution of
10 lifetime changes of the packages. And so before we accept
11 the initial conditions as initial and that's what we have to
12 deal with, it would be important to understand what that
13 means in terms of long-term performance. Right?

14 Now, I presume stainless steel will not last as
15 long as Alloy 22. Right? And I think that may be important
16 in compliance unless you change the geology. I mean, you
17 could go to a better geology with your present initial
18 conditions, but is that much flexibility in the system--is
19 that the flexibility you would drive us toward? I mean, if
20 I'm stuck with the initial conditions, can I then pick the
21 repository environment?

22 HARDIN: This is Hardin with Sandia. I think the answer
23 is a qualified yes. I mean, from the criticality point of
24 view, in a salt repository where fluids would very likely
25 have 6 molal sodium chloride concentration, we get quite a

1 boost on the sub-criticality argument, even with the current
2 inventory of loaded DPCs. That said, you know, I think it's
3 important for us to carry forward other environments, other
4 potential options, as geologic settings for disposal.

5 LESLIE: Thank you, Ernie. And now--

6 McCULLUM: Rod McCullum, NEI. I want to build on what
7 Dr. Ewing said. And I think this is important. If you start
8 with the initial condition and then go forward, and then you
9 have to ask those questions, how do these things perform in
10 the longer term, because they were not designed for that long
11 a term. To me, the answer is in defense in depth and in
12 having things you don't take credit for, but, you know, that
13 give you some level of comfort for a period of time.

14 I think, looking forward--and I also agree that you
15 have an opportunity to change things with the ones you
16 haven't loaded yet, but first you have to accept that initial
17 condition. That's the basis for that negotiation. That's a
18 whole 'nother topic. But, for example--and I need to
19 reference this since we're on the record--NEI Contention
20 Safety-01 and NEPA-01 from the Yucca Mountain licensing
21 process, Docket 63-001--we had an analysis in there that
22 showed that you could directly dispose of the existing loaded
23 canisters simply by wrapping them in Alloy 22, and then it
24 would meet the Yucca Mountain performance criteria.

25 Now, are you going to take credit for any--are you

1 going to take credit for that basket that wasn't designed for
2 a million years? No. Are you going to take credit for that
3 stainless steel shell? No. It's inside the Alloy 22. It's
4 under the titanium drip shield.

5 So these things become--now, you also--you do have
6 to look at negative effects. I understand that. But, again,
7 if you accept that negative condition or that initial
8 condition, you say, okay, I'm not going to take credit for
9 any of these things. The fact that they're there gives me
10 some additional defense in depth, which is important. But
11 then I have to look at do they have negative effects. But
12 then you are now going forward, and you're looking at--it's
13 helping you focus your resources going forward.

14 Is there anything wrong with putting stainless
15 steel in salt? Is there anything wrong with putting these
16 baskets in a granite repository? But now you've got an arrow
17 that's moving towards disposal, not back the other way.

18 LESLIE: Right. And, Rod, we're going to take a little
19 bit more, and then we're actually going to actually try to
20 start to really use this chart and identify the issues. I'm
21 allowing this discussion to go forward kind of not really
22 identifying the issues just to build the rapport in the room,
23 get some initial thoughts out on the table, so--and I've
24 forgotten--and then we'll get the back, and then I see these
25 two guys, too, as well.

1 GUTHERMAN: Thank you, Bret. My name is Brian Gutherman
2 of Gutherman Technical Services. My question is directed
3 toward Andrew. The common denominator among the three
4 processes we're talking about is thermal, and they're
5 different for transportation, storage, and disposal. In your
6 analysis, did you any kind of sensitivity studies as to what
7 kind of cooling times would be required to get these DPCs
8 from storage through transportation and into disposal?

9 SOWDER: Andrew Sowder, EPRI. I don't believe our--I'd
10 have to get back to you on the specifics, but I don't believe
11 we were looking at optimizing anything like surface storage
12 time or anything like that; whereas, I think the focus of the
13 DOE-sponsored work has been on using that as a variable to
14 manage your thermal loads.

15 In our work we were just looking very narrowly at
16 what fuel had already been loaded and probably some nominal
17 storage. And I'd have to go back and look at the specifics.
18 And looking at the impacts--we did the thermal analysis
19 looking at the impacts on the specific geologic system.

20 GUTHERMAN: And I'll follow up--this is Brian Gutherman
21 again--because that's an important matter here, especially as
22 the DPC capacities increase to 37-P and 80-some-odd-B.
23 You've got to get it there to dispose of it, and that
24 transportation piece is a potential bottleneck in the system,
25 even if it works on either end of the system in storage and

1 disposal. So that has to be looked at holistically.

2 LESLIE: So let me reiterate what I heard Brian say,
3 that basically he is doing what I asked him to do, which is,
4 he gave the positive example is that, okay, here it is, we've
5 got a high heat load; can we transport it? Okay? So this is
6 canisters, maybe some of the existing ones, but also as they
7 go forward, DPCs, if they're going to go direct disposal,
8 they're going to have more heat. They may even make
9 transportation even harder. I hope I tried to capture that.

10 So I'm going to go to Bill, and then we'll come
11 back up this way to Tito and Ernie.

12 BOYLE: William Boyle, Department of Energy. I hope to
13 follow in Brian's footsteps and identify a potential issue.
14 And it occurs, actually, before disposal, and it's related to
15 the light green on the chart, which is "Consolidated
16 Storage", which is not a given or a certainty, but certainly
17 a possibility.

18 And I'm focused on the storage systems that are
19 using concrete, not all, but make it particular with respect
20 to NUHOMS, which are the horizontal ones Andrew showed on one
21 of his slides. And I'll further make it particular. I
22 visited Calvert Cliffs; and as part of that visit, I read
23 their certificate of compliance for storage, and in the
24 documentation it is stated there will be no undue galling,
25 gouging, or scratching. And the licensees actually have to

1 demonstrate this. They have to put it in and pull it out and
2 show the NRC and say, see, we didn't scratch it, gouge it,
3 and that sort of thing.

4 If you have consolidated storage, again, using the
5 NUHOMS's example--but this applies to the vertical system
6 somewhat as well--the geometry is a little different. But
7 for the NUHOMS the storage device is slid in on metal rails,
8 lubricated metal rails, and there they sit for decades
9 potentially under heat, changing environmental conditions.
10 And to get it to consolidated storage, you'd have to yank it
11 out, handle it for transportation, transport it somewhere,
12 take it out of the transport, and then shove it into
13 something else again.

14 And who that owner is of that consolidated storage
15 facility might also have this requirement of no undue
16 galling, gouging, or scratching. And I think it's an open
17 question that we haven't done enough work on yet is that,
18 will that come to pass, all that handling and that the
19 consolidated storage facility would believably still be able
20 to take them without a lot of scratching and gouging?

21 LESLIE: Thank you, Bill.

22 Tito, did you--

23 BONANO: This is Tito Bonano from Sandia Labs again. I
24 think the question back here from Brian was have we looked at
25 how long they need to sit in storage to cool down enough

1 before we can transport it. Was that correct, one of the
2 question you had?

3 GUTHERMAN: Yes, as it relates--

4 BONANO: So in that respect, we have done a couple of
5 simple calculations at Sandia using the TS Calvin model as
6 well as using the certificate of compliance, and how long
7 they need to sit and cool down before transportation is a
8 function of how you load them up with the fuel, whether it's
9 high burnup fuel or--so in some cases it's anywhere from a
10 couple of decades to maybe three or four, depending on how
11 they're loaded up. So we have done some very preliminary
12 calculations along those lines.

13 There is a particular senator from a West Coast
14 state who is very interested in how long that fuel is going
15 to sit in some of those facilities.

16 LESLIE: Okay. Ernie, are you--

17 HARDIN: Yes, please.

18 LESLIE: We'll do Ernie, and then we'll come back to
19 you.

20 HARDIN: Let me reiterate--Hardin, Sandia. Let me
21 reiterate what Tito said. His presentation has some slides,
22 and there are notes on there showing what reports you can
23 find the thermal analysis in. And we drive it all the way
24 down to different concepts, engineering concepts, of
25 operation for a repository. And we come up with some

1 insights like-- more important, the diameter of the package
2 or the power output at a given point in time, things of that
3 nature. So I think we've made some progress in that area.

4 I would like to follow up on the little discussion
5 that I had with Rod Ewing on disposal concepts. And, you
6 know, I mentioned that it was important to keep other options
7 open besides the one you might favor such as maybe salt.
8 Here is an insight, and there's an issue here, so bear with
9 me.

10 Yeah, it would be tempting to say, look, let's let
11 that disposal overpack be the comprehensive interface between
12 any DPC and the disposal environment. Let's let it solve all
13 of our problems. We can design it with thickness and
14 materials such that it has containment lifetime that we
15 require, and we can rely on that containment lifetime to keep
16 water out so it never floods and we don't have to worry--we
17 can screen out criticality at that point. So that's an
18 attractive proposition. The gotcha there is that it may not
19 be plausible to claim that kind of performance on a set of
20 10,000-plus overpacks.

21 So, for example, Yucca Mountain--the probability of
22 early failure of any waste package was estimated to be about
23 10^{-5} per package, and this was attributed to faulty materials,
24 faulty fabrication, faulty testing and handling, damage
25 during handling before emplacement. So with 10^{-5} per

1 package, if you run the numbers, you see that we don't really
2 have the reliability to say that flooding will never occur in
3 10,000 years for 10,000 packages at a probability of 10^{-4} per
4 repository realization. Do you see the probabilistic problem
5 in there? So the issue is: How do we get more reliability
6 out of an engineered barrier?

7 LESLIE: Other questions or comments? Okay, yes, I'm
8 sorry, right behind Devonya, and we'll come back up to
9 Andrew.

10 SISLEY: Yeah, my name is Steve Sisley with
11 EnergySolutions. And, Brian, you asked a question, you know,
12 how long has DOE looked at how long it's going to take before
13 they can transport these. The cask vendors determine that.
14 I mean, they do an analysis of what--

15 LESLIE: If you can speak into the mic.

16 SISLEY: The cash vendors provide an analysis of how
17 long the canisters have to age before they can be
18 transported. I think the real question is how long do they
19 have to age--once they get to a centralized storage facility
20 or perhaps a repository, how long do they have to age before
21 they can be disposed of? And that's really a function of the
22 repository media. I mean, different medias--clay, granite--
23 they have different allowable temperatures.

24 So I think, you know, looking at this system
25 approach, you need to consider what your repository is going

1 to be. I mean, I think we need to know what it's going to be
2 and determine how long you have to age it. And the question,
3 I think, that we have to ask is: Are the canister designs--
4 are they going to be able to survive that long? In some of
5 these repository meetings, let's say we get stuck with a clay
6 repository. Heat load is very low. You may have to age it--
7 with some of these large canisters, you may have to age it
8 for hundreds of years before you can place it into the
9 repository. Are those canisters designed to withstand a
10 hundred years, you know, before they need to be repackaged?
11 That's the question in my mind.

12 LESLIE: And I forgot--I didn't catch your name. I know
13 you said it, but I--

14 SISLEY: Steve Sisley.

15 LESLIE: Thank you, Steve.

16 So Steve raised the same issue two different ways.
17 And basically it's the idea of--and it can be storage either
18 at the facility or storage here, but how long does it have to
19 be stored before it can actually be disposed? And, on the
20 other hand, he said, well, thinking about the different
21 disposal options, like Tito had the slide yesterday that
22 showed just how long for clay stone versus salt, those things
23 also feed back in terms of thinking about how long these
24 canisters have to last if you end up in disposing of clay.

25 So, hopefully, that completes the circle.

1 GUTHERMAN: This is Brian Gutherman. I just want to
2 amplify. I agree with everything Steve said. And my prior
3 remarks were more a logistics-oriented set of remarks
4 inasmuch as the COCs certainly do say when you can ship
5 these. But in my mind, I'm thinking about, do we have a
6 continuum of canisters that can be shipped once we begin, or
7 are we going to begin and then exhaust the ability to ship
8 because we've got to wait, and then we have a dead zone there
9 for transportation? I'm not saying I have the answer or even
10 if that's a problem, but it's a consideration that needs to
11 be thought through very carefully to make sure once we begin
12 shipping we can continue.

13 LESLIE: All right, go ahead, Rod.

14 McCULLUM: Rod McCullum, NEI. I think this is an
15 opportunity to bring some things together if it doesn't make
16 it too confusing, you know, the idea that we still have some
17 we have to load; and if you start with that initial
18 condition, then you have an opportunity, you have a
19 negotiation, to ask for some in the future to be loaded
20 differently so you don't get to that dead zone.

21 But I think, more importantly, I want to kind of
22 turn to this question of, how long do they have to be stored
23 before they can be disposed? I see it as more of an
24 opportunity. And I'm looking at Tito Bonano's Slide 16 from
25 yesterday. I don't know if you have the ability to call that

1 up, and maybe it's not worth the time. That's a great slide;
2 that's a great graph. You know, you see--

3 SPEAKER: I don't have it here.

4 LESLIE: Go ahead.

5 McCULLUM: You see you've got various periods of time
6 and various geologies until you can put the waste packages
7 into disposal. There is an element of that time that I think
8 we need to give ourselves some credit here for, is that if
9 you're focused on that direction, you know, you're going down
10 that path, science has anywhere from 10 to 50 years to
11 further sharpen its pencil, to further look at the question,
12 to know things it doesn't know yet about the geologies. I
13 tend to be an optimist in believing that the scientists will
14 learn.

15 And, in fact, let's say you shipped casks to an
16 aging facility, you didn't hit the--I don't know what
17 repository had an aging management pad, but I think there was
18 one--and you're saying, well, we may have to sit these out
19 there for a hundred years--well, some of the higher burnup
20 casks, you know, because Tito's other idea of, well, let's
21 impose constraints on the future loading, didn't quite get in
22 place in time.

23 Well, that's your initial condition again, but now
24 you've got a team of scientists who are further refining
25 their understanding of how heat affects the repository.

1 You've got heater tests in the rock or in the salt or in
2 whatever geology you're in that are testing theories about
3 how heat affects the way water moves. You've got 10 to 50 to
4 100 years to incorporate that result in amendments to your
5 license for your repository.

6 So I'd want to capture that element of time as an
7 opportunity--and this gets into the whole stepwise repository
8 concept--an opportunity to refine the repository concept as
9 you're loading, because you'll have some stuff you can load
10 on day one and then some stuff you can't.

11 LESLIE: Okay, thanks, Rod.

12 I'm going to go to the back, because I haven't
13 heard anything, and I saw Steve had his hand up. And then
14 we'll come back up. Thank you, Andrew, for reminding me, I
15 still owe you. So we'll go Steve and then Andrew; all right?

16 FRISHMAN: Steve Frishman, State of Nevada. What I'm
17 going to say is somewhat in line with what Rod just said, but
18 also many of you will hear that it's a familiar line here.

19 Ernie just sort of laid out the real question in
20 this room that is the question that's on the agenda, only he
21 laid it out in terms of, how do we get more reliability out
22 of the engineered barrier? That's the big question as far as
23 dealing with geologic disposal or isolation. What you're
24 talking here is the stuff that you guys talk all the time.
25 You don't have to be in this room to be talking this. This

1 is the conversation you have all the time.

2 The real question is--if we're going to have as a
3 goal geologic disposal, then the question is: How do we get
4 more reliability out of our understanding of the site? And
5 this is what Rod was talking about. But we have to remember
6 that--I think--and I've voiced this before--I think it's an
7 unfortunate regulatory constraint that isolation means
8 prohibit or delay release. You guys are all working on the
9 delay and how can you extend the delay. The real objective
10 is to have a site where, as the 1980 EIS said, you don't need
11 an engineered barrier after about a thousand years.

12 So I think that while, yes, it's very important to
13 understand the problems that are there and the problems that
14 are being magnified all the time, but you're arguing how to
15 beat a site rather than how to take advantage of a site.
16 Taking advantage of a site involves understanding to a great
17 extent how that site is going to work rather than, as
18 unfortunately with Yucca Mountain, trying to figure out how
19 to make it work.

20 So I think all of this conversation is very useful
21 if you keep in mind that a long-lived engineered barrier is
22 not an inevitability in the system. And years ago--well, in
23 1990, just before we had our horrible nexus meeting, Chris
24 Whipple was telling me, "You're going to have to get used to
25 the idea that the whole thing is going to be an engineered

1 barrier." And I told him, "No, I'll never get used to that
2 idea, because it's a false idea."

3 So now I think we're in a position where, yes, it's
4 worth discussing these problems as laid out and that you need
5 to be looking forward to the one thing that we can probably
6 do better, because we've already--and Yucca Mountain has
7 proved that--we've already figured out we can do a lot better
8 on figuring out how to, using data, actually do some modeling
9 that is credible.

10 LESLIE: Thank you.

11 FRISHMAN: So that's the beginning of what I may be
12 thinking about today.

13 LESLIE: Okay. And I'm sure we'll come back to you as
14 you have more thoughts.

15 I owe Andrew, and then I'm going to get a new
16 person, and then I'll go over to Ernie. So, Andrew.

17 SOWDER: Andrew Sowder, EPRI. I wanted to ask a
18 question, because one thing that I'm not hearing--I'm hearing
19 a lot of technical discussion, and that's in NWTRB's name.
20 Are we also discussing institutional issues that impact--for
21 example, I'm hearing--one of the big questions that's being
22 raised is: How could we transition to maybe a different
23 waste container from--waste package from a DPC to the future?
24 Of course, you have that transition period.

25 So that means the utilities are going to have to

1 change their behavior, and someone's going to have to pay for
2 that new material, that new package. Some would say, well,
3 suddenly we had a stainless steel container, now we have a
4 gold-plated container. One of the institutional issues, I
5 think, that's not being recognized is, as I understand it,
6 the utilities are not--well, if they want to get reimbursed
7 by the Judgment Fund, for example--tell me if this out of
8 bounds, but they have to prove that that's a justified
9 expense.

10 And so when I hear things like, "Well, let's add
11 something new to the container that's not necessarily needed
12 for storage or transport but for disposal," will the
13 accountants at DOJ approve that for reimbursement. And so--

14 LESLIE: It's slightly outside, but we've recorded it
15 and you've got it in--

16 SOWDER: Yeah. So it's a major barrier for changing
17 that behavior.

18 McCULLUM: Rod McCullum, NEI. While you're on that--and
19 I promise I will be quick here--just to point out, there is a
20 precedent for what Andrew just talked about, and that's the
21 TAD. You know, that kind of got lost in the shuffle of Yucca
22 Mountain; and I think the issue here is, it's worth studying
23 the TAD experience when you look for how to make this
24 transition from what we've already loaded to what we might
25 want to load in the future, because in that case industry did

1 agree--and Yucca was designed as a hybrid. The license
2 application has them receiving so many DPC's and repackaging
3 them--and we had our contention, but never mind--and then,
4 you know, industry loading TADs going forward. Industry had
5 agreed to load TADs going forward, and then the whole thing
6 disappeared.

7 But in all those development of that TAD
8 specification and the multiple vendor license applications
9 that were submitted in accordance with the TAD specification,
10 there was a lot of lessons learned for how you bring together
11 the science of a repository and, as Andrew said, what is
12 needed for storage. I think, given this is a new Board,
13 that's something that should be studied closely.

14 LESLIE: And now I'm going to come up to--thank you for
15 passing that, Andrew--identify yourself.

16 ALSAED: Halim Alsaed, affiliated with Idaho National
17 Lab. My comment or issue that I want to raise is related to
18 criticality for direct disposal of DPCs and how that relates
19 to storage and transportation criticality work. And the
20 question was prompted by several remarks that were made that
21 DPCs were designed to meet criticality safety requirements
22 for storage and transportation, but not necessarily disposal.

23 And that's sort of a binary-type thinking. It
24 either is designed for something or it's not designed for
25 something. And that certainly is a valid statement to make

1 when you're talking about deterministic-type regulation for
2 storage or transportation. And those deterministic
3 regulations generally drive you to do idealized
4 configurations and idealized geometry when you are making a
5 determination whether your system is critical or sub-
6 critical, and we know in reality you will have anything but
7 those idealized geometries. You're not going to have
8 optimally spaced pens and optimally moderated systems and
9 perfectly corroded neutron poisons down to their maximum
10 theoretical sense. And that's what has driven the maybe
11 significant conservatism for transportation and storage for
12 criticality safety.

13 Now we're talking about disposal regulation, which
14 is the most risk-informed regulation we have where
15 probabilistic-type analyses do have some room. So the
16 question that I have and the issue that it raises: What's it
17 really take from an analysis perspective to truly transition
18 from the deterministic thinking of it works or it doesn't
19 work to more of a probabilistic thinking that takes into
20 account all the details of the configuration. Sure boron
21 will not survive in a repository environment in total, but
22 that doesn't mean that it disappears, and some credit can be
23 taken for it.

24 Same thing with the geometry, it may or may not
25 be--it likely will not be idealized geometry.

1 So the issue is, as a regulation, it is allowed
2 for; but as a practice, in the DOE analysis for Yucca, as
3 well as the perception, public and political, isn't there
4 yet. And what can we really do to get it to accept a true
5 probabilistic evaluation for these configurations? The
6 analysis is there. The question is appreciating and valuing
7 and understanding what that means.

8 LESLIE: Thank you. And could you repeat your name one
9 more time, because the mic didn't get turned on quick enough?

10 ALSAED: Certainly. It's Halim Alsaed.

11 LESLIE: Okay, thank you, Halim.

12 Ernie and then Jean.

13 Thank you, Devonya.

14 HARDIN: Thank you. Hardin, Sandia. I have a
15 collection of issues for you here, Bret.

16 LESLIE: Okay.

17 HARDIN: One of them is the 10,000-year-versus-million-
18 year regulatory period for FEPs screening. I don't even
19 think I need to elaborate on that. But the regulations are
20 subject to change. I understand they're going to be revised.
21 And this is a very important question. A million years is a
22 totally different period for screening out something like
23 criticality that depends on anything that's engineered that
24 we put in the system. Enough said.

25 With that said, though, Dr. Ewing did mention Alloy

1 22, and I'll throw this out there. It does have corrosion
2 resistance at both oxidizing and reducing conditions,
3 according to my understanding. It might be the right matrix
4 to use for a neutron absorber material that does have even
5 better lifetime than some of the ones that have already been
6 developed and documented. So there is a big R&D question:
7 Are there materials out there that we just haven't discovered
8 or developed yet for keeping the basket configuration
9 predictable and absorbing neutrons?

10 Okay, and here's another insight I'd like to try to
11 share with you briefly. I think of these different
12 alternatives in terms of how we would represent the safety
13 case and what the probabilistic risk assessment would end up
14 looking like. And is it plausible, and is it complicated, or
15 is it simple? So no concept with an extremely complicated
16 safety case is going to be easy to license.

17 So, with that, the concern is not to couple up
18 different scenarios. So criticality is one scenario, and we
19 don't want criticality to be coupled with seismic ground
20 motion. We don't want it to be coupled with human intrusion.
21 So keep that in your thinking. Whatever solutions we come up
22 here, the scenarios need to be separated--separable.

23 LESLIE: Okay, thank you, Ernie. Could you pass it down
24 to Jean Bahr?

25 BAHR: Jean Bahr, Board member. Given the diversity of

1 the types of packages that we already have as the initial
2 conditions, and if we're thinking about how that translates
3 then to repository siting for disposal, is it possible that
4 there might be different geologic settings, geochemical
5 conditions, that might be good for one kind of package and
6 less good for it, but--is it actually possible to use that
7 information in choosing a site, or are we left with a
8 situation where there may be different kinds of geologic
9 settings that are going to be more appropriate for different
10 kinds of packages? And I think that question gets amplified
11 in the commingling case where we're talking not just about
12 spent nuclear fuel, but various types of high-level waste.

13 LESLIE: Tito, do you want to address that? I hate to
14 put you on the spot, but--

15 BONANO: That's okay, that's okay, Bret. Tito Bonano,
16 Sandia. I think in one of my slides in my presentation
17 yesterday--I think it's the one that--Slide Number 6, the one
18 that I called the obstacle course. There was a box to the
19 lower right-hand corner that talks about that specific issue,
20 especially if we start looking at the existing DPC inventory.
21 That becomes either a direct or indirect siting criteria.

22 I mean, we don't know the answer to that, but I
23 think that goes back to what Jean just said. It's one that I
24 kind of passed, because it's a policy decision that I think
25 is outside the scope of the presentation or certainly way

1 above my pay grade. But it's something that, I mean, at some
2 point in time, you know, we hope that we can form some of
3 those decisions in the future. But I think that's one
4 possibility.

5 LESLIE: Okay, thank you, Tito, for addressing that.

6 Jim Rubenstone. And that's perfect timing. I was
7 going to turn to the NRC potentially. Jim.

8 RUBENSTONE: We're still on the same wave length.

9 LESLIE: Identify yourself.

10 RUBENSTONE: Jim Rubenstone, USNRC. This has been
11 touched on in a couple areas, but I just wanted to add it
12 from a regulator's point of view.

13 Although the regulations for generic disposal in a
14 deep repository will probably be evolving as time moves
15 forward, I think the concept of performance-based risk
16 informed will remain; and that makes the performance
17 assessment a major part of the regulatory process. And maybe
18 I'm missing something, but I think one of the contributions
19 of the TAD was it, to some degree, simplified the performance
20 assessment in that you had a restricted diversity of
21 materials, a restricted diversity of configurations, that
22 were being analyzed as part of the application and review.

23 And as you're expanding that roster of different
24 materials and different configurations and different types of
25 waste packages going in, that will add complications to your

1 PA. And I don't know how to price out costs of complicated
2 PA versus complicated packaging, but there are some trade-
3 offs there. So I think we have to keep that in mind as we're
4 trying to think in a performance-based risk-informed setting.

5 And the second point that Bill touched on--and I
6 think this is also something not to lose sight of--is that
7 when you are evaluating through your performance assessment
8 how different packages would go into a given repository, it's
9 not necessarily for these types of issues how they're
10 designed, but the state they will be in when they are in
11 place. And in some cases, when you're talking about multiple
12 decades up to centuries of aging in order to accommodate the
13 various limits, you shouldn't be presuming that the package
14 is going to be in the same shape as it was when it left the
15 fabricator.

16 So that's a consideration. And in some cases, if
17 you're talking 100 to 150 years, this question of direct
18 disposal may be mooted by other concerns that come up in that
19 period.

20 LESLIE: Jim, thanks.

21 And for my rapporteurs, I'll help them here a bit.
22 Jim was talking about an issue that is related from canister
23 loading down to disposal, which is, basically, if you have a
24 lot of different types of canisters and you try to directly
25 dispose, that means you're going to have to evaluate the

1 behavior of those things when it comes time to disposal.

2 RUBENSTONE: And just to clarify--

3 LESLIE: Jim.

4 RUBENSTONE: --in the performance assessment it's more
5 than just does this contribute or does this not contribute.
6 But the fact that some material is there has to be treated--
7 and I hate this word--synergistically with everything else
8 that's going on, because it may, in fact, change the
9 behavior, you know, the local behavior in a given canister as
10 opposed to saying I can analyze this one set of conditions
11 and then extrapolate out to the multiple canisters that are
12 all the same and just treat that probabilistically.

13 So it just makes your performance assessment
14 somewhat more challenging. Not saying it can't be done, but
15 it does sort of add the burden there.

16 LESLIE: I'm going to--how about if you just hand the
17 microphone next, then I'm going to go Halim, Rod, and Jean.

18 BOYLE: William Boyle, DOE. This topic I'm about to
19 bring up, it's an e-mail I just received. It doesn't matter
20 who I got it from, but I think it's a topic of interest to
21 some people in the room.

22 The judgment in the NARUC case, the National
23 Associated Regulated Utility Commissioners, it's the lawsuit
24 about the mill per kilowatt-hour fee; it was just released.
25 The Secretary of Energy is ordered to submit to congress a

1 proposal to change the fee to zero until such a time as
2 either the Secretary chooses to comply with the act as it is
3 currently written or until Congress enacts an alternative
4 waste management plan in accordance with the opinion of the
5 court filed herein this date.

6 LESLIE: Thank you, Bill, for adding an additional
7 complexity. Okay. So let's get back to this, and we'll have
8 Halim and then Rod and then Jean.

9 So, Halim, is that you?

10 ALSAED: Yes, yes, Halim Alsaed. The point I would
11 bring up here is about the subset of canisters in storage
12 right now, the 300 or so canisters, that are single-purpose
13 for storage only, and they're not transportable based on
14 their current design, because they don't meet either
15 structural requirements or criticality requirements. VSE-24s
16 at several of the sites, including Palisades, are an example
17 of those canisters.

18 If the repository safety case relies on the
19 geology, to say preclude presence of water, and so in those
20 canisters are water with a significant amount of chlorine in
21 it, 6 molal as Ernie just mentioned earlier, which would be
22 sufficient to demonstrate subcriticality in those canisters,
23 or we rely on an engineered overpack to preclude water as
24 well for the duration of the regulatory period, then we'll
25 have solved the disposal question for those single-purpose

1 canisters that are already licensed for storage. The only
2 gap we have is transportation. To repackage them for
3 transportation, even though they meet disposal requirements,
4 it seems to be an unduly unnecessary step.

5 So the question is or the issue that has to be
6 resolved, there's regulatory aspects that have to be met, but
7 there is room for exemptions from those regulatory
8 requirements. Should those exemptions recognize the fact
9 that those single-purpose canisters are disposable now, and
10 they don't really need to be packaged or repackaged.

11 LESLIE: All right, thank you. And that's more over in
12 that session, but we've captured it anyway in terms of
13 repackaging, because this session is really looking at DPCs
14 and moving forward.

15 ALSAED: Certainly, but the issue has always been those
16 single-purpose canisters were considered outside of the
17 disposal category, and I want to put them back in that
18 disposal category.

19 LESLIE: Okay. Rod, are you going to be ready?

20 McCULLUM: I am ready.

21 LESLIE: Okay, there you go.

22 McCULLUM: I was just forwarding the good news. We're
23 celebrating that decision.

24 But, you know, getting back to this question of
25 more complicated performance assessment, and obviously,

1 looking at what would be involved in cutting open these
2 welded systems and all that, I'd rather give the performance
3 assessors more work to do. But in that regard, I would point
4 out that one size does not have to fit all here. As a first
5 order principle, there's probably a lot of parameters we can
6 address by bounding, and I know sometimes performance
7 assessment guys don't like bounding analysis. But, you know,
8 there's a lot of things about these casks that we can say,
9 well, you know what, if we just assume something pessimistic
10 here, that takes care of these parameters.

11 And then beyond that we may find of the 1,771 casks
12 we can only do that or somehow complicate the performance
13 assessment and specify it and tailor it for 1,631 of the
14 casks. Well, then you might have a more limited set that you
15 can't directly dispose of, okay? But, again, if you start
16 out with that initial condition and you find you have an
17 outlier and you have to deal with 50 outliers as opposed to
18 1,700 outliers, you really advance the system, and you put
19 the performance assessors to good work to define that. And I
20 think the guys that are sitting at computers where there's no
21 radiation exposure and heavy lifts and disrupting of reactor
22 operations, those are the guys that should be doing that
23 work.

24 LESLIE: Actually, did you have your hand up? Yes. And
25 then I'll come up to Andrew.

1 SISLEY: I just wanted to comment on the store-only
2 canisters. I think the comment has been made that they're
3 not transportable, and that's just not true. They're just
4 not licensed for transportation at this point, and there's
5 lots of things that we can do as an industry to get those
6 transported. So just keep that in mind. And it'll have to
7 be a decision where we weigh off the benefits of licensing
8 those canisters for transportation versus opening up those
9 canisters and repackaging the fuel. So I think we need to be
10 careful about saying that those canisters are not
11 transportable. They're just not certified for transportation
12 at this point.

13 LESLIE: And because I can't keep track of everyone's
14 name, could you repeat your name again?

15 SISLEY: Steve Sisley, EnergySolutions.

16 LESLIE: And, again, for people who aren't experts, are
17 we talking about the bare fuel when we're talking about the
18 non-transportable, or is it something else?

19 SISLEY: We're talking about spent fuel that is
20 currently packaged in casks, canisters, that are not licensed
21 for transportation. They're only licensed under 72 for
22 storage.

23 LESLIE: Okay, thank you for that clarifying response.

24 I'm going to come up front, and then we'll head
25 back to the back row here. Andrew.

1 SOWDER: Andrew Sowder, EPRI. At risk of disrupting a
2 very collegial discussion here and stating some heresy--and,
3 again, I'm just putting this out here--I'm hearing a lot of
4 discussion about--and certainly understandably so--about
5 preventing failure--any failures of the package or even the
6 repository system, you know, again, essentially zero risk is
7 where a lot of the discussion, a lot of the engineering, is
8 focused on.

9 But when you're looking at 100,000-to-a-million-
10 year horizon, the idea that--it's going to fail. One way to
11 look at it is, well, let's talk about managed failure and do
12 putting in your DPCs--can that be accommodated within a risk
13 perspective where a leaky repository is a much more equitable
14 distribution of risk over time and could in essence improve
15 your overall performance, again? Perhaps heresy--and I'd be
16 happy to hear the responses to that--but we're talking about
17 a systems approach and also, if we're talking about a
18 performance-based compliance standard, it's not saying zero
19 risk; and we're looking at uncertainties over tens to a
20 hundred thousands of years. Thank you.

21 LESLIE: Thank you, Andrew.

22 Rod and then the back, because I--

23 EWING: Rod Ewing on the Board. Just a comment. I
24 think, actually, this is what we do. I mean, we have a
25 regulation that very long time periods would be 100 millirem

1 to the exposed, so this is a leaking repository. And so the
2 risk is managed by the regulation and judged to be
3 appropriate. So I'm not sure which direction you're--

4 LESLIE: That's fine. That's a good enough
5 conversation.

6 Back row, either Jeff or Brian.

7 WILLIAMS: Yeah, this is Jeff Williams. I just want to
8 comment on Steve Sisley's remark about these are not
9 certified for transportation. Well, in fact, the storage
10 ones are not certified for transportation, because they
11 weren't really designed for transportation. So if you look
12 at quite a bit--if you take the CONY (phonetic) canisters
13 that are sitting down there, and then you go to the ones at
14 Rancho Seco and you see the differences in design, to make
15 them transportable, it's quite a bit different. They've got
16 additional structural plates in them. They have flux traps
17 in them. They have neutron absorber materials in them. So
18 it would be quite a challenge, I think, to make those
19 storage-only canisters transportable.

20 That was my only comment.

21 LESLIE: Okay. And I think I've forgotten Jean, so,
22 sorry, Jean.

23 BAHR: Jean Bahr from the Board. There are two columns
24 on this Matrix G and J, loading into disposal overpack. And
25 this expresses my ignorance somewhat, but at some point the

1 canisters themselves may become so large that the overpack
2 that you have to put over them, well, the canisters might be
3 transportable and disposable, but where does the overpack
4 become a limit on feasibility of hoisting, size of drifts or
5 holes that you might want to put these things in?

6 LESLIE: And, Jean, thank you for perfect behavior in
7 terms of identifying where we are. And, again, this was--you
8 know, basically she has pointed out the issue of these
9 canisters. Even though they'll be shipped and transported,
10 they'll probably go into an overpack, or if there's a
11 standard one that's already transported in the future, the
12 size of those overpacks, does it constrain disposal options?

13 And I'm going to let Tito, and then we'll go back
14 to the back.

15 BONANO: Tito Bonano from Sandia Labs. That's certainly
16 one of our considerations. I think in one of my slides
17 yesterday again--I think it was Slide 12--I said, you know,
18 you look at the DPCs by themselves as roughly about 50 metric
19 tons. Then when you add the overpack, you're adding another
20 20 to 30 metric tons to that. So you're looking now at 70 to
21 80. Then you put the shielding for transport, and you add--
22 you know, it becomes from 70 to 80, and it goes to 140 to 160
23 metric tons. And then when you add the cart and you're
24 putting it down vertical holes, then you're talking about a
25 175-metric-ton weight going down a shaft.

1 So that kind of gives you a perspective of how
2 heavy these things are, and that's why sometimes we refer to
3 them as the big honkers; okay?

4 The one thing that we have not talked about--
5 because we're assuming that once the packages get down they
6 will never come up--if they have to be retrieved from the
7 underground, you need to have--now you're talking for the
8 hoist you have an additional weight of the cables and all
9 that stuff. So these are really heavy--you know, hot and
10 heavy just like me.

11 LESLIE: Thank you, Tito.

12 Do we have any other--let me test the audience. Do
13 we need a short break, or do we want to continue a little bit
14 more?

15 SPEAKER: I'd vote for a break.

16 LESLIE: Okay, we'll let Rod do one last comment, and
17 then the group will take a quick 10-minute break so that we
18 can come back and get reenergized and try to focus on, again,
19 identifying the issues as we move forward. So, Rod.

20 McCULLUM: I just want to kind of second what Tito said.
21 And that's an excellent use of the matrix, because loading
22 into the disposal container does appear on there twice. And,
23 you know, the short answer--is that a constraint, is no. But
24 the reason it's a no is why that's useful, because those are
25 all design parameters. Those are all ramp-versus-shaft

1 questions. How big of a crane question do you need? Because
2 it goes without saying, you're not going to put the disposal
3 canister on the road.

4 And that goes--and I'm sorry if I'm a broken record
5 here--that goes to the value of setting the initial
6 condition, because once you set that as the initial condition
7 that we're talking overpacks here, now you have to address
8 those design parameters. You have to draw those arrows.
9 Does it make sense to do a shaft? Does it make sense to--do
10 I have to do a ramp? Do I have to manufacture these things
11 on site now that they're so big? But that's all about
12 focusing the design and sending the design off in a direction
13 where the arrows do end up at disposal down there, which is
14 where we're all trying to get.

15 LESLIE: Okay. So I have about 10:30, and we'll take a
16 10-minute break, get up and stretch, and I'll actually have a
17 bag of open candy at the back of the room when you come back
18 in.

19 (Whereupon, the meeting was adjourned for a brief
20 recess.)

21 LESLIE: If we could have people take their seats,
22 although not everyone's back, I want to try to get this show
23 back on the road. Of course, I'll let my rapporteurs get
24 ready to exercise their fingers a little bit more here.

25 And kind of just to check in where we're going in

1 this process, although we've put this framework together and
2 we're trying to get people to do it, it was one way to try to
3 guide the discussion. And rapporteurs are taking as good a
4 notes as possible. When you see what they report out this
5 afternoon, understand it's what we've heard, we're going to
6 rely on the transcript as the Board develops the issues and
7 probably puts them into this matrix and posts them. But just
8 realize that I'm going to allow the discussion to kind of go
9 the way it's gone so far. To the extent that folks can put
10 it in this framework, that's fantastic. But I'm not going to
11 disrupt things to kind of force it that way.

12 So, again, that's kind of where we're at. You'll
13 hear the ideas this afternoon being reported out. And if we
14 totally missed the point, you'll have the opportunity to
15 raise your hand, because that will also be facilitated so
16 that we can clarify things there as well.

17 So that's just kind of where we're at. I wanted to
18 check in with you and let you know we're doing okay. But we
19 still have an hour and 15 minutes more of issues to get out
20 on the table. So, with that, are there anyone right now that
21 wants to start the conversation again or with a question?

22 Okay. Yes, Rod. Hold on one second.

23 Devonya, did you manage to find paper?

24 DEVONYA: Yes.

25 LESLIE: Okay, thank you. Go ahead, Rod.

1 EWING: This may put us a little off the track of
2 previous discussions, but sitting here I imagined 20 years
3 from now--some of us aren't here, probably I'm not here--but
4 we regather and we could well be discussing the same
5 situation. That's the sad reality.

6 And so I guess the question that occurs to me is:
7 If we had to make a list of actions we could take related to
8 these diagrams that would maintain flexibility, are there
9 things we could do now that would allow the group that meets
10 10 years from now a wider range of options? And one point
11 that came up in discussion over the break was: What if all
12 of these casks were bolted instead of welded? Would that be
13 a positive step in terms of flexibility? And there must be
14 other actions that could be taken.

15 LESLIE: Any follow-ups? Yeah, Rod, in the back.

16 McCULLUM: Well, I can certainly see how there would be
17 advantages to going forward we'll do the bolted casks. Of
18 course, the utilities have reasons now for loading the welded
19 systems, and those reasons lie exactly in that concept of
20 flexibility, because with that flexibility comes uncertainty.
21 And I guess what I'm trying to push for here is, let's get
22 some certainty on the front end of the system; let's get a
23 direction; let's head towards that direction within that
24 flexibility.

25 But as long as the utilities don't see a program,

1 if there's a very real program that is demonstrated, it's
2 going to be taking these bolted system, then again you invoke
3 the TAD precedent. As was shown in the TAD, the utilities
4 were willing to load TADs, because they knew there was a
5 program on the other end that was going to receive them.

6 But I don't think you'll--you know, this is a free
7 market economy. We've got three vendors working in this
8 field. They're very competitive. They're very innovative.
9 You can't put that constraint on absent having something that
10 is probably less flexible than you like on the other end.
11 Having a program that convinces the utilities, they're going
12 to tell the vendors, no, I want a bolted cask, when
13 everything else in my business case is telling me to load a
14 welded cask. So you're going to have to give up some
15 flexibility to get us there, I think.

16 LESLIE: Okay. Jean.

17 BAHR: Following up on what Rod said in terms of
18 decisions we could make now, given that the sheer size and
19 weight of some of the larger casks may place significant
20 constraints on what kind of a setting you can site a
21 repository in, would it make sense to place some sort of a
22 maximum size on canisters and casks going forward,
23 recognizing that we already have some that are quite large,
24 but would that give us flexibility, and what would be the
25 trade-offs? And I recognize that there's economic trade-offs

1 for the utilities, and in particular the reason that they're
2 going to the large casks is because of economics.

3 LESLIE: Well, okay. We'll continue the conversation
4 with Rod. And that was Jean Bahr before.

5 McCULLUM: On behalf of the industry, I can answer the
6 most basic trade-off is, if obviously you've placed a limit
7 on the size of the casks, then we would have to load more
8 casks; we would incur more radiation exposures; we would
9 incur more expenses. And then the problem of how many casks
10 already loaded we have to deal with in the future would also
11 be exacerbated, because we would have, in fact, loaded more
12 casks.

13 And, once again, I continue to be a broken record.
14 The only thing that would drive right now a competitive open
15 free market industry to accept that constraint would be a
16 very real program on the other end, a reason to load smaller
17 casks, because right now we are enhancing safety and meeting
18 ALARA goals by loading fewer casks, which means loading
19 higher capacity casks. And I think that is the most
20 important thing at the power plants right now.

21 LESLIE: Thanks, Rod, for bringing the perspective of
22 the workers in as well. I think sometimes even in disposal
23 we take for granted the real risk with the operations. So I
24 appreciate the perspective. Thank you.

25 Other questions? Steve in the back, and then we'll

1 get a new person going here. Could I remind folks to
2 identify themselves? That was previously Rod McCullum. And
3 now?

4 FRISHMAN: Steve Frishman, State of Nevada. Earlier
5 there was just sort of a half a line that I think probably
6 needs a little more exploring, and that's that we're at a
7 point now where the nature of the fuel itself due to high
8 burnup is changing rapidly. And so the balance of the
9 inventory is changing rapidly. And there was a question
10 raised that nobody ever sort of latched onto, and that's
11 that, is there some point at which we could say today's case
12 is one case, the future is another? And today's case we know
13 what we have. We know that the DOE is just starting a
14 program sort of looking into what the implications of that
15 are to the point of using fuel that is already irradiated.

16 And is it logical that there is some kind of a
17 break where going forward we could, very much as you're
18 suggesting, maybe have a slightly different world for what is
19 now being produced and what is going to be produced relative
20 to what we already have in hand and either know a lot about
21 or have at least the beginnings of a program to know a lot
22 about it.

23 LESLIE: Thank you, Steve. And then we'll come up to
24 Efi, and then we'll go to Andrew.

25 And identify yourself.

1 FOUFOULA: Yeah, I wanted to come back to the point--

2 LESLIE: Efi--

3 FOUFOULA: Efi Foufoula with the Board. I wanted to
4 come back to the point of, you know, what is more safe in
5 transporting, what is safe in a repository. And I want to
6 just start by saying that in my mind--I was discussing at the
7 break--we're talking about the evolving landscape of a
8 nuclear waste repository; that is, we're not talking about a
9 Yucca Mountain or a subsurface kind of medium that we worry
10 about. We worry about transportation over the whole U.S.
11 And the time scales of risk safety are completely different;
12 that is, the time-scale of risk in the accident that happens
13 because of transportation is of the order of a year to 10
14 years as opposed to 10,000 years or a million years in a
15 repository.

16 So how to put all this together is a new arena. I
17 mean, you cannot compare the risk of something that might
18 happen, the unknown or known, versus something that you know
19 that you have control. And also you have to add to the
20 10,000 or 10,000,000 years safety the issues of being able to
21 have a flexibility because the quality changes.

22 So, again, what I want to bring up is something
23 that we started talking about in pieces, that the time scales
24 and the regulations that have to change to address both the
25 short time transport surface issues versus long-time safety

1 and subsurface brings us in a completely different initial
2 condition and makes the problem more difficult. But I wonder
3 whether we can demonstrate that more flexibility, new
4 technology, can really demonstrate more safety for the
5 overall systems approach to the whole problem.

6 LESLIE: Thank you, Efi. Andrew is going to be next.
7 Actually, before I go to Andrew, I got a note handed to me--
8 and thanks for my support staff. Anyone who asks questions,
9 please make sure you did sign up on the front table, because
10 we want to make sure we get your names right for the
11 transcript. And so that's just a reminder.

12 Sorry, Andrew, go ahead.

13 SOWDER: Andrew Sowder, EPRI. I do want to put the
14 technical question of high burnup fuel into some context,
15 because I think just by the very fact that we now have high
16 burnup fuel going into dry storage indicates that fuels have
17 been driven to higher burnups for quite a while now. And so
18 we do have, actually, an understanding of the behavior and
19 some of the properties. We don't have the extent to which we
20 understand the lower and older fuels, but industry and other
21 groups have been collecting data on this for decades now. So
22 it's not an unknown, and there are issues that have been
23 raised, and those are being addressed now.

24 But I just wanted to give a little bit of
25 perspective that it's not that we're just now starting to

1 look at high burnup fuel. What we are doing is we're just
2 now starting the high burnup confirmatory demonstration
3 project. But certainly the actual properties of the
4 cladding, etc., those have been the subject of multi-year
5 programs, international programs, for many years. And so I
6 just want to kind of give that perspective. But there is a
7 body of knowledge out there, addressing high burnup fuel and
8 its performance.

9 I just want to point out one thing. In terms of
10 context and perspective, the most extreme environment that
11 the fuel will likely encounter in this system is while it's
12 in the reactor, being driven very hard for a purpose. Once
13 you get it out into storage and certainly hanging out in an
14 inert environment at lower temperatures, if you look at this
15 systematically, the fuel is not in an extreme environment.
16 And so, again, I think a lot of times people tend to look at
17 this in a compartmental fashion. But the fuel was designed
18 to operate in a reactor, and the conditions it's experiencing
19 under dry storage are actually very mild, and most of the
20 fuel will do quite well.

21 And that's just a--that's not a technical
22 statement; that's just more of a perspective statement.

23 LESLIE: Thank you, Andrew. And I'm going to go to
24 Ernie and then over to Jean.

25 HARDIN: Sure, this will be quick. Hardin, Sandia Labs.

1 On high burnup I have a perspective on thermal for you.

2 LESLIE: Thank you.

3 HARDIN: It is going to be necessary to be able to
4 safely transport the fuel to the repository up to a hundred
5 years after reactor discharge. That hundred is a somewhat
6 round number. I could go into the reasoning here, but
7 especially for high burnup fuel, which has more heat output
8 obviously, we need to be able to age that longer and to lay
9 the eventual emplacement in the repository. So a hundred
10 years is a nice round number.

11 LESLIE: Okay. Well, I'll bring it back over here. So
12 does that mean this is an issue for hundred-year storage at a
13 reactor? Does it mean--and, again, I'm playing through this.
14 Does that mean this facility doesn't get decommissioned for a
15 hundred years? I'm being very--pushing the envelope here--
16 but does it mean that you think about centralized storage for
17 some part of it? How does that--given that you're going to
18 have to store it before you transport it, that's pretty
19 enlightening.

20 So I'm going to go Rod and then to Jim.

21 HARDIN: Hardin, Sandia. It may not be universally true
22 for all geologic settings, but a hundred years, like I said,
23 is a round number.

24 LESLIE: Sure. Jim, did I see your hand, too? I'll go
25 to Rod and then Jim and then Rod. Rod McCullum--oh, sorry,

1 Jean.

2 McCULLUM: Yeah, I think that's a good distinction. Now
3 you've got some connections between some of your boxes here,
4 because what you're talking about is, it makes more sense to
5 transport earlier before the degradation mechanisms may be of
6 much of a concern. But then it makes more sense to dispose
7 of later. So are you talking about an aging management plan
8 at the repository? Are you talking about parameters that
9 affect where the central interim storage facility is located
10 vis-à-vis where the repository might be located? Which
11 brings into play the two decision-making processes, which
12 they'll come in in the licensing anyway.

13 And this gets to this question of looking at the
14 certain risks, you know, the things that can happen to you in
15 a one-to-ten-year time frame and finding a way to value those
16 against the longer-term risks. I mean, when I was looking at
17 Yucca Mountain, I used to think, okay, you know, we're
18 arguing about less than a dozen millirems to some
19 hypothetical individual that's going to be here thousands of
20 years in the future, and we're making decisions that are
21 going to expose real people to slightly more amounts of
22 radiation here in the present day.

23 So does system need the issue? Now, I can't answer
24 those questions. But the system needs a way to prioritize
25 and value the relative risks so that you can make decisions

1 about when do you transport, when do you dispose, and how do
2 you balance off the two?

3 LESLIE: Thank you, Rod. And I'll get back to Jim and
4 Rod Ewing. First, Jean.

5 BAHR: Jean Bahr from the Board. I wanted to get back
6 to this issue of the packaging risk, that loading things in
7 larger packages now certainly limits the risk to the workers
8 at the plant. But are we fully accounting for the fact that
9 that could then require repackaging and more risk, not in the
10 ten-thousand-year time scale, but in the hundred-year time
11 scale, to other workers? So I think one of the dangers is
12 that we're compartmentalizing things and not looking at the
13 disposal system there. So I accept that you're minimizing
14 risk at the reactor by what you're doing, but that might not
15 minimize the short-term risk.

16 LESLIE: Thank you, Jean.

17 RUBENSTONE: I just wanted to get--

18 LESLIE: Identify yourself.

19 RUBENSTONE: Jim Rubenstone, NRC. I wanted to get a
20 clarification. I think what Ernie was referring to is that
21 the hundred-year time scale is for disposing of high burnup
22 fuel in order for its thermal outputs to be more
23 accommodating to a geologic environment.

24 HARDIN: Yes.

25 RUBENSTONE: Yes, because the question of transport of

1 high burnup fuel is a separate issue. And the NRC is
2 reviewing several certifications now for transport of high
3 burnup fuel, and it certainly will be possible well before a
4 hundred years of storage to transport high burnup fuel
5 safely. And one of the questions that has come up--and the
6 Chairman mentioned this as part of her comments yesterday--is
7 one of the evolving issues in high burnup fuel.

8 And I understand Andrew's perspective on the
9 reactor environment being more aggressive than some storage
10 environments is that if hydride reorientation is a phenomenon
11 that we need to be concerned with and the information out
12 there is developing, then there may be issues with what
13 people refer to as a ductile to brittle transition in certain
14 types of cladding as the fuel cools. So in some sense
15 transportation of warmer but not very hot fuel may have a
16 lower risk of degrading cladding than letting it sit for a
17 hundred years at a given site. So there are different issues
18 for the different legs of the concern.

19 And Dr. Bahr's point about transferring risk, I
20 think, gets back to the idea that we need to look at this as
21 a system that if you're optimizing certain aspects from a
22 risk point of view--and I know optimization is not a popular
23 phrase in the U.S. environment for waste management; it has
24 been used more in other international context--is that you
25 well may be making things okay for a given operation without

1 considering the full range.

2 Now, NRC as the regulator tries to take a broad
3 enough view that, as long as we set regulatory standards and
4 ways of meeting them for any given operation, that you're not
5 necessarily disproportionately weighting the risks to one
6 operation rather than another. And that gets to Rod's point
7 about how you set limits for performance of a repository for
8 some hypothetical individual at some point in the future.
9 The whole idea of the regulatory framework is you're not
10 directing the burden necessarily more to one place than
11 another, but you're setting acceptable levels of risk at any
12 stage.

13 LESLIE: Before you give up the microphone, let me ask a
14 clarifying question. And I see a couple other new hands.
15 And I still have Rod Ewing to get the mic to.

16 But, Jim--and this is kind of a tie between the
17 hydride and something that Rod said and, I think, maybe
18 Ernie. So it sounds like--and I may be completely wrong, but
19 there is a time frame in which this cooling--and you can take
20 cooling as a function of time--it becomes problematic if it's
21 cooled or stored for too long, and then it couldn't be
22 transported or--

23 RUBENSTONE: Potentially. I think there's still a lot
24 of evidence that needs to be gathered, and this gets into
25 some of the constraints that are placed on how long fuel

1 resides in a pool before it goes into dry storage. There are
2 strict limits--industry, I think, often doesn't hew strictly
3 to the strict limits of how long you have cooling before you
4 put it into storage. It gets into how you load different
5 canisters. Of the loaded population of canisters out there,
6 not all of them were loaded to their thermal limits at the
7 time.

8 So I think this gets into some of the discussion of
9 doing screening on individual canisters. Of the 1,700-odd
10 that are out there now, some of them are probably already
11 cooler than one would predict. And this circles back to
12 another hat that I wear in the NRC about looking at some of
13 our extended storage issues. In general, the constraint that
14 people load to thermally going from pools to storage is,
15 during the drying is when the fuel experiences the highest
16 outside-of-reactor temperature. And there's a 400C limit
17 that NRC puts on that, because during the drying process,
18 before you've backfilled it with the inert gas, in the vacuum
19 the fuel is less effective at getting rid of its heat.

20 So there are models--the thermal models for
21 evolution of the fuel in dry storage are too conservatively
22 to not hit that temperature limit during the drying stage.
23 What we're lacking--and probably this could be contested as
24 well--what I feel we're lacking is enough validation of the
25 models about how conservative they are to the warm side. I

1 don't know how close we're actually getting in practice,
2 because we don't, in fact, measure temperatures directly
3 during the drying process.

4 And then as time goes by, if the models are biased
5 to keep it below a given temperature during the drying
6 process, after decades of storage, when does it start passing
7 into cooler regimes where you may have other issues coming
8 up, one of which may be this ductile to brittle transition,
9 other issues relating to performance of the canisters in
10 service.

11 And I'll put in another plug for DOE sponsoring
12 this high burnup demo. One of the major benefits of this is
13 not that it's just going to be a "close it up and look in ten
14 years", but we want to try to get monitoring information,
15 including temperature and other parameters in essentially
16 real times so we can validate some of our models.

17 LESLIE: Jim, thank you for a very long, clarifying
18 remark. Can we pass it over to someone new first, and then,
19 Rod, we'll get to you?

20 PHILLIPS: Thank you.

21 LESLIE: Your name?

22 PHILLIPS: Chris Phillips from EnergySolutions. I just
23 wanted to come back on the commentary about
24 compartmentalization and how, if the utilities reduce their
25 worker dose uptake by using the biggest canisters, that could

1 well have implications down the line for other workers' dose
2 uptake. That's absolutely true. But I wanted to make the
3 point, I don't think we're going to resolve that until the
4 nation has a plan for how it's going to actually deal with
5 the UNF of a repository and a consolidated store. Until you
6 have a system that's planned, you can't do an assessment of
7 the overall safety of the system, because it doesn't exist.

8 So inevitably I fear we're going to be stuck with
9 utilities doing what's best for them until we have an overall
10 plan within the U.S. for what we're going to do. And it's
11 actually got worse, because we haven't got any repository
12 now, of course. It's actually got worse rather than better.
13 It's a bit of a bleak assessment, but I don't think anything
14 is going to happen until there's an overall system against
15 which you can judge. Then you might be able to work with the
16 utilities to get them to do stuff that will reduce overall
17 costs and dose uptake throughout the entire system. But you
18 won't do it until you've got that.

19 LESLIE: Thank you, Chris. And now I'm going to go to
20 Nigel. And can people quickly raise their hands so I can
21 keep track of other people who want--okay, thank you. Go
22 ahead, Bob--I'm sorry, Nigel.

23 MOTE: I'll try to do an imitation, yes. I have to
24 stand and I have to speak faster.

25 So, just to follow up on and give a counterpoint to

1 Andrew's point about high burnup fuel, there's a lot of
2 experience; there's literature; we all look forward to the
3 DOE high burnup fuel demo. All of that's positive. But I
4 point out that we know precious little about the behavior of
5 high burnup fuel as a waste form, how it corrodes. If you go
6 to the literature and look for very simple corrosion studies
7 of high burnup fuel, there are very few, and that's because,
8 of course, it's difficult to do.

9 On the point of extreme environment, certainly
10 in-reactor conditions for UO₂ are very extreme. But as a
11 material, the really extreme environment for UO₂ is UO₂ in
12 contact with water, a few bicarbonate molecules in it. So
13 that's where UO₂ alters very rapidly. So that's the extreme
14 environment, in other words, the disposal environment.

15 And all of this is by way of emphasizing the
16 importance of the package. So if the large casks are very
17 durable and provide an excellent barrier to access of water
18 and so on, then that's attractive. But I think we have to
19 pay careful attention to the geologic disposal.

20 LESLIE: Okay. I'm going to get one person over here,
21 and then I'll go to Ernie. And it's not Mary Lou Retton;
22 it's Mary Lou Zoback.

23 ZOBACK: Mary Lou Zoback, Board. I've been listening to
24 this discussion and all the wonderful points that have been
25 raised. And it's a bit hard to get my head around, but the

1 gentleman behind Tito who just spoke--oh, sorry--without a
2 final plan, there seems to be infinite number of
3 possibilities, and that's extremely frustrating. And Tito
4 did an excellent job of kind of framing what the final plan,
5 the geology of the final plan, the configuration of the
6 repository, how that would impact things.

7 And I hope we're all still thinking the potential
8 for multiple repositories. I know that everybody's so beaten
9 down that it's hard to even imagine you could ever get one,
10 but maybe two different geologies might provide more
11 flexibility in thinking of flexibility.

12 But the issue I want to raise is really--I can't
13 tell you which box it is, because I think it's a whole bunch
14 of boxes, and it's the value of data. And I think you
15 mentioned it, you know, we're kind of assuming everything's
16 performing--all of X canisters perform a certain way. And
17 they've been sitting--some of them have been sitting on the
18 ground for 25 years, right? We heard the problem's been
19 around for 25 years? How are they performing in terms of
20 temperature and things like that?

21 The more data we can get--I was so impressed with
22 the Germans. Here their program is halted, but they've been
23 testing everything a thousand times and putting it in, taking
24 it out. And, you know, we need data. We've spent a lot of
25 time with finite element modeling. That seems to be very

1 popular, but as much flexibility and as much data, I think,
2 will help improve the flexibility and constrain the infinite-
3 finite element model.

4 So that's not very helpful, but I feel like we're
5 missing the data we need. And that goes to helping inform
6 the risk evaluation.

7 LESLIE: Thank you, Mary Lou. Ernie? And then we'll
8 come back and--

9 HARDIN: Yeah, Bret. Hardin, Sandia. A quick follow-up
10 to the transport of high burnup fuel up to a hundred years.
11 I think getting it to the repository and getting it
12 underground are two separate events, but they may both be
13 subjected to the same regulatory test. So I'm not convinced
14 that just getting it there is enough, that the condition of
15 that fuel needs to be known so that we can get it underground
16 also.

17 LESLIE: Just checking with my rapporteurs.

18 SOWDER: Andrew Sowder, EPRI. Just a little bit of
19 feedback on the request for data. Certainly the utilities
20 and the industry have heard the call and, I think, definitely
21 agree. And to that end, we are starting to look at doing
22 some of the first in-service inspections of some of these
23 systems; because, you're right, they were put out there on
24 the pad, and we're just now getting the opportunity to go in
25 there and start looking at in-service inspections and trying

1 to come up with non-destructive evaluation techniques and
2 those sorts of things.

3 But, again, that work is just now beginning, and
4 hopefully we'll be getting more and more data coming in.
5 This is not necessarily part of the demonstration program;
6 this is in parallel with that. And I know the Department of
7 Energy and probably the Nuclear Regulatory Commission are
8 also sponsoring parallel efforts, doing separate effects
9 testing and that sort of thing.

10 So all of that--you know, the whole point of, I
11 think, my comment here is just to reaffirm what you had said;
12 and I think everyone recognizes that need. And eventually
13 the industry is working towards an aging management plan,
14 because, again, these things weren't supposed to originally
15 be aging to this extent where they needed an aging management
16 plan, but given that's where we are today, you know, I think
17 the recognition is there, and you need the data to support
18 that so you understand what needs to be monitored and
19 managed.

20 LESLIE: Thank you, Andrew. And I think I'm going to
21 allow my rapporteurs, who I've had my back to them most of
22 the time, they did get my--go ahead.

23 FRANKEL: Gerry Frankel, Board. So it's going to be my
24 job to try and bring this together this afternoon. And what
25 I'd like to do is to try and formulate a narrative and throw

1 it out to you and let you respond to it and let me know if
2 it's crazy, okay, and maybe what should be changed. And
3 maybe that can direct some of the discussion till noon.

4 So I think we all here will agree that repackaging
5 is complicated, expensive, potentially dangerous, and so
6 there's a lot of simplicity and advantages in direct
7 disposal. And we have talked about maybe separating what's
8 been done in the past and maybe in the future to improve the
9 likelihood of success, let's say, or improve the whole plan
10 for direct disposal.

11 And Tito really formulated or threw out the three
12 areas, three real concerns, which were the weight, the
13 thermal effects, and the criticality, postclosure
14 criticality. Those are the three he talked about. And then
15 Rod mentioned maybe the fourth, which would be environmental
16 stability. But is it possible that there really are
17 engineering solutions based on good science to deal with all
18 of these issues, that handling heavy things--I don't know,
19 it's an engineering problem. Maybe there are ways to do
20 that. So, to me, that doesn't seem to be a deal breaker.

21 Thermal effects, well, it's all about the design of
22 the repository, spacing of the drifts, spacing of the
23 canisters, depending upon the geology. But it can be
24 handled, it seems to me.

25 Criticality issues, criticality control, maybe can

1 be improved going forward with smart designs of canisters
2 that are formulated with the idea of direct disposal in mind.
3 And, of course, we have to maybe deal separately with the
4 ones that are existing now.

5 My specialty, actually, is corrosion. So I think
6 that we can deal with environmental issues separately with
7 smart solutions, considering overpack that will be specific
8 for a given final geology that's going to be decided later.
9 But maybe we can just bend that and say we're going to be
10 able to deal with the specifics, whether it's saturated salt
11 or clay or whatever. We'll be smart about that later.

12 Then there are issues with high burnup fuel and
13 when to transport and when to store. But there seems to be a
14 way, a smart way, to deal with all of that.

15 So is there a narrative that makes sense where you
16 can say we have some very big packages now and lots of
17 different sizes, but let's try and constrain that as best as
18 possible by harmonizing the regulators and the Department of
19 Energy and the utilities with a concept of moving forward
20 with direct disposal for the future in dealing with
21 packaging--dealing with this as soon as possible but then
22 having some--and maybe they're smaller--in the future they're
23 going to be smaller, let's say, to allow for easier transport
24 and handling but then separating out the--Mary Lou says that
25 maybe we have different repositories, maybe something that's

1 specific for these large packages that are going to have
2 thermal properties, and they're going to be handled
3 differently than the ones in the future.

4 So is this--my question then--and maybe to help
5 me--is this an area that makes sense, that can be a way to
6 move forward?

7 LESLIE: And, kind of, that's not really what we are
8 trying to do. What we're trying to do and report back is the
9 issues. And so--

10 FRANKEL: But are those the issues with direct disposal?
11 That's my question.

12 LESLIE: Okay.

13 FRANKEL: Are those the issues with direct disposal? Is
14 that the narrative to describe what the issues are?

15 LESLIE: Okay, that's helpful. So for the next couple
16 of minutes I'd like the participants to help Gerry make
17 sure--and Sue--make sure that they--based upon that's what
18 he's heard. And, again, during the lunch break Roberto over
19 there and myself will work on this. But now is an
20 opportunity for you all to kind of help clarify.

21 I'm going to start on this row. I'm going to go
22 Tito and the person who hasn't talked, Ernie, and then I'm
23 going to come up here. So, Tito.

24 BONANO: Tito Bonano from Sandia. So, Gerry, to answer
25 your question, there was another point, another nugget, that

1 I think is important to capture. There has been information
2 here in a variety of forms--I think Jean mentioned it--from a
3 systems perspective. I think Chris alluded to that, too, in
4 his comment, and so did Rod, when he said, you know, with
5 Yucca it was easy to convince the utilities to go to the TAD,
6 because we had an end game defined.

7 The main problem with--you know, the lack of a
8 system perspective is a problem. And it's going to be an
9 issue, because we do not know what that end game is. And if
10 you look back at the presentation I gave yesterday, we made
11 an assumption about what the regulatory framework would be
12 for that end game. There is no guarantee that the best way
13 to--you know.

14 So even our calculations and results we showed
15 yesterday are conditioned on the fact that we made an
16 assumption of what that regulatory framework would be for
17 disposal. We don't know whether that's going to be the case
18 or not. So the lack of understanding what the disposal
19 options are going to be is going to be problematic into
20 deciding, especially moving into the future, how do we have
21 that feedback mechanism from the real back of the back end to
22 the front of the back end.

23 So I think that's a perspective that I would
24 suggest--recommend including as well.

25 LESLIE: Thank you, Tito. And could you pass the

1 microphone down?

2 And could you identify yourself?

3 SCAGLIONE: John Scaglione, Oak Ridge National
4 Laboratory. Basically, I just wanted to discuss a little bit
5 about the summary on criticality control and what we can do
6 going forward. It was kind of hinted at a few times in
7 different people's talks--I know Andrew brought it up--that
8 they had looked at the consequences of criticality occurring
9 in a repository. This has been done at the Center for
10 Nuclear Waste Regulatory Research out in San Antonio.

11 And, you know, sure, there's a lot of things we can
12 do moving forward to help future DPCs that would help this
13 direct disposal of criticality. But, you know, we do have a
14 backlog of 1,800 casks also that we will need to deal with,
15 and that's going to grow over time. And, you know, going
16 with the risk-informed approach is the proper way to address
17 some of those issues concerning criticality with the existing
18 canisters.

19 Ultimately, our final product that we're looking at
20 is the dose to the persons standing out there thousands of
21 years from now. And what we need to understand is, what is
22 that impact on that guy if we do have a couple--we're not
23 saying that we're allowing criticality, but we need to
24 understand what the implications of that would be on the
25 dose.

1 LESLIE: Okay. And Ernie and then I think it was--

2 HARDIN: I could add something to your summary, which is
3 the importance of choosing a geologic setting. I know we're
4 not supposed to be talking about cost here, but I just wanted
5 to throw out some factoids for you. The long-lived neutron
6 absorber material proposed for the Yucca Mountain TAD would
7 have added \$400,000 to the cost of every waste package. And
8 if we go forward with a similar strategy, we're talking about
9 adding \$5 to \$10 billion to the cost of disposing of the full
10 range of inventory that we project from the U.S. commercial
11 side.

12 So these decisions matter. And the geologic
13 setting that you select is--the earlier we can do that, the
14 better off we are.

15 LESLIE: Okay, sorry, I'm forgetting where my
16 microphones are. And that was Ernie Hardin.

17 ALSAED: Halim Alsaed. I just want to add a few more
18 things to what John Scaglione and Ernie talked about
19 regarding the criticality safety issue. And I will keep the
20 focus of the discussion on identifying the issues rather than
21 proposing the detailed solution.

22 There are two pieces to it, as John outlined.
23 There is determination of the likelihood of a criticality
24 event in the repository, and there is determination of the
25 consequences of that event on the (inaudible). So the issues

1 that we have are: How do we go about determining the true
2 likelihood of a criticality event in the repository rather
3 than just some hypothetical condition that could or could not
4 occur?

5 The more you know about those DPCs, the 1,700 or so
6 that are loaded and whatever to be loaded, the more we can--
7 the better we can quantify that likelihood of criticality.
8 And I'm talking about two things, obviously the design of it,
9 but that information is easily attainable. But the other
10 piece is the fuel-specific information. We're crediting
11 levels of burnup for disposal criticality; there are a little
12 bit more than what's credited for transportation.

13 The more you know about those assemblies, their
14 history in the reactor, how they were depleted, their
15 specific design parameters, the more accurate your model is
16 of that system. And generally that leaves you to determine
17 that those assemblies are actually less reactive than, say,
18 models for transportation.

19 The vehicle to get that information was the RW-859.
20 2002 is the last draft of it. There is another one maybe in
21 the works. But there has been continuing efforts to get more
22 and more information into the RW-859 regarding assembly
23 design, depletion parameters, history, specific power,
24 burnable poison, a lot of that information that wasn't
25 available in the 2002 one and may or may not be available in

1 the next revision.

2 And there has always been an issue that we've have
3 had between DOE and the industry, a collaboration issue that
4 would allow for the most detailed information that we can
5 possibly get about those assemblies so we can determine the
6 reactivity potential.

7 So the issue is, how can we get DOE and the
8 industry to legally communicate a little bit better and maybe
9 get more information about those assemblies in a way that
10 would allow for more accurate or more precise modeling of
11 those systems to determine the actual likelihood of
12 criticality, which will be far lower than what we've
13 determined so far.

14 The second piece to complete the risk argument is
15 related to consequences. It's allowed by the regulation, it
16 was allowed by 10 CFR 63, but there has always been a
17 continued discomfort with performing a consequence analysis
18 because of political public perception, although it's allowed
19 by the regulation. And so the question here is, we are still
20 determining it's a low likelihood event, but what can we
21 change regarding the culture? And all parties--industry,
22 DOE, NRC, and the NWTRB certainly--to see if that path can be
23 explored; and if it can be explored, what formal steps can we
24 really take forward? How can we actually get that issue to
25 be put on the table, a decision made collectively by all the

1 stakeholders?

2 LESLIE: Thank you, Halim.

3 And, you know, as I've thought about this, I didn't
4 go through my ground rule at the beginning of the meeting,
5 and we've been very good without ground rules. No sidebar
6 conversations, please, if we can.

7 Rod, I'll get to you after Bill Boyle.

8 BOYLE: William Boyle, Department of Energy. I just
9 wanted to say that it seemed like a reasonable narrative to
10 me, but I want to put in a plug to not forget the point that
11 Jim Rubenstone made and that I made that, depending upon how
12 the future turns out--and none of us know--we could face
13 challenges well before disposal. If there is a long passage
14 of time and the materials change, there might be technical
15 questions related to storage. And the point I made is, if
16 there are repeated handlings, things may occur that pose
17 challenges related to storage as well.

18 So it's not just a disposal issue. There's the
19 possibility of challenges for storage and transportation as
20 well.

21 LESLIE: Thanks for bringing that back.

22 EWING: Just a quick comment on Ernie's call for knowing
23 what type of geology we would be dealing with. That's
24 certainly very important. The Board's been looking around
25 the world at other nuclear programs, and particularly

1 consent-based programs, and one question has been: How do
2 you do it and how long does it take? And a very subjective
3 judgment is 30 years. So I think as we make our own plans,
4 it could be we have more time than we want. On the other
5 hand, maybe this is--this should shape our thinking. We
6 won't know the type of repository very quickly if we go
7 through the consent-based process.

8 LESLIE: Thank you. Hold on a second. I'm going to go
9 over there, and then I'll come over to--

10 CLEMMENS: Hi. Jack Clemmens with Chicago Bridge and
11 Iron. As I've been listening to a lot of the discussions
12 today, what struck me was, we're saying it in a lot of
13 different fashions, but until the repository is known, one of
14 the things that we as an industry need to do is figure out
15 how long can the fuel in its existing condition, whatever
16 container or canister it's in, stay where it's sitting.

17 And I say that because it may take a while to
18 establish the repository; and so while it's sitting there, we
19 should be studying what's happening to it. Maybe it's
20 gathering of the data, maybe it's the high burnup, the low
21 burnup, it's the different types of containers. And if it's
22 not going to be able to stay there for a while where we can
23 extend the license with the NRC, then what other kind of
24 engineering systems do we need to be adding to protect it to
25 allow it to stay there longer?

1 And in that regard, I know the utilities may not
2 like that, but if the goal is to go to direct disposal,
3 what's the purpose of the consolidated storage? It gets to
4 what Bill Boyle is saying. It's more handling. It's
5 transportation. The best solution would be to leave it where
6 it is until we figure out what we're going to do with it and
7 protect it for as long as we can and start looking at that
8 now.

9 LESLIE: Thank you. And I'm going to go over to Sue,
10 and then we'll go back to Rod.

11 BRANTLEY: Sue Brantley. I'm on the Board. I'm just
12 curious, kind of pursuant to Gerry's comments, if we do
13 choose direct disposal, does that preclude certain geologic
14 media, or could we always engineer to be able to direct
15 dispose in any geologic media?

16 SPEAKER: We're not doing solutions.

17 LESLIE: Can you say it one more time in a different
18 way? And then--okay, all right, all right. Actually, Sue,
19 if you don't mind handing the microphone back to Bill for a
20 perspective from the DOE.

21 BOYLE: William Boyle, Department of Energy. I'll turn
22 it a bit from the geology to state definitively there is at
23 least one repository concept or disposal concept that's been
24 discussed yesterday that will not work ever with the existing
25 DPCs. That's borehole disposal. That's out.

1 LESLIE: Okay, Rod, and then we'll go up to Mary Lou.

2 All right. Rod.

3 McCULLUM: I just want to address what was just said a
4 little bit. The question of how long we can safely store
5 this stuff is not an unknown. The NRC has a regulation,
6 10 CFR Part 72, that has licensed these systems for 20 years
7 with the option of a 20-year extension. The data that we
8 have now, that rule in 2011 was revised. It's 40 years,
9 40-year extension. We're looking at the high burnup fuel,
10 but when you look at how recently we've been loading high
11 burnup fuel, we'll have that data when we need that data.
12 And that's the way the process works.

13 So we have many, many decades here of confident
14 storage. You know, what we have here is a question of how to
15 focus our efforts going forward, and I think that needs to be
16 part of the narrative. I mean, we talk about placing
17 constraints on things going forward, but before you can
18 negotiate any of those constraints--I again refer back to the
19 TAD example--there has to be something you're negotiating
20 based upon.

21 To me, the first constraint would be, you're going
22 to do direct disposal. You lay that initial condition out
23 there, then you have the opportunity to provide the assurance
24 of the utilities that they will accept the canisters, the
25 1,700 that have been loaded. Then you can further talk

1 about, well, what ones would you like them to load going
2 forward. That might be better if you had a central interim
3 storage facility, because then you can decouple some of these
4 questions.

5 If DOE is able to receive the 1,700 and wants to
6 show up at a reactor site with a bolted system or whatever,
7 because you think you might need that going forward, if
8 you've got a place to take it, you can negotiate that. If
9 you don't have that, if you don't have a constraint on the
10 very back end--and I think the most important constraint is
11 that initial condition--then there is really no basis for
12 negotiation. Then the utilities are going to do the things
13 they need to do to protect their workers, to protect their
14 rate payers, and they're going to load the biggest casks they
15 can, and they're going to keep doing it.

16 So the biggest constraint is placing a constraint
17 on the uncertainty right now.

18 LESLIE: Thanks, Rod. Okay, Mary Lou, and then we'll
19 come over to Ernie. And, again, this--Gerry, are you getting
20 things okay? We're going in the right direction, so we'll
21 continue. Go ahead, Mary Lou.

22 ZOBACK: Okay. I want to insert a geologic perspective.
23 All the discussion has been on how safe everything is at the
24 site, because the canisters are blah, blah, blah. They're at
25 74 sites around the country. They're all on river flood

1 plains or all on the coast. There are unprecedented natural
2 hazard events that occur, a liquefaction event at one of
3 these sites that maybe would damage cement platforms.

4 I don't think saying it's safe where they are if
5 there's no certainty that they're safe where they are. There
6 is risk associated with these sites as well, and that's
7 something that has to be factored in. Is it better to have
8 risk at 74 sites or an interim storage site where you
9 consolidate that risk? But there's a lot of perspectives in
10 the status quo that need to be considered.

11 LESLIE: Thank you. Ernie?

12 HARDIN: Right. Hardin, Sandia. I wanted to give a
13 perhaps more respectful answer to the question about whether
14 DPC direct disposal could exclude a geology. We think in
15 terms of disposal concepts. We've written up a few of them
16 that we think might work. And the bottom line is that it
17 trades with time. So it's how long are you willing to decay
18 store the fuel before it's disposed of?

19 For the studies that have been done at Sandia, Oak
20 Ridge, and Livermore and elsewhere, which Tito described in
21 his presentation, we chose 150 years from reactor discharge
22 for actual closure of the repository panel. Recognizing that
23 spent fuel has been and will be generated in this country for
24 over a period of 90-plus years, you see the need for using a
25 relative measure of time.

1 So 150 years. We had proposed other concepts, you
2 know, some time ago that might have gone up to 300 years, and
3 we got shot down on those. But this is an issue that
4 certainly your opinion would be valued.

5 LESLIE: Okay. Let me go to Chris and then Rod.

6 PHILLIPS: Chris Phillips, EnergySolutions. I was going
7 to say something similar to what Ernie just said. The
8 narrative, as I heard it, made it sound as though direct
9 storage of DPCs was possible in all circumstances. And I
10 just wanted to make the point and reiterate, really, that
11 that is true only if you accept either a restricted geology
12 and/or you accept really long pre-repository storage times.
13 It isn't a done deal.

14 If you put restrictions on pre-repository
15 emplacement storage times, then you're limited to certain
16 actual geologies. And we've just got to bear that in mind.
17 I think that the narrative has to reflect that. It isn't
18 necessarily going to work--direct disposal of DPCs--without
19 some of those restrictions being made.

20 LESLIE: Okay. Could you turn around with the mic and--

21 McCULLUM: First, I just want to say for the record, I
22 was not arguing for longer on-site storage. I was simply
23 citing the regulatory basis that exists for safety for what I
24 hope is as long as it's going to take us to make these
25 decisions. And in regard to that decision-making, getting

1 back to the point Ernie made, if a decision to commit to
2 direct disposal eliminated a certain geology, I would call
3 that progress.

4 Now, granted, you have to make a decision within
5 that as to how long you want to store. But, okay, now you're
6 forcing another decision. You're forcing decision-making
7 going forward, which I think is what we should all be about.
8 And if we use that forcing function, we--I heard about we
9 need data. We focus our efforts. Now we know where we need
10 the data, and we know what the mission of collecting that
11 data is.

12 And if it ends up that there's five potential
13 geologies, and when we really get a good answer to that how
14 long do we want to surface store question. If only three of
15 them will work for direct disposal, great, we've just
16 narrowed down the site selection process. And that should be
17 the goal here, because I think if we keep punting, that's not
18 serving anybody. So, yes, narrowing down geologies by fixing
19 on direct disposal is progress.

20 LESLIE: Other people? Other questions, comment?
21 Sorry, go ahead, identify yourself.

22 ALSAED: Halim Alsaed. And I'll talk about
23 retrievability. And given that it's a cross-cutting issue
24 for storage, transportation, and disposal as well, currently
25 10 CFR 72 requires retrievability at the assembly level. And

1 there are no really specific retrievability requirements for
2 transportation, and Yucca Mountain was designed to be a
3 retrievable repository. However, that was not terribly
4 well-defined for either canister level or assembly level.

5 NRC earlier this year was asked for some input from
6 the industry, DOE, and other stakeholders on whether the
7 retrievability definition should stay at the assembly level
8 or should it be done at the canister level. And regardless
9 of where that goes, whether it stays at assembly level or it
10 gets changed to the canister level, would have significant
11 implications on continued storage, transportation, and
12 disposal of DPCs. In particular, if it goes into the
13 canister level only and no longer requiring retrievability at
14 the assembly level, then that certainly limits the options,
15 and it drives you further to direct disposal of the DPCs.

16 LESLIE: Name?

17 RUBENSTONE: Jim Rubenstone, NRC. NRC evaluates natural
18 hazards at all dry storage locations, and we believe that we
19 have made decisions that they are safe now. So we understand
20 there are natural events that can disrupt things, but we like
21 to think they have been evaluated. And this goes through the
22 renewal process. As Rod has pointed out, they are term
23 licenses, and they need to be renewed. And with each renewal
24 stage, I think there are issues that were not--you know, can
25 be raised that both natural hazards and aging management

1 issues come up at the renewal stage that need to be looked at
2 more closely than when they are initially established.

3 So I understand the concern. I'm not saying it's
4 not important, but we do have a framework for evaluating
5 that.

6 The retrievability question, this often brings up
7 confusion, because the term "retrievability" is used in two
8 ways in our regulations. There's the retrievability in the
9 storage 72 space, Part 72 space, which is this question that
10 NRC has solicited input on and is currently evaluating to
11 make a recommendation to the Commission about retrievability
12 from storage at the assembly level or at the canister level.
13 And I think that's one of the issues that's probably being
14 discussed in the other room.

15 In the repository sense, the retrievability under
16 Part 63 was: At what stage can the emplaced waste packages
17 be taken out of the repository? And it wasn't a question of
18 assembly or canister question, but under the Nuclear Waste
19 Policy Act, retrievability and the ability to remove the
20 waste packages out of the repository if safety issues arose
21 needed to be considered up to the point of permanent closure.
22 So it's an unfortunate use of the same word to mean two
23 slightly different things.

24 And I think one of the other questions and getting
25 back to the bigger issue was that, even though we're looking

1 at technical questions and not policy or cost questions, is
2 there will always be trade-offs between the costs and the
3 policy implications of direct disposal versus repackaging.
4 And it may be too simplistic to look at it as an either/or
5 issue.

6 I'm getting into my personal opinion here, but of
7 the 1,700 that are loaded now in dry casks and however many
8 coming, which may or may not be subject to other
9 considerations and how we design these future casks, we
10 shouldn't get into the idea that we have to come up with a
11 means of disposing of all of these loaded casks directly.
12 There may be some subset which is more favorable than others.

13 This circles back to the question that Halim raised
14 about getting the accurate data for how each individual cask
15 has been loaded, what's in there. Some of those may be more
16 amenable. A lot of the calculations that have been done have
17 been done based on somewhat bounding conditions that may not
18 apply in all instances. So there may be some subset of the
19 existing loaded casks or ones to come that are more amenable
20 to direct disposal as opposed to trying to make calculations
21 or finding a geologic setting that allows all of the ones to
22 be disposed.

23 LESLIE: Thank you, Jim. Other comments, questions?

24 EWING: Just a personal comment.

25 LESLIE: Rod Ewing.

1 EWING: Yeah, Rod Ewing, Board. So from my perspective,
2 letting direct disposal drive site selection would be a very
3 serious mistake, because you run the risk then of not having
4 a geologic site. I mean, using a single criterion like this,
5 the initial conditions, to drive you to judgments about long-
6 term performance, that's quite a leap.

7 And, as an example, of course, when we talk
8 about suitable geologies for these large packages, we're
9 thinking about salt because of the high thermal conductivity.
10 But, remember, for the WIPP site the compliance period is
11 10,000 years, and we're talking about a million. And it may
12 not be so easy to find a site that can be accepted under
13 present regulations or the old regulations.

14 LESLIE: We'll go to Tito, and pass the--

15 BONANO: Tito Bonano, Sandia. I think, Rod, you make a
16 very good point. And I think it's--I'd like to clarify that
17 when we talked at Sandia about the analysis of the geologies,
18 you know, the different geologic environments, we're talking
19 in general terms. I think there is a big wild card here, and
20 it is when you go to a specific site, okay, some of these
21 general arguments that we've made, whether it's salt, hard
22 rock, or sedimentary rock, you know, we get into a site-
23 specific realm and that there might be uncertainties. I
24 think that there are some issues.

25 For example, if we went to a million-year

1 requirement in some of the soil that's around WIPP, that
2 there are some of us, including myself, that have some
3 concerns about whether or not a million-year requirement
4 could be satisfied because of, you know, (inaudible)
5 dissolution, and things like that.

6 So I think--you know, I wanted to make sure that,
7 to clarify, that when we're talking about geologic
8 environments at this point, we're talking about generic
9 geologic environments and not necessarily site-specific. I
10 think Dr. Pete Lyons made it very clear yesterday, at this
11 point in time we are only allowed to look at generic sites.

12 LESLIE: Okay, thanks. We're slowing down. I'm slowing
13 down. But I think we've made good progress--well, I can't
14 talk and speak at the same time. But I want to check back in
15 with Sue and Gerry. Are you feeling a little more
16 comfortable about where we've been and where we're going?
17 And, again, I will remind folks that, you know, they're
18 trying to take as good a notes as possible. And if we've
19 blown it, then I'm sure you'll raise your hand and say, well,
20 you know, we really meant to say that. So, again, give them
21 some leeway this afternoon as they try to capture real time
22 what they heard.

23 Do you have additional clarifying questions that
24 you want to follow up with specifically? You have to use the
25 mic.

1 LESLIE: Okay. Yeah. And that's the advantage. We go
2 second, the tail end of disposal.

3 Other comments or questions? We don't have to stay
4 to noon. I'm happy to stay to noon. Kind of, we're about 10
5 till.

6 Ah, yes, I knew there was something else I needed
7 to do. But I'll still entertain other comments or questions.

8 Okay, seeing none, kind of remind folks and
9 thanking folks, kind of the path forward is, we're going to
10 regroup after lunch, all back there. We will hear the
11 report-out from the other session first. So kind of keep in
12 mind what you've heard here.

13 Rick Daniel, the other facilitator, will help the
14 rapporteurs entertain questions. And then after that session
15 is over, then Gerry is on the hook to present what we've
16 heard. And, again, I'll be facilitating the questions and
17 comments. We might hear things completely different from the
18 other group, but also that's your opportunity to say, no, you
19 know, what we heard was slightly different. And so it's not
20 just a feedback from the Board members who have served as a
21 rapporteur, but it's also an opportunity to kind of think,
22 listen, and then contribute further.

23 We are going to try to put these things back into
24 the tables and list the other issues by December 2nd on the
25 Board Web site. And we'll clarify this at lunch. When I

1 have talked to Nigel, it looked like we were supposed to be
2 accepting comments on your comment cards or through this Web
3 site, which is also on the Save-the-Date on our Web site, to
4 the 16th. So we'll clarify--you know, today is not the end
5 of the day. Your input is not just right now. It's this
6 afternoon and also beyond a little bit.

7 And I think, with that, I really appreciate your
8 patience with me as I tried to run around and keep the thing
9 going on. And you should give yourself a hand. And if
10 there's any chocolate at the back of the room, feel free to
11 take it. Thank you very much.

12 (Whereupon, the lunch recess was taken.)

13

14

15

16

17

18

19

20

21

22

23

24

25

AFTERNOON PLENARY SESSION

1

2

1:00 p.m.

3 EWING: All right. If you would take your seats,
4 please, we'll get started in just a moment. Well, this
5 afternoon the plan is to join together and hear from the
6 rapporteurs about what happened in each of the two sessions.
7 As you know we had two Board members in each session taking
8 notes, trying to capture the wisdom that was expressed during
9 the discussions. So I'll just turn it over immediately to
10 Board member Lee Peddicord who will give his summary, and
11 then we'll have a facilitated discussion. The same
12 facilitator who was in the session will lead us through the
13 discussion. And this is, again, another important
14 opportunity for you to provide input to the discussions. So
15 I really encourage you to do that.

16

 All right, Lee.

17

 PEDDICORD: Thank you, Rod.

18

 So good afternoon. Am I on here? Can you hear me?

19

Okay. So I am Lee Peddicord. I am a member of the Board. I

20

am also a Professor of Nuclear Engineering at Texas A&M

21

University.

22

 SPEAKER: Moo.

23

 (Laughter.)

24

 PEDDICORD: There can't be that many Longhorns in the

25

room, really. I want you to do a better job here though.

1 And I want to introduce my co-rapporteur, Professor
2 Paul Turinsky, from North Carolina State University. So Paul
3 has asked me to share that anything that I'm going to be
4 talking about this afternoon with which you disagree is all
5 things that he has put into the program.

6 So the intent here is to go through our endeavors
7 in the breakout Session 1 which dealt with the possibilities
8 including repackaging. So note that that's this diagram here
9 on the left. It's so much more complicated and challenging
10 than the diagram over here on the other side, on your right.
11 And so they have a really nice presentation. I'm afraid that
12 mine doesn't meet that standard, but we're going to go
13 through this.

14 So what we as rapporteurs were doing was working
15 off the matrices that we had been provided with the idea of
16 trying to link the different elements in the matrix and those
17 connections and the issues, the technical issues that relate
18 to one another. I can report at the outset that I failed
19 miserably in that endeavor.

20 You know, that--I'm very charmed by that television
21 commercial that talks about people, what they really would
22 like to do--you know, and this is what you do in retirement.
23 You want to be a pilot, you want to be a gardener, things
24 like that. I have discovered that in retirement I'm not
25 going to be a court stenographer after sitting there for

1 three hours trying to type, well, you're going to see the
2 results of this.

3 And times are tough and budgets are tight in higher
4 education. Being down in Texas, I want all of you to plan a
5 lengthy road trip over the Christmas holidays so you use up a
6 lot of petroleum from the Permian Basin and we get the
7 severance taxes from that to continue to support us in the
8 way that we're accustomed to in Aggieland.

9 So we're going to go through this. One of the
10 things as a professor I'm going to want to do is make some
11 homework assignments. Okay? So what I have attempted to do
12 is capture the remarks that were made in our session. And
13 very quickly I started putting--labeling these in terms of
14 the chronological order because we're going to have the
15 transcript of the session as well. And I started putting
16 labels on there of the people that made the remarks, and
17 you're going to either see a name or your affiliation. So if
18 we go according to the game plan, this is actually going to
19 be up on a website at some point, and you can dive in and put
20 it right, of what you really wanted to say as opposed to my
21 version of what I thought you said. So I hope you'll have
22 that opportunity and feel free to do that.

23 Now, to accomplish this, we were working off a
24 template that looked like this. You hadn't seen this, but
25 this was a connection again of the various elements of that

1 matrix to each other. So if we started off with A1 over
2 there in the top, upper corner, there were elements then that
3 would link it to B2 and all the way down to K11 which was
4 final disposal. And in a perfect world--which I would have
5 to report we didn't quite accomplish this morning--in a
6 perfect world we would have all the sets of comments that
7 would have filled in just as Nigel had outlined connecting
8 the boxes of that matrix. I tried to do that for about the
9 first five, okay, and then it went off the tracks. So what
10 I'm going to report to you then is the summary of remarks
11 that by and large fall under the other category of additional
12 comments because I wasn't quite sure where they plug into
13 this nice matrix of things.

14 So I'm going to kind of go through these. Of
15 course we saw a lot of--there were overarching comments that
16 really bound a lot of things together. And I think those are
17 a lot of the main points. But there was a lot of interesting
18 detail and technical details as well. So with that basis, I
19 hope you will endeavor to sign onto this. And let's kind of
20 go through this. And I hope you're going to be seeing this.
21 Is this officially readable to you all? Okay. Well, that
22 blows the second part of my plan out of the water.

23 Can you make that bigger, Bill?

24 HARRISON: Maybe. I think it's a little blurry.

25 PEDDICORD: Can you make it unblurry too? Bigger and

1 unblurry, that's my aspiration in life, bigger and unblurry.
2 There we go. Now do we have everything? Are we going to
3 pretend that's it?

4 Okay. So how are you doing back there? You were
5 the one shaking your head no, you couldn't read it. Still
6 can't read it?

7 You know, I am teaching the freshman in Nuclear
8 Engineering at Texas A&M University, and I don't let them get
9 away with this stuff, you all camping out in the back of the
10 room on your laptops plugged into the wall and things like
11 that. It used to be in earlier years I would throw erasers
12 at them, but we don't have erasers anymore. So it's hard to
13 come up with punitive measures for the freshmen to kind of
14 get them to pay attention. So you guys are lucky back there.
15 You're settled in. You're plugged in. And all I can do is
16 hope to blind you with my laser pointer here.

17 So, okay. So on this basis let's kind of walk
18 through this. Now, what we won't be able to do is kind of do
19 realtime editing on this. We don't have the time. I don't
20 have the energy, and so on. So we're going to try to step
21 through this. And as I say, the main thing I want you to see
22 is where there is the links back to whomever made these
23 comments and so on and an invitation then to jump in and
24 within the next couple of weeks, I think, to make them right.

25 Dr. Zoback, there's room up here. Come on up.

1 Come on up.

2 DANIEL: There's seats up here if anybody wants to move
3 up here.

4 PEDDICORD: Yeah. If you're going to sit there and
5 squint--

6 DANIEL: There's four seats right here.

7 PEDDICORD: --and make me feel badly, you're going to
8 have to relocate to the front of room.

9 DANIEL: We can put chairs up here. We'll accommodate
10 anybody who wants to move up.

11 PEDDICORD: So either--

12 DANIEL: Diane, there's a seat here.

13 PEDDICORD: So either no sitting there and squinting, or
14 get up here.

15 DANIEL: What we're trying to do here is we want to run
16 through these comments or these issues, and if there's
17 something that we can add, you know, briefly that will help
18 refine the issue or to make it more complete, we want to
19 capture that. And Dr. Turinsky here is going to do that in
20 longhand. Like Lee said, we're not going to do it in
21 realtime, but we want to capture that additional thought.
22 Okay?

23 PEDDICORD: You guys are going to look so good.

24 DANIEL: So if there is something, don't hesitate.

25 Raise your hand. We'll bring you a microphone, and we'll get

1 that information. And as, again, as Nigel said and Lee also
2 said, there's going to be a period of time after you leave
3 here if you want to add something else based upon a
4 conversation tomorrow or a week from now, you can still do
5 that. Okay?

6 So go ahead, Lee.

7 PEDDICORD: Okay. So let's give this a try. So we're
8 starting out, again, these numbers here are the order in
9 which the comments were made during the session if that will
10 help you think back. It's certainly going to help once the
11 transcription is available and so on.

12 So we started off, and I don't know if I have this,
13 this was to link A1 to B2 over here. And I don't even know
14 if that's in the right spot. But we started off with this
15 discussion at shutdown plants without a spent fuel pool, the
16 need for repackaging and so on. Nigel Mote--Nigel, where are
17 you? Hand up. Okay.

18 Nigel interjected some of the experience in moving
19 into dry casks and so on. We heard from Areva about the
20 possibility of the mobile repackaging and so on. And the
21 fact that three options are under consideration for this, not
22 necessarily well-developed.

23 I don't remember who made these comments. I don't
24 know. This was somebody sitting over here. And so again, I
25 apologize. I didn't get them linked back properly to you

1 all.

2 But then--Bob Einziger, where are you? So we had a
3 lot of input from him on assumptions of what could be done in
4 terms of this repackaging and so on.

5 It was noted several times, and there are some of
6 these things that are quite recurring, that on the chart over
7 here where we have multiple loading and unloading functions,
8 the whole issue of standardization--again, this became a
9 theme very much to our conversations and so on as did this
10 next one of how one step in the process very much links back
11 to other steps as well with the real bottom line being it's
12 very challenging until we have really a definition for the
13 requirements of the repository because this will feedback
14 will the way up into virtually all the previous steps.

15 And this was from Rob Howard.

16 Rob, where are you?

17 Okay. There he is, sitting in the back of the room
18 as well too.

19 So this is an indication of the identifiers you'll
20 find in the remarks.

21 Bill, let's start scrolling down.

22 Yes?

23 MAKHIJANI: This is Arjun Makhijani.

24 PEDDICORD: Okay. Paul--

25 MAKHIJANI: Some of this is not quite how I remember it.

1 And--

2 PEDDICORD: Okay. What would you add, Arjun?

3 MAKHIJANI: Could we go down? Could we go back up?

4 PEDDICORD: Back up, Bill.

5 MAKHIJANI: So for instance, in the first bullet I think
6 it was Dr. Einziger who said that the mobile--or he also said
7 mobile option, it's very important. They're not three dry
8 transfer options as that would imply. One is completely
9 theoretical, the mobile one.

10 PEDDICORD: Well, let's ask Areva. That's their
11 section.

12 MAKHIJANI: That's correct. So my memory is--although
13 I'm getting on in years. Then it was also said that the cost
14 of the dry casks would be very high not in the--of the
15 transfer system if you're going to do because hot cells would
16 be required. They'd be very expensive. And the cost may
17 be--you're thinking tens of millions, maybe a zero might be
18 added.

19 So the second bullet, the--only one vendor is
20 reloading damaged fuel. That's actually not accurate.
21 They're--it said that only one at one--in my memory, only one
22 reactor site is loading failed spent fuel--loading high
23 burnup fuel in failed fuel cans for dry storage. It's
24 completely different than what's been written there.

25 And so I'm a little--I'm pretty uneasy about what

1 I'm seeing in these notes.

2 PEDDICORD: Well, that's why it's going to be up on the
3 website for further comment.

4 MAKHIJANI: Okay. Well, think--

5 PEDDICORD: So Paul, did you get that?

6 MAKHIJANI: --my comment would be that you please verify
7 these bullets against the transcript before you post them as
8 anything official. Because I think that they're pretty
9 inaccurate.

10 DANIEL: Yeah. And we're definitely going to do that,
11 Arjun. So thank you.

12 PEDDICORD: And some of these other things did get
13 captured later on. You'll see the points you were making
14 because they arose later in the conversation, not at this
15 point.

16 MAKHIJANI: But the second bullet is really inaccurate.
17 It's not what was said. So what's written there is not
18 correct. And that's the only point I want to make. I'm not
19 trying to redo the conversation.

20 PEDDICORD: Okay. So we've got that down.

21 MAKHIJANI: I just hope that the notes will be accurate.

22 DANIEL: We've got it captured. Thank you, Arjun.

23 LOMBARD: Okay. Thank you. Mark Lombard, Nuclear
24 Regulatory Commission. I'm sorry I wasn't here this morning,
25 but if you get out of the box a little bit when you talk

1 about dry transfer options, I think we're looking at above
2 ground dry transfer options. And you may look at below
3 ground or grade level where you actually dig a hole and start
4 moving the fuel actually at the grade-level type. So we need
5 to be a little creative as we look forward. And the
6 collective "we." When I say "we," I mean a collective we.
7 As you know, NRC only independently regulates.

8 The second note, bullet number four, I mean, NAC
9 has given us information that they are loading all high
10 burnup fuel into cans. So I'm not sure Bob meant reloading
11 damaged fuel, but there's--yes, there are some fuel
12 assemblies that are damaged, other fuel assemblies that are
13 high burnup fuel that are not damaged that are still being
14 loaded, not reloaded, but loaded into cans by NAC.

15 PEDDICORD: And the above grade/below grade comment
16 didn't surface this morning, but that's a good one to add in.
17 And, please, ask Bob to dive in because his name shows up a
18 lot in this.

19 ZOBACK: Mary Lou Zoback, Board. What's the experience
20 in Iraq with high-level waste that I don't know about?

21 PEDDICORD: Well, this--you may want to go offline with
22 this, but--

23 ZOBACK: Okay.

24 DANIEL: Let me find that. I got one.

25 MOTE: Nigel Mote, staff. I don't think it needs to be

1 offline. After the first Gulf War, NAC packaged spent fuel
2 from the bombed Iraqi reactor. And that was all done using
3 dry transfer. I made the point, it's a refinement, and we
4 didn't catch all of this. The small assemblies, the research
5 reactor assemblies, I don't know what the burnup was. But in
6 terms of demonstrating that you can use dry transfer for
7 spent fuel, that was done. It was done as an exemption, so
8 this is not something that was done programmatically. But in
9 terms of technically demonstrating that you can handle dry
10 fuel and perform dry transfer operations, that has been done.

11 ZOBACK: Okay.

12 MOTE: Different fuel, different time, different
13 circumstances, but technically, it's a significant data
14 point.

15 DANIEL: Folks, if when you talk in the microphone,
16 don't forget to give us your name and your affiliation if
17 you're affiliated with a group, and then slide the
18 microphones to the center so we can grab them quicker after
19 you speak. Thank you.

20 Go ahead, Lee.

21 PEDDICORD: Going on, we are now going in chronological
22 order.

23 Earl, where are you? My name is Earl, Earl Easton.
24 Are you back there?

25 Then was asking some questions about some

1 regulations and how it's determined who does the repackaging.

2 Marvin Resnikoff, is he still with us? Yep, there he is.

3 Okay.

4 Start delving into the standard contract, this came
5 up quite a bit over the--this came up quite a bit in various
6 forms over the course of the discussion. This was one of the
7 earliest point in times; it was raised in the morning. This
8 is what I captured to this.

9 We were talking about the motivation for the
10 utilities going into large canisters, how this relates to the
11 standard contract. And because this was meant to try to fit
12 into the matrix, we had the comment from Areva who is our
13 representative--on these implications on dry storage
14 retrievability and so on. And again, I encourage all of you
15 to edit these when you have the chance. This was the first
16 cut at this.

17 LOMBARD: Mark Lombard, NRC. I just to want provide a
18 little clarification. Yesterday, the gentleman from DOE from
19 Washington, D.C., did provide some feedback on Part 72. And
20 his recollection of Part 72 is that it may cover repackaging
21 activities. And I took a look at 72 this morning. And you
22 look at 72.2, the scope, and it says, "72-A1. Power reactor
23 spent fuel to be stored in a complex that is described and
24 constructed specifically for storage of power reactor spent
25 fuel."

1 Later on in 72-A2, the term "monitored retrievable
2 storage installation" or MRS is derived from Nuclear Waste
3 Policy Act. Obviously, it includes any installation that
4 meets this definition. If you go further into 72, the
5 definition of an MRS, then this--I think this is where some
6 of the potential confusion may come up in 72, that "An MRS is
7 a complex design constructed and operated by DOE for the
8 receipt, transfer, handling, packaging, possession,
9 safeguarding, et cetera, of storage of spent nuclear fuel."

10 Later on in Part 72, it talks about the emergency
11 planning requirements and says if there's repackaging, that
12 there will be specific emergency planning requirements placed
13 upon that facility.

14 So again, Jeff, we've got to delve into 72 a little
15 bit more. It's not exactly clear. I didn't get a chance to
16 look at the statements of consideration on it. But it
17 deals--still needs a little bit more analysis to determine
18 what scope 72 will actually cover.

19 PEDDICORD: Okay. So if we move along a little further,
20 we get into a set of comments that again are relating final
21 disposal to other parts of it.

22 So, Arjun, these were comments that you were
23 inserting, and so I encourage you to take a look at them and
24 see if you want to modify any of these in terms of the
25 repository and the characteristics and how it dictates the

1 answers to some of the earlier questions. That again was a
2 theme that came up several times in the course of the
3 discussion.

4 Peter Swift from Sandia talked about designing a
5 generic canister, some of the possibilities. And there is
6 work underway at Sandia.

7 And Diane--

8 CURREN: Diane D'Arrigo or me, Diane?

9 PEDDICORD: I think it's you. I think this was some of
10 the questions you had about a standardized canister for all
11 disposal sites. And again, Peter Swift amplified on that a
12 bit as well too. So again, rather than go through this in
13 detail, please, take advantage of the opportunity to go to
14 the website and if you want to expand on these and other
15 comments and points you've raised as well too.

16 And then Nigel Mote had also contributed to this
17 discussion in terms of it would be good to know what the
18 geology is that we're going to go into.

19 Do we have a microphone?

20 CURREN: This is Diane Curren. I have a process
21 question. Are you going to go back and go through the
22 transcript and revise the notes?

23 PEDDICORD: Uh-huh.

24 CURREN: Because frankly what I'd rather do is wait for
25 your more complete version and then comment on that rather

1 than all of us doing the same thing.

2 PEDDICORD: Well, let me ask Nigel what the order of
3 march is.

4 MOTE: I'd rather not be the arbiter. I think it's
5 whatever the group feels is the best use of their time.

6 PEDDICORD: So we had a--so the comment was to reconcile
7 this with the transcript before inviting further comment.
8 Did I say that correctly?

9 MOTE: One of the intentions of this session was to
10 let--in this case the participants of Session 2--know some of
11 the main points that came out of Session 1 so that there's an
12 opportunity to say well, we didn't hear that one in our
13 discussion; but, you know, it's relevant to ours as well.
14 Not that's something that the Board can take on but maybe not
15 as completely as if the participants here have a chance to do
16 the same thing.

17 Right. You look like you're about to make a
18 comment.

19 EWING: Just to add to the discussion and maybe the
20 confusion. In my view, the purpose of these--of this
21 afternoon's session is to allow everyone to get a taste of
22 what was discussed in the session that they weren't in. It's
23 probably not possible or useful at this stage to be
24 necessarily correcting and worrying about comparing things to
25 the transcript. You should certainly speak up if you think

1 things aren't--the conversation's not captured. What we need
2 to know is what was the nature of the conversation. And it
3 certainly fine to continue the discussion and arguments in
4 this afternoon's session.

5 So what we want to do is be sure that you've had
6 every opportunity to participate in or hear a report from
7 both sessions. And we're not writing a report right now. So
8 we needn't get every detail correct.

9 Nigel, is that fair?

10 MOTE: Yes. Absolutely.

11 EWING: Okay.

12 PEDDICORD: Bill, let's steam on.

13 CURREN: And I don't mean to go--I think for a minute I
14 just need to go back and understand better what the overall
15 process is here. And I understand what you're saying about
16 this afternoon. But I was assuming this group is going to
17 prepare some kind of summary report of what were the findings
18 and recommendations and share that with the relevant
19 authorities. And that's really what I'm interested in having
20 some further opportunity to comment on and say, okay, did you
21 capture such and such. And you don't have to take any
22 comment, but to be able to give it to you, will that be part
23 of this process?

24 DANIEL: That's what we should--

25 CURREN: Well, but I really--I mean, I'm--no offense,

1 but this is really hard to do. I think you did as best you
2 could summarizing long comments by people, by many different
3 people. And it's difficult to capture the complexity of a
4 discussion like this. And I don't think that what's
5 happening now is going to get at it. If this is what we're
6 using--if there is what you're going to--the corrections here
7 and the main thing you're going to use, and I, frankly, I
8 don't want to have to do it myself. I want a chance to see,
9 well, what do you really think did happen here today on a
10 piece of paper and comment on it.

11 DANIEL: Diane, let me try to address your concerns a
12 little bit. We want to be sure that we generally captured
13 the essence of what was said earlier. And that's what we're
14 trying to portray here. We're not going to be able to
15 capture every detail of what was said. And when the report
16 is written or as a draft report is written, they're going to
17 refer back to the actual transcript of what was said. But
18 for this purpose or what we're trying to do now, we're trying
19 to generally characterize what was discussed so that
20 everybody can hear. And if there is anything else that might
21 be added.

22 We're not try--this is not like the final "this is
23 what it's going to say" or whatever. That's going to
24 come--has yet to happen. So just generally speaking, Lee is
25 going to talk about the general essence of what we discussed

1 earlier. If somebody sees some glaring problem, something
2 missing, or some distortion, we want to have that brief
3 discussion now and move on. Does that help?

4 LESLIE: And Rick, this is Bret. Now, I'm not the
5 facilitator. I put my staff hat on. And this is what we
6 presented in the other room which is really the next steps.
7 And I think it's a process--what--this was the first effort
8 of the folks, the rapporteurs, to try to capture things
9 realtime. By December 2nd we're going to use the notes we
10 have and put that on the web so that people can better
11 understand what the issues are.

12 The people who've participated today, if we've
13 mischaracterized, we're looking for feedback by the 16th of
14 December. Kind of, if you see these things and we're not on
15 the right page, that's an opportunity to do it. That's the
16 process in terms of how we're trying to get some additional
17 feedback. Again, what Rod said and Nigel said, today, right
18 now, this session is so that everyone can hear what the other
19 session heard. And if we're way off base when Lee goes
20 through or when Jerry goes there, send us an e-mail or write
21 it down on a card and help us to get something posted earlier
22 on that's more fitting with what you tried to say.

23 PEDDICORD: Arjun.

24 MAKHIJANI: You know, I--Arjun Makhijani. Really now I
25 think it would be--first of all I don't think December 2nd or

1 December 16th is enough time especially if we get the
2 transcript on December 16th. We wouldn't have a chance to
3 consult it before and refresh our memories as to what was
4 said. So I would suggest that we carry this over at least
5 into early January. We have also got NRC deadlines on
6 December 20th.

7 Secondly, you know, for me, this--I echo what Diane
8 said--this is not useful to try to say what's really
9 inaccurate because I'm going to want to talk about every
10 single item because my understanding of what was said is
11 different than everybody else's. And we can have an endless
12 discussion about what was important without trying to
13 recapture all the details. I want to hear what the Board and
14 Board members and staff got out of the discussion so I have
15 an understanding of what you got out of it and what you're
16 taking to the report writing. And I hope that you will
17 really seriously consult the transcript and fix this thing
18 because right now in its current state it's not--you know
19 there was an Arjun-related comment. I didn't jump up and say
20 anything because it would take me five minutes to fix that.

21 Now, I really think that it would be better if we
22 hear what the NWTRB got out of the two sessions and then have
23 a discussion out of that. My suggestion.

24 DANIEL: Thank you, Arjun.

25 You know, oh, go ahead.

1 EWING: So speaking out consulting the Board and with
2 all due respect, I think the Board would not want to say in
3 some general way today what we got out of it. What we're
4 doing is trying to get information. Now, it may be the way
5 we're capturing the information and the discussion is not
6 satisfactory. I share your frustration. But the main
7 purpose is to get as much input as possible so that when we
8 look at the transcript, when we look at these records,
9 important topics aren't left off. But to get realtime
10 response from the Board I would say is inappropriate.

11 DANIEL: All right. So we're going to move on. We're
12 going to attempt to go through these issues. Lee is going to
13 attempt to talk about them. Again, if we see glaring gaps or
14 something or you think we can better characterize something,
15 please, speak up. And as Rod said and Nigel has mentioned
16 that there's going to be transcripts that compare to the
17 issues. These will be written in much finer detail, and
18 you'll--they'll be available to you at a later date, soon.

19 EWING: So to everyone, I would say that particularly in
20 the sessions that you participated in, as we scroll through
21 these topics, there's perhaps not much satisfaction in simply
22 listing "X said something on Y." But if they're important
23 topics that you think were discussed to advantage or not
24 discussed well enough, then this is the time to bring that up
25 and to our attention so that it's not left out.

1 GREEVES: John Greeves. Just you're time limited here.
2 Can somebody just tell me what the five issues that rose to
3 the top were?

4 PEDDICORD: Okay.

5 GREEVES: That's what I was expecting. I didn't attend
6 a session, but if you could just--what were the high points?
7 You don't have to formulate an opinion on them, just what did
8 you sense were the issues of concern to people? What were
9 those fives?

10 DANIEL: I'm making up five.

11 PEDDICORD: Well, I'll endeavor to do that and probably
12 will go to somebody else and we'll have five others. So a
13 number of things emerged. As I say, at the top level I think
14 one of the really important points is that as you look at
15 this diagram, that matrix, and so on, until you have
16 characteristics of your repository find, it's difficult then
17 to define a lot of the parameters around these earlier steps.

18 Conversely, if that was known, if you knew what
19 kind of geology you were going to go into, even more
20 specifics about the site and so on, it would help immensely
21 in defining the requirements for many of these other steps in
22 the process. So if there was kind of an overriding point, I
23 think that was one of the most compelling.

24 Then as you drill down, there was a lot of
25 information in terms of what are the various regulations--and

1 looking to our NRC colleague again--in terms of perhaps
2 inconsistencies because you have different regulations,
3 whether it relates to thermal load, criticality, and so on.
4 As you move from an initial storage, say a spent fuel pool to
5 transportation, interim storage, disposal, and so on, some of
6 these are not defined yet; but even now there are
7 inconsistencies in these. And it was reported to the group
8 that these are things that are under study. But differences
9 between Part 71 and Part 72 and so on, so that's an ongoing
10 effort, but it's also affected by this first--this first
11 comment I made.

12 GREEVES: That's two. I expected them.

13 PEDDICORD: Okay. Well, you wanted the top five. Then
14 yes, then we got into a lot of discussions on the
15 transportation, the modes of transportation, and what things
16 are going to look like that are going to be transported, what
17 are going to be repackaging requirements to satisfy various
18 elements of the transportation infrastructure, if you're
19 going up--

20 Just a second. I'm getting prompted here. Whisper
21 louder.

22 Size of casks, for example, and so on--

23 You weren't even in our session were you? Oh, were
24 you? Where were you sitting? I missed you. Okay. That's
25 right. Wish you sat closer. You could have typed all this

1 stuff in. It would have been better.

2 So the transportation as it fits into this, and of
3 course we've got two elements in this particular scheme of
4 the transportation piece of it as well too. Some discussions
5 can eliminate one of those. Could you do something at one
6 point? Because it might also eliminate a repackaging
7 element.

8 Another thing that was brought up is--both on a
9 location sense and a temporal basis--where you do the
10 repackaging. Because we're talking about the storage at
11 various possibilities of some significant length of time,
12 maybe many decades, maybe 100 years, and so on. And so as a
13 result, it depends on where one chooses in this progression
14 of events of where to do that. Again, it impacts things
15 later on; and where you do it, it impacts things again
16 earlier.

17 LOMBARD: Sorry, Lee. Mark Lombard again. I appreciate
18 what the Board has done because this is really--it's at least
19 a three-dimensional issue. And you've taken this
20 two-dimensional table and have used it to try to put it in a
21 three-dimensional space. But I think you've touched upon a
22 key point here. It's really almost a flow chart, a decision
23 flow chart. And, you know, depending on where the repository
24 is or what geological make up it may have takes you down one
25 path or another.

1 So it's--I appreciate what you're trying to do.
2 It's really difficult to do it in even a two-dimensional,
3 three-dimensional-type table. A flow chart might help us see
4 it a little more easier. But then again, it becomes more
5 complicated as far as trying to roll that up in a report.

6 PEDDICORD: Okay. How many have we gotten so far?

7 DANIEL: I think we're on--

8 SPEAKER: You said four.

9 DANIEL: That's--

10 PEDDICORD: We're at four? Okay. I only need one more,
11 huh.

12 SPEAKER: Maybe five. I don't know what you did.

13 PEDDICORD: So Peter Swift points out--

14 Thank you all here in the front row. Step forward
15 here.

16 So the other element that comes in, although less
17 of an element for the Board because of our technical focus,
18 is the issue of cost and so on. But we're talking about--and
19 again, depending on the choices that were made--very
20 significant costs and being directly affected by the design
21 of this and so on and the cost.

22 There was another one I wanted to mention and it's
23 skipped my memory at the moment.

24 TURINSKY: Lee, you want me to pick up?

25 DANIEL: Yeah.

1 PEDDICORD: Yeah, oh, Paul--

2 DANIEL: Paul's going to pick up here--

3 PEDDICORD: He's got the notes.

4 DANIEL: --and maybe add a couple things.

5 Go ahead, Paul.

6 TURINSKY: Yeah, I have the advantage of having notes in
7 front of me. Some of these probably Lee has said already.
8 One thing was basically the conflict of interest, the way
9 we're structured between the people who store the fuel, the
10 utilities, and those who are responsible for basically
11 transporting it and eventually placement in the repository
12 which is the government. And they have each their own
13 objectives, and sometimes those objectives don't align when
14 you look at the overall life cycle of the fuel. And that's
15 different than let's say in Sweden.

16 Another thing was how--it was mentioned in the NRC,
17 but in--I would generalize it, how is safety factored in over
18 the whole life cycle of the fuel. So things you may do now
19 which may be beneficial for safety may actually have some
20 adverse effects later on that overwhelm the savings that you
21 had near term in the safety arena. We didn't talk that much
22 about safety. I was glad that someone finally brought those
23 points up. Okay.

24 Impact to transportation on upstream/downstream.
25 And this upstream/downstream impacts everything on it. And

1 when the final downstream step is undefined, what the
2 implications are that are--it's--you're making basically
3 decisions in a much larger space, possible space, than if we
4 did have a back-end-defined, final repository. But we don't,
5 and that's the reality that we have to live with.

6 Inconsistencies between storage and transportation
7 in particular in critical requirements was raised, and
8 actually Gene was well aware of that problem. It's already
9 reflected in his write-up.

10 The diversity of basically the canisters and casks
11 throughout the whole system, whether it's shipping,
12 unpacking, et cetera, they were going to basically repack at
13 a consolidated fuel storage facility. These folks are going
14 to have to handle maybe 30 different designs there, and that
15 has implications, obviously, in investments and in court
16 practices in that regard.

17 Where to repackage and when to repackage, I think
18 Lee mentioned that already. Are we doing it at reactor
19 sites? Are we doing it at the repository? Are we doing it
20 at a consolidated fuel system, and when do we repackage? If
21 we're going to basically consolidate storage, do we repackage
22 on receipt? Do we repackage when we're shipping out again to
23 the repository?

24 Pros and cons of dry and wet storage in regard to
25 basically fuel long-term behavior in the repository, the

1 thermal cycling effects.

2 DANIEL: All right. Is that--is that it, Paul?

3 TURINSKY: And then this overall thing that decisions we
4 make in the near term may have very adverse or beneficial
5 effects in the long term.

6 DANIEL: Okay. Thank you very much.

7 Diane.

8 CURREN: Yeah. This is Diane Curren. I want to follow
9 up on that last comment about the long term versus the short
10 term. And Lee, you know you said one of the most important
11 issues, and I agree, is that we don't have the repository
12 characteristics, and they should have an effect on the
13 decisions that are being made today about storage. But by
14 the end of our meeting it was said that the decisions we are
15 making today could foreclose choices about a repository. So
16 it works both ways. That--

17 DANIEL: Can you say that again, Diane?

18 CURREN: People are making decisions today about methods
19 of spent fuel storage that could end up driving or limiting a
20 decision about what's a suitable repository. I thought that
21 was pretty amazing.

22 PEDDICORD: One other thing that in my list of five that
23 I thought was very interesting is a lot of discussion of very
24 long-term storage. And again, Bob Einziger from the NRC
25 pointed out that the NRC does not license for long periods of

1 time, infinite periods of time, it's usually a 40-year basis.
2 And as we move forward and get to more and more reactors that
3 have been shut down, it raises a quite interesting
4 possibility that if they would come up for relicensing but
5 don't meet the relicensing criteria, what kind of situation
6 do you have there? What kind of pickle are you in at that
7 point?

8 I'd say it's not something I hadn't thought of
9 before, but that's incredibly interesting that we get into
10 this conundrum of having fuel on sites that don't meet the
11 relicensing criteria because these are going to come up
12 periodically. And as we are talking for many, many decades,
13 there may be through--one or two or three of these needs for
14 relicensing.

15 So the devil can be certainly in the details on
16 this. And that was really an important point as we kind of
17 refocused our thinking on what reality means there in the
18 regulatory space.

19 RESNIKOFF: Marvin Resnikoff. I'm unclear about the
20 timing of it all. If a repository will--finding a repository
21 will take another 20 or 30 years. Then how is that going to
22 influence the cask design? The utilities are right now, you
23 know, proceeding with filling up dry storage casks, so that
24 decision is already going to be made for us. I'm confused
25 about the timing.

1 PEDDICORD: I don't have any particular answer on that
2 either. I think you're right. I mean, yeah, I think you've
3 hit it spot on.

4 Rod, are you--you're sitting there poised.

5 EWING: Just a comment. First to bring something from
6 the other session to this discussion.

7 I think Diane, it's important to realize that in
8 the other session there was I would say strong advocacy for
9 the idea that actually the large casks should drive the
10 selection of the geology in the repository. And people can
11 speak to the issue, but the point was that this is the
12 problem in front of us today, and this is the initial
13 condition that we have to deal with. And so somehow let's
14 deal with it, and then the repository will have to fit the
15 decision that we make today.

16 Now, my counterpoint to that is that if we limit
17 our options on geologic disposal by early decisions of that
18 type, it's not clear to me that we'll have a repository. And
19 so those are two points of view. But the dilemma is how to
20 reconcile them because we're talking about risk over two very
21 different time frames. And so as a Board member this is
22 quite a challenging question. And we have to get it out, I
23 think, to policy makers so that they realize the pros and
24 cons of decisions at either end, from looking from the
25 repository perspective or looking from the perspective of the

1 utilities.

2 DANIEL: Adam.

3 LEVIN: Yeah, Adam Levin. As I sat and listened to the
4 discussion today, I have a very different take-away. And my
5 take-away is that I'm not--it's not clear to me that there's
6 things that we're doing today that are going to preclude
7 disposal options in the future, particularly if we have a
8 facility, a centralized facility whereby we can repackage
9 spent fuel into disposal-facility-appropriate canisters. So
10 in my view I think the appropriate question here is are we
11 pursuing activities today that preclude decisions about
12 disposal later? I think that's the right question.

13 DANIEL: Okay. Mark.

14 LOMBARD: Thank you. Mark Lombard, NRC.

15 Paul, I would--you have great notes about the
16 safety aspects and that they need to be holistically carried
17 throughout the whole back end or the middle of the back end
18 or the front of the back end. But also don't forget security
19 requirements. Because as fuel, depending on how long it
20 sits, this fuel may get to the point where it's below the
21 level that it's self-protecting. You know, that's defined in
22 Part 73. So you've got to keep that in mind as well.

23 And Adam brings up a good point. It depends on how
24 long the spent fuel is in storage, and waste confidence looks
25 at repackaging every 100 years. If spent fuel sits for 60,

1 80, 100 years, then you may be repackaging anyway depending
2 on the robustness of the dry cask storage system that it's
3 sitting in. So again, it's part of that flow chart that
4 takes you down different paths.

5 DANIEL: Any other issues, comments on Session 1,
6 repackaging of spent nuclear fuel?

7 Arjun?

8 MAKHIJANI: Yeah. Arjun Makhijani. There was a call
9 for defining what failed spent fuel is at one point, and that
10 surprised me a little bit actually. And then there was a
11 comment made about the difference between the U.S. and France
12 where in France they do failed fuel transfers only in pools.
13 Whereas here, failed fuel does not include fuel that is
14 damaged with pinhole leaks, for example. Whereas abroad it
15 might be considered damaged. So that in ordinary storage,
16 this is what--I believe Bob Einziger said this--is that here
17 we have spent fuel in storage that has pinholes and other
18 types of damage which are not regarded as damaged. And so
19 the question arises are we going to identify these? Are we
20 going to maintain spent fuel--spent fuel pool infrastructure
21 for repackaging given--and the point that I raised was that
22 in 2001, before all of this happened with Yucca Mountain
23 being off the table--or at least temporarily off the table
24 possibly, I don't know, nobody knows--that the NRC said we
25 don't worry about how we're going to transfer damaged spent

1 fuel from one canister to another. We'll know it when we
2 come across the problem and we'll deal with it at that time
3 in a formal petitioned response. And I think the time for
4 that is now and maybe the NWTRB might politely nudge the NRC
5 in that direction that they need to deal with this.

6 DANIEL: Thank you, Arjun.

7 Robert in the back.

8 SANCHEZ: Thank you. Robert Sanchez with GAO. I think
9 I made the point, and I think several other people have made
10 the point in this session that although this is a technical
11 conference looking at technical issues, there are a lot of
12 nontechnical drivers that may be making or forcing a
13 selection of the different technologies that we have. They
14 may be cost drivers; they may be social, political drivers.
15 The utilities are going to be--you know, many of the reactors
16 retiring at the same time. There's going to be a lot of
17 different things that are nontechnical issues that may force
18 certain decisions based on cost, based on what's certain and
19 what's not.

20 And overriding all this, we have a consent-based
21 approach which is going to involve the stakeholders, local
22 and state governments. And that may have an impact as well
23 that are nontechnical issues but may very well drive some of
24 our decisions.

25 DANIEL: That's a good point because Tito, that was

1 something you brought to me about your group over there,
2 similar discussion. Yeah.

3 Okay. Any other comments?

4 Diane. Let me grab you a microphone.

5 D'ARRIGO: Diane, Nuclear Information and Resource
6 Service. I raised a request that there be a technical review
7 of the various options for managing the fuel at the reactor
8 site at the long term without assumption that there would be
9 transportation.

10 LOMBARD: Sorry. Mark Lombard, quick comment. So one
11 of the--in my mind the biggest nontechnical issue is since
12 there is no place to put--there is no repository that is a
13 result--resulting in over 1800 dry cask storage systems
14 around the country right now. If you look at the biggest
15 issue in my mind it's we don't have--we haven't implemented
16 the key pieces of the Nuclear National High Level Waste
17 Storage and Strategy that was issued in January of 2013.

18 PEDDICORD: So we haven't had the opportunity to browse
19 through the remaining 63 comments here that were recorded
20 from this session. But I think you're going to have that
21 chance. So again, please dive in, provide the input, get
22 them sharpened up so they reflect the sorts of points you
23 were wanting make and so on. And whatever order and process,
24 these will start coming together, and this will form the
25 basis, I think, of what the Board ultimately turns out of

1 this process, concludes, recommends, and so on.

2 DANIEL: Any other comments on Session 1? All right.

3 Marvin.

4 RESNIKOFF: I wanted to lay out a heretical point that
5 follows what Diane D'Arrigo said which is perhaps it may be
6 better not even to have a repository. In other words, some
7 of us may consider a repository just the Earth, an imperfect
8 container compared to continual management of spent fuel
9 where it is. I know that's not part of our discussion.
10 We're always looking at how are we eventually going to get
11 this material into the ground safely. But there is another
12 alternative which is we don't get it into the ground, we just
13 leave it where it is or in a centralized storage location
14 forever.

15 DANIEL: Okay. All right. Thank you, Mark.

16 Okay, folks, that concludes feedback from Session
17 1. I'm going to turn it over to Bret Leslie from here to go
18 through Session Number 2. Thank you for your participation.

19 LESLIE: So we'll begin on Session 2 here in a second.
20 We kind of did something different, and hopefully it's going
21 to be received a little bit better. But let me--well, we did
22 as best as we could trying to capture things as quickly as we
23 could. And our rapporteurs were Sue Clark and Jerry Frankel.
24 And Jerry's going to go through what we've kind of tried to
25 distill.

1 One of the things we tried to do in that session
2 was to kind of feedback maybe 35 minutes, 40 minutes before
3 the end what the rapporteurs had heard so that we could
4 adjust things. And so with that I'm going to turn it over to
5 Jerry.

6 FRANKEL: Thanks. Thanks, Bret.

7 Yeah, what I would like to do is report is in
8 Bret's words, the smaller but better session. That how he
9 started it out this morning. You know, in my day job--I'm at
10 Ohio State University, a Professor of Geoscience--I spend a
11 lot of time trying to make sense out of, like, disorganized
12 comments from graduate students. And then I do a lot of
13 editing and writing and making PowerPoint slides and, you
14 know, spreadsheets. So I always thought I was really
15 qualified to be an executive assistant to someone, but I
16 think this morning we disproved that notion. So I am going
17 to do the best I can.

18 Unlike my colleague, Professor Peddicord here, I'm
19 going to take full responsibility for everything that I say
20 here. Yeah, I do want to thank Sue Clark and Bret Leslie and
21 also Roberto Pabalan and his staff, a Board staffer who
22 helped us out this morning in organizing things. But this is
23 really more or less my view of things.

24 As Bret indicated we're going to do this a little
25 differently and not go through the laundry list of all of the

1 comments. They were captured, but try to make a little sense
2 out of it, and well, we'll see how well that works.

3 Really what we tried to do is envision a world
4 where there was a goal of, you know, plan for spent fuel.
5 And the plan was to do direct disposal. So what would that
6 look like and what would be involved with doing that? And I
7 think everyone in that room agreed that what the rest of you
8 were talking about was kind of crazy. You know, so I mean,
9 the idea of cutting open these packages and, you know,
10 repackaging it, it's complicated, it's expensive, risky, you
11 know, there's a lot of exposure risk. And it can be done,
12 but just use that as the rationale to move forward.
13 Obviously there are a lot of risks and complications with
14 direct disposal, and in the end maybe repackaging wasn't.
15 But this was kind of what was framing our discussion is that
16 we need to think about direct disposal.

17 And as was discussed here a few moments ago, you
18 know, the lack of a plan really impacts everything. So it's
19 very hard to talk about all of this without knowing where the
20 waste is going. But let's try to do the best we can.

21 All right. In this matrix, which, by the way, I
22 should say that those of you who are in the room, you'll
23 notice I spent the first half typing on the computer and was
24 trying to fill out this form that Lee showed to bin all the
25 comments into the right matrix. And we pretty much realized

1 that wasn't going to work, so I gave that up. Although, it's
2 an interesting exercise, it didn't really capture a lot of
3 discussion that was going on. So I'm not going to frame what
4 I have to say there except for the fact that you could, you
5 know, you could do this backwards arrow from that bottom
6 right diagonal cell into everything. And so it limits what
7 we can talk about. But let's just ignore that for the moment
8 and move forward.

9 The other thing is that we had a discussion about I
10 would say--you know, I like Rod's comment about
11 harmonization. You know, there's this discord that exists
12 with the stakeholders. All right? And it seems that by--if
13 we could in our idealized view of the world where a decision
14 is being made for direct disposal, if that decision could be
15 made, then it might be possible for all of the stakeholders,
16 the Department of Energy, the regulators, the utilities, and
17 the interested other parties to allow the discussion to move
18 forward so we can frame things and make decisions and move
19 forward. So that even making that one strategic decision, it
20 would really help the whole program move onward. So I
21 thought that was interesting.

22 Yes, Diane. I already learned your name.

23 D'ARRIGO: Diane. Nuclear Information and Resource
24 Service--D'Arrigo. Can you tell us what direct disposal
25 implies or what that--what you exactly mean by that? Is it

1 going from the utility to the disposal site or what are you
2 all assuming that means?

3 FRANKEL: Yeah. I guess that isn't really captured in
4 any of the upcoming slides. So yeah, I discussed some of it,
5 but yeah, okay. Yeah.

6 Well, yeah so--can I put that off for a moment?
7 And, please, come back to that question if it isn't answered
8 by what I described coming up. Okay?

9 D'ARRIGO: Okay.

10 FRANKEL: Yeah. It's probably best to do that.

11 Okay. I think the last background issue is the one
12 that Rod mentioned is that if this decision is made for
13 direct disposal, that could limit siting options. And that
14 might be a bad thing, that we end up with no site that is
15 suitable. Or maybe it's a good thing some people, that again
16 by making these decisions, that allows us to move forward.
17 And limiting options might be a good thing, but there could
18 be an impact there. Okay, those are the background issues.

19 So the other--the comment here is that we might in
20 this world of direct disposal try and separate out these two
21 types of canisters, those that are existing already and those
22 that will exist. And so with that you might want to, you
23 might be able to handle them separately. So we have this
24 situation where we already have canisters, and so maybe to
25 answer your question, we might want to take those canisters

1 and move them--well, maybe we have a consolidated storage
2 facility where they're held. Or if they aren't, that doesn't
3 happen, move them right into a repository. So that would be
4 without cutting them open and putting them into another
5 canister.

6 D'ARRIGO: Direct means not recontainerizing?

7 FRANKEL: That was Diane again. And direct would mean,
8 right, without removing the fuel assemblies and putting
9 them--moving them from let's say these existing ones,
10 removing them from where they exist into another canister
11 that's suitable for a repository. Okay? There might be some
12 modifications that are made. There might be some of
13 modifications that are made with an overpack, and I'll talk
14 about that.

15 BAHR: Jean Bahr. All of the discussions were that it
16 wouldn't be the canisters or the casks that would go
17 directly into the repository but that there would in fact be
18 an overpack on top of them. It's just that they wouldn't be
19 unloaded into something else.

20 FRANKEL: Right. So we'll talk about that.

21 D'ARRIGO: This is Diane. I'm just trying to understand
22 when--I am sorry if I'm repeating, but what would be--what's
23 direct and what's indirect? It sort of implies we were doing
24 indirect in here and you guys were doing direct.

25 FRANKEL: Well, I don't think that direct means that

1 there's indirect. It's direct as opposed to repackaging.

2 BAHR: This is Jean. Yeah. It's either
3 repackaging--either taking the fuel rods out of one package
4 and putting them in another, or taking the package that the
5 fuel rods are in and putting them into the repository. But
6 probably putting something else around them before to begin
7 with before they go--

8 D'ARRIGO: Is that direct?

9 FRANKEL: Right. So I would say it's repackaging or not
10 repackaging. Maybe that's a better way to say it.

11 BAHR: Yeah.

12 LESLIE: So again, as a facilitator for that session, we
13 did not look at repackaging. We looked at what are the
14 implications of the 1700 on terms of getting it to disposal.
15 Now, it could be stored at an interim storage facility, but
16 it wouldn't be repackaged. It would be then transported to a
17 repository. And so we framed the discussions and kind of the
18 things there with that.

19 And it came out very quickly that you could try to
20 capture this in two types of streams, those that we've
21 already repackaged that could be directly disposed--and if
22 you think about things differently, you might directly
23 dispose some of the existing inventory that's going to be
24 repackaged or packaged in the future, thinking about, yes,
25 we're going to do direct disposal of these new higher burnup

1 fuels for example. So we, the session, really looked at not
2 repackaging the fuel.

3 FRANKEL: Right. Let me just say that my presentation
4 is not very long, and so really, maybe if you just let me
5 take five to ten minutes to do it and then we can have the
6 discussion, it would be a better use of our time.

7 So, right, so the idea is that we have existing
8 packages and those that will exist, so something like 1700.
9 And there are a lot of designs. And these are relatively hot
10 and heavy so the utilities are packing them in a certain way
11 because of safety considerations, because of economic
12 considerations. But they are what they are.

13 And the other thing associated with that is because
14 of the many designs the regulators would have a complex job
15 if, in fact, those were not to be repackaged and were to be
16 put into a repository. It would be hard for them. But some
17 thought, well, so what; they can handle that. But that is
18 something that would come from that.

19 Okay. And then if we separate out those and say
20 then let's look in the future, there's a possibility once we
21 make the decision in our ideal world of direct disposal that
22 we could change things, might optimize the canisters. And
23 maybe this could be through regulation or through site
24 selection criteria, some way that there are specific designs
25 for those canisters that are required. And they may be

1 suitable for storage, transportation, and disposal or not.
2 And I'll talk in the next slides about what some
3 modifications might be. But maybe you just put them into a
4 canister that's suitable really to go right into a repository
5 after storage but that wouldn't have to be handled again.
6 It's a possibility. Okay. But then the question is really
7 who pays for the higher costs that are associated with this
8 optimized canister?

9 All right. So we really had the good luck to have
10 had a very nice presentation made yesterday by Tito Bonano.
11 And Tito listed three technical issues to which we added a
12 fourth that was really brought up in the discussions. So
13 weight--size and weight, really, thermal effects, criticality
14 effects, and then this fourth one, environmental stability
15 effects. And in the following slides what I hope to do is to
16 just mention issues associated with each of those, a lot of
17 which were brought up yesterday but I think also captured the
18 discussion we had today about these issues.

19 So size and weight, of course there's difficulties
20 associated with the transport handling and emplacement and
21 retrievability--I'll say I'll mention that later--of large
22 heavy canisters. But then you might think that engineering
23 solutions are possible. This is just size thing. So the
24 Egyptians built pyramids for god's sakes, big things, and so
25 maybe there are simple engineering solutions to handling big

1 things in reasonable ways.

2 And then furthermore, the future canisters, maybe
3 they're designed differently, so maybe there are size
4 restrictions that are put on them because we're focusing on
5 direct disposal. And so the Swedes have smaller packages
6 that allow them to handle them differently. Of course that
7 leads to trade-offs in number, we can have more packages,
8 there's more risk involved with more numbers. But some
9 assessment can be made, an informed assessment about the
10 right size to handle these kinds of things.

11 There was some discussion and there was no
12 agreement about this, but a statement was made that storage
13 canisters, they're not certified currently for transport, but
14 maybe they could be was the comment, although, others thought
15 that there were certain canisters that just never could be.
16 But the idea is that it might simplify things a lot if you
17 didn't even have to worry about putting them into canisters
18 that would transport them, so--just reporting on the
19 discussion here. I'm not taking any sides, but an
20 interesting notion.

21 So that first was size and weight. The second was
22 thermal effects. Well, the canisters that exist, some of
23 them are hot. And so this will influence if it were to be
24 done, influence the repository design. That means the
25 geologic formation type, the drift spacing, and the canister

1 spacing. So if you're dealing with hot canisters, of course
2 you'd have to allow for that. And so there are costs
3 associated with that. There are siting implications, a lot
4 of implications. But it seems to me anyway, personally, that
5 that could be handled through the right design and selection.

6 We talked about a lot about predisposal storage and
7 cooling. And so this would have to be done in a smart way,
8 so--and maybe for a long time. So, you know, it was said
9 let's just never put them underground. Well, anyway, you
10 might want to hold them above ground for a while, let them
11 cool off more, and then that would impact the repository
12 design if they could be cooled. So there was a lot of
13 discussion on this, doing this in a smart way and allowing
14 direct disposal.

15 So high burnup fuel has implications. Maybe longer
16 storage is required because they're hotter. There was some
17 discussion about transporting it at the right time, so
18 there's this ductile to brittle transition having to do with
19 hydriding of the cladding. So again, you have to do this in
20 a smart way. Cool at the right place at the right time,
21 transport at the right time. And again if we have a perfect
22 world where we can specify canister design, well, then we can
23 do it maybe in a way that allows for handling of these
24 thermal effects.

25 Criticality, well, there was discussion about the

1 need for better analysis of the existing canisters, the
2 details of the fuel history, what's in each canister, and
3 then making an informed decision. I'm not sure I captured
4 all of that comment correctly. And just give me a minute and
5 you can clarify that.

6 Future canisters might be altered to limit
7 criticality, so again, a smart canister might have neutron
8 absorbers embedded in some way, so again, separating what we
9 have from what will come in the future. So I guess this was
10 part of it--assessment of criticality in performance
11 assessment. How you deal with criticality and form an
12 assessment could affect the design. So, you know, is it--how
13 that's considered.

14 LESLIE: So whether it's screened out just on
15 probability or whether the regulation under Part 63 allows
16 criticality potentially to be screened out on a risk argument
17 based on probability and consequence.

18 FRANKEL: Right. Okay. The last of the four was the
19 environmental stability in the repository. And really Tito
20 didn't cover this, but I think the underlying assumption was
21 that we can we can deal with it. So we have at this point
22 unknown repository conditions, environment that is. So maybe
23 it's saturated, maybe it's salt, maybe it's clay,
24 maybe--whatever it is, that will be decided at some point.

25 And this actually is my specialty by the way, so my

1 area is corrosion. So you might rely upon the expertise to
2 come up with some smart overpacked design that will give you
3 the required lifetime in whatever the repository environment
4 will be. So direct disposal, I think to get to what Jean was
5 saying here, direct disposal would probably require some
6 protection against the environment. And Yucca Mountain
7 really is an example where the engineered barriers allowed
8 you to deal with all of the conditions that might or do exist
9 within that mountain.

10 And in fact one of the things that came out of that
11 was that Alloy 22 is a pretty good material, and we might
12 consider that it's suitable for the environments like Yucca
13 Mountain where as there are--other environments are being
14 addressed around the world, and a lot of work has gone into
15 the appropriate solutions to deal with the environmental
16 resistance that's required in those situations.

17 So I think this is my last slide to try and capture
18 some other things that came out. There was this issue of
19 retrievability. And there was some discussion about well,
20 what retrievability means. So is it canister based? A fuel
21 assembly based? Retrievability related to disposal? How are
22 you going to pull out heavy packages? Is there engineering
23 solution to that?

24 There was some discussion about how handling of
25 these heavy canisters could lead to gouging, galling,

1 scratching of the surface which would then not meet the
2 requirements according to some regulations. And that could
3 be an issue as these heavy packages get handled. It's going
4 to be hard not to alter their surfaces. That was a comment
5 that was made.

6 Yeah, and I guess this point really could have been
7 brought up previously as we have this--at least when I talked
8 about separating from past or existing and future--but the
9 possibility of multiple repositories might allow us to design
10 them specially to handle different types of waste. So this
11 could be existing versus future canisters or also maybe
12 handle the DOE spent fuel or high-level waste differently, so
13 bring up this issue of commingling. If you decide not to
14 commingle, it gives you some design flexibilities that will
15 allow a smart way to handle direct disposal.

16 So again, I hope that I captured the important
17 thoughts that were brought up. There were a lot of other
18 things. You know, I encourage those of you who were there to
19 mention the comments that I didn't include that you felt were
20 really important.

21 LESLIE: Jerry, that was great.

22 And I appreciate the audience allowing him to kind
23 of walk through and get through his slides. And I'm sure he
24 and everyone else in our session will be happy to answer
25 questions or if there's clarifications needed. And so at

1 this point I'm going to need my runners if people have
2 questions or comments.

3 Rod?

4 And don't forget to identify yourself for the
5 record. And I'm Bret Leslie.

6 EWING: Okay. Rod Ewing, Board. So first, this was a
7 very nice and fair summary. I was there, and you've captured
8 the major points. But still I'd like to offer a
9 counterpoint. And I voiced this along the way, but perhaps
10 not in a very articulate way.

11 So going back to your first slide, the rationale
12 for direct disposal was that repackaging is complicated,
13 expensive, and risky. So what I'd like to suggest is that if
14 we look at--

15 FRANKEL: That was my own opinion by the way. I'm sorry
16 if that didn't capture--probably didn't capture the crowd.

17 EWING: Yeah. So this is something to discuss. And
18 what I want to say is if we look at geologic disposal, you
19 know, licensing a repository, first I would say it's also
20 very complicated, in fact, much more complicated than
21 repackaging spent fuel. If you look at the performance
22 assessment or the science that's required to support the
23 performance assessment, you find models that go from the
24 atomic scale to the scale of tens of kilometers. And we
25 tried to roll all of those processes up into an analysis and

1 then extend that over a one-million-year period.

2 So making a--building, licensing a successful
3 repository, that's complicated. Expensive? Well, I think
4 building repositories or studying them and failing is very
5 expensive. It's on the scale of 10 to 15 billion dollars.
6 And remember that in order to successfully move forward with
7 the license, we have things like titanium drip shields for
8 which there's considerable expense, certainly comparable to
9 the expense of repackaging.

10 And then risky, well, this is a problem of what is
11 risk today versus the longer term or from the perspective of
12 geologic disposal. But I'd suggest that putting tens of
13 thousands of metric tons of spent fuel in the ground at
14 pretty shallow depths, 300, 500 meters, that's somehow risky
15 and requires careful attention.

16 And then finally, it could be that repackaging for
17 the repository performance, for enhancing repository
18 performance, that may be the key to success for closing the
19 fuel cycle, building a repository. So I think these are
20 difficult things to weigh, but repackaging versus ensuring
21 that you have really a robust set of barriers in your
22 repository system, we have to analyze those trade-offs.

23 LESLIE: Thank you, Rod.

24 Are there other questions or comments? Okay. I'll
25 go to Mary Lou and then to Ernie.

1 ZOBACK: Mary Lou Zoback, the Board.

2 And Jerry, you did a great job of capturing things.
3 One thing that I felt dropped out maybe a little bit with the
4 organization was the emphasis on the system's approach. And
5 let me give one example that kind of came up in the other
6 session.

7 The rationale that was given to--in our discussion
8 for the larger and larger, dual-purpose canisters was that
9 it's less expensive and involves less risk to the workers.
10 But the reality is if that then means a whole lot of
11 repackaging in a system's approach, there may be far more
12 risk with the repackaging as the fuel rods have decayed and
13 things like that.

14 So we've got to keep the risk perspective in--you
15 can minimize risk for one factor at one part of the cycle,
16 but ideally we can optimize a solution that minimizes risk
17 throughout and benefits the nation rather than any individual
18 stakeholder.

19 LESLIE: Thank you, Mary Lou.

20 And Ernie. And before you do it, I'm looking for
21 hands or a motion and then that way I can kind of guide the
22 proceeding. Thank you.

23 HARDIN: Ernie Hardin, Sandia Labs. I agree with the
24 presentation. Thank you. And I wanted to add something to
25 it which is that there was some discussion in our session

1 about whether it was a good idea to look for a site for a
2 geologic repository that favored direct disposal. And I
3 wanted to point out to you that the same characteristics that
4 make that site amenable to direct disposal also make it a
5 good site for any geologic disposal purpose and for purpose-
6 designed and build repackaging. So really I don't see a
7 discrepancy there at all.

8 LESLIE: Thank you, Ernie.

9 Jean, and then we'll go to Arjun next after that.

10 BAHR: Jean Bahr, Board member. You referred in most of
11 your slides to sort of optimizing future packages. And I
12 think that one of the things that I heard in the session was
13 that while that's maybe a laudable goal, I think there's a
14 lot of institutional barriers to that actually happening.
15 And it gets back to the lack of system-level approach and
16 incentives to work at the system level that Mary Lou referred
17 to. And I don't know how we overcome that in the way the
18 system is structured now.

19 LESLIE: Thank you, Jean.

20 Go ahead, Arjun.

21 MAKHIJANI: Yeah. I really agree with the Chairman's
22 sentiments here about repackaging and repositories and in
23 part because not all risks are equal as we sit here. I think
24 we have benefited to some extent from nuclear energy. It's
25 in our grid, and we turn on the lights, and we get the

1 photons. And when we look at--you know, even for those of us
2 who don't like nuclear energy which is my well-known
3 position, we still turn on the lights and we get the photons.
4 I think so this is not just a matter of saying minimize risks
5 or optimize risks in some way. I think it's who's going to
6 bear the risks for the benefits that we got, and who's going
7 to bear the cost for the benefits that we got?

8 And I do think the properly ethical position, at
9 least in my world view, is that the closer it is in time and
10 cost, properly done--and I do support a repository
11 program--is much better than kind of kicking the can down the
12 road so to speak and saying okay, future risks are the same
13 as present risks. This is sort of a reverse discount
14 problem. I think future risks are much worse than present
15 risks.

16 Now, within the present generation how we excite
17 equity, this is a very complicated question.

18 LESLIE: Thank you, Arjun.

19 I've got Diane. Are there other people who have
20 comments? Okay. We'll go to Judy after Diane.

21 Go ahead, Diane.

22 D'ARRIGO: Diane D'Arrigo. I thought it was interesting
23 that you hinted that there's a point in time where it's the
24 best window to move the fuel. There's a time between when
25 it's really hot and it has cooled down and then when it's too

1 late maybe. And I wondered if you could elaborate on that a
2 little bit.

3 FRANKEL: Well, I can give you my understanding which is
4 really limited. So we saw yesterday how this cladding
5 material can hydride, and so this is a little bit in my area
6 that zirconium, when it corrodes, the reaction connected with
7 the oxidation of zirconium would be the generation of
8 hydrogen. Hydrogen is absorbed into the zirconium and it
9 forms a compound. It's zirconium hydride that is unlike
10 metal. It's a chemical compound that doesn't have good
11 ductility. It's very brittle and can crack.

12 So it's not a good situation for the integrity of
13 the fuel assemblies to have a rod to be stressing them on the
14 condition--say subjecting them to a situation where they
15 might be stressed and a condition where that stress would
16 cause them to easily crack.

17 D'ARRIGO: How much time is there? When is that window
18 is the question.

19 FRANKEL: Okay. Good question.

20 D'ARRIGO: And I guess for high burnup it's later.

21 FRANKEL: Right. So Diane--

22 D'ARRIGO: And so what you would want is to go to a
23 final--do you want me to stop?

24 LESLIE: I want to try to get an answer for you. You're
25 asking a question, and let me try to expand a little bit.

1 The person who actually was raising this had to leave to go
2 back to NRC. So I'm looking for someone--

3 And, Peter, if you want to take a crack at it, why
4 is there this window kind of thing?

5 And then we'll come back to you to see if that
6 scratched your itch. Okay, Diane?

7 SWIFT: Peter Swift, Sandia National Laboratories. And
8 there are others here who actually are expert in this. The
9 point I would like to make is to caution against the idea
10 that there's a point in time at which it is too late. We do
11 believe that it does--the cladding will increase its
12 brittleness as it ages, as it cools. It may turn out that
13 it's quite transportable, even at very low temperatures.
14 There's no particular reason to say there is some window out
15 there at which point we will no longer be able to transport
16 it. So and the other side, yes, it definitely does
17 become--we believe it becomes more brittle as it cools.

18 Now, is there someone here who actually wants to
19 add to that? Brady Hanson?

20 LESLIE: Peter, I'm going to--my rapporteur asked me to
21 add to this as well.

22 Judy, we will get to you.

23 TREICHEL: Just to clarify what was said in the session,
24 no one in the session ever said it was too late, it's just
25 whether or not it's easier or more difficult depending on

1 what point in time you're in. So the statement that it's too
2 late actually came from an individual who was not in the
3 session. And so that doesn't reflect what was said.

4 LESLIE: Diane, did that clarify things for you a little
5 bit?

6 D'ARRIGO: The title of this whole day and a half
7 included transport, and I think that we didn't really get
8 into the risks of transport. And I want to make sure that
9 it's reflected that at least some attendees feel like that is
10 a significant factor and that just adding extra steps and
11 more transport steps is a significant risk that should be
12 factored in.

13 LESLIE: Thank you, Diane.

14 We'll go to Judy. Are there other people who are
15 going to want to comment? Go ahead, Judy.

16 TREICHEL: On your third bullet--Judy Treichel, Nevada
17 Nuclear Waste Task Force. On your third bullet you talk
18 about the direct disposal helping to harmonize. In our
19 session--and maybe it was only me that was concerned about
20 it--we talked about an integration of the whole thing and
21 perhaps some entity that was over the--you know, the nuclear
22 waste god that was coordinating both what happens at
23 utilities and what happens at the end. And obviously we
24 don't have that now.

25 And right now the utilities are in charge of making

1 the waste and deciding what to do with it, and choosing the
2 packages that they like the best. And then everything else
3 is supposed to fit itself into that. And it's a really
4 difficult thing when you look at it. Are you working in the
5 right direction? Or are you just setting up problems for
6 yourself now that get bigger and bigger and bigger that you
7 have to have more and more hurdles as you go along?

8 And there's been a lot of talk about whether the
9 back end drives the front end or the other way, but right now
10 we definitely have the front end in charge. And I think that
11 is an overriding issue that has to be looked at here that
12 will have a lot to do with how expensive, how risky, and how
13 complicated everything else becomes.

14 LESLIE: Thank you, Judy.

15 I got Mark Lombard up here. Again, just feel free
16 to catch my attention and I'll make sure I get to you.

17 LOMBARD: Mark Lombard, NRC. I want to be clear that
18 there's a lot of analyses, lot of research ongoing now about
19 high burnup fuel. And it's not conclusive whether or not or
20 if it is possible or if it does occur at what temperature
21 that that would occur. There's a clear indication that there
22 is a ductile brittle transition temperature for high burnup
23 fuel, and it depends on how high the burnup is. But it's not
24 clear exactly when that occurred.

25 So it's something that we're continuing to analyze.

1 We're analyzing it. DOE's analyzing it. We're doing some
2 work together. So it's not clear what time in the life
3 cycle, if there is a ductile to brittle transition
4 temperature, that it results in a degree of cladding failure.
5 And again, that degree of cladding failure is not defined yet
6 because the analysis is not completed yet. But it's not
7 clear when that would occur. It might occur at 20 years. It
8 might occur at 50 years. It might occur at 100 years. So
9 we're continuing to look at that.

10 I just want to make it clear that it's more of a
11 may, you know, may occur. Cladding failure may occur. Or
12 there may be a mechanism that may cause cladding failure.
13 And even if it does occur, we're still not sure yet what
14 percentage it might cause of cladding failure. Even
15 if--there's the other side of the safety issue here--even if
16 you had--and this is if, big if, I want to be clear--if you
17 had gross cladding failure, it's not clear--and we're doing
18 research on this end as well--it's not clear that that would
19 create a safety issue.

20 If you had what we call rubblization in the bottom
21 of the canister, it's not clear that that would be a safety
22 issue. And matter of fact a lot of folks are saying based on
23 what we've done so far, that would not be a safety issue. So
24 I want to just make sure we put this in the proper context.

25 LESLIE: Thank you, Mark.

1 And I've got one in the back, and then I'll come up
2 to Lee here in a second.

3 SANCHEZ: Robert Sanchez with GAO. Just a couple of
4 observations. I was not in this particular group. I was in
5 the other one. But I have done a little bit of work on some
6 of the social and political issues on the site, sort of
7 outlined factors on this. And one of them is that if you are
8 planning to do direct disposal, leave the spent fuel in the
9 current canisters that they are, what's the incentive to do
10 anything? There may be not much incentive to do anything.
11 You could just leave them as they are. And, in fact, that
12 kind of has been the current case for a long period of time.
13 Kind of I think as someone mentioned as kicking the can down
14 the road.

15 Another thing that I think is just a general
16 observation with these charts is--and then granted, this is a
17 technical conference. It does leave out the cost and
18 social/political factors that really may be drivers behind
19 some of these technical issues. And in particular one, for
20 example, time frames.

21 If you leave the canisters just sitting where
22 they're currently stored, time may dictate repackaging just
23 over degradation over a period of time, and you may not have
24 a choice. So there may be some other factors that may come
25 into play that unless you think about some of these

1 nontechnical issues, may have an impact on the technical
2 issues.

3 PEDDICORD: Lee Peddicord from the Board. Question to
4 Mark or maybe Jeff or DOE or lab folks if you're looking into
5 this.

6 In terms of the ductile-brittle transition, have
7 you all been able to characterize the advance clads, ZIRLO,
8 the other ones, in terms of these characteristics?
9 Ultimately, when we get to the end of lifetime of these
10 reactors, the inventory may be in fact made up of the
11 majority of the advanced claddings as opposed zircaloy.

12 LESLIE: Lee, thanks for your question.

13 I think Brady.

14 HANSON: Yeah. Brady Hanson from Pacific Northwest
15 National Lab. And in this case I'm responding as I lead the
16 experimental program for the storage and transportation work
17 under the Used Fuel Disposition Campaign, so I report to
18 Peter on this.

19 The answer is a very most definite yes. You will
20 see in Mike Billone's presentation tomorrow that the DOE has
21 continued the work that NRC started doing these ring
22 compression tests on cladding. What Mike will present will
23 show that we have looked at ZIRLO and M5. You will see that
24 it is very much a characteristic of the cladding type.

25 What happens, and I want to echo what Mark said

1 that, you know, I want to caution people that what has been
2 done so far to date has been performed with what we call the
3 radiohydride treatment at very high temperature, meaning
4 400 degrees C. I want to remind people that that is the peak
5 clad temperature that NRC allows without the applicant having
6 to jump through other hoops. And I can most definitely
7 assure you that when you look at design basis for canisters
8 and what their heat is, the companies, the fabricators, the
9 utilities are very conservative in their models when they go
10 to NRC with what temperature did we get to because they want
11 to make sure they are well within those bounds.

12 What that means is you'll see people putting out
13 that we've--here's what design basis is. When you don't load
14 to design basis, your temperatures are actually much lower.
15 You didn't even get into the region where this hydride
16 reorientation is an issue. Similarly, when you see Mike's
17 presentation tomorrow, you'll see that the issue comes about
18 when you have very high hoop stress in the 120 to the 140
19 megapascal range.

20 There's an effort going on right now--so let me
21 step back. So we have efforts as does NRC on defining what
22 are realistic temperatures. Let's not all assume that
23 everything is at 400. It most definitely is not. We have an
24 effort going on and EPRI does as well right now to look at
25 what are realistic end-of-life pressures in high burnup fuel

1 rods. If it's not anywhere near as high as what it is to
2 create these very high hoop stresses, again, then this is not
3 a real issue.

4 So as Mark says, the testing was done at very high
5 levels, near the regulatory limits, let's say. It did
6 identify that yes indeed, the hydrides can reorient. It can
7 lead to brittleness. And like I say, tomorrow you will see
8 that it's a function of what temperature did it go to? What
9 pressure was it at? What cladding type is it?

10 But again, as Mark said, what's the consequence?
11 When you see the pictures tomorrow, you're going to see it
12 basically looks like a through wall, very small crack. It's
13 really no different than if you have a pinhole or hairline
14 crack in the existing cladding.

15 So I want to caution people against jumping that
16 this is really bad. I also to want throw in one other really
17 neat thing. In the last few years both Japan and France--and
18 we're starting a program at Oak Ridge this fiscal year to
19 look at the effects of radiation damage in cladding because
20 we all know that that reduces ductility. But the French and
21 Japanese have shown that in the time frames of dry storage,
22 meaning greater than a year and at the temperatures we're
23 talking about, you would anneal out much of that radiation
24 damage, and you've restored ductility. That's something that
25 none of our models beforehand have taken into account.

1 So I just want to emphasize that within the DOE
2 program under Peter, we have a very what I would call
3 comprehensive testing and modeling program looking at all
4 these aspects together including what are the loads during
5 transportation? How much degradation can I have and still
6 remain intact during normal conditions of transport? So I
7 think you'll be happy when we're done. Just make sure we get
8 enough money.

9 LESLIE: Thank you.

10 Other questions? Okay. Deborah, right in front of
11 you. Right behind you.

12 PHILLIPS: Chris Phillips of Energy Solutions. I just
13 wanted to come back on the comments made by Judy here and
14 others about the utilities calling the shots for what size
15 canisters they use, and rightly so because they want to
16 minimize their costs. They want to minimize their
17 work--radiation up--dose uptake. And they're not required or
18 compelled to look at the overall system.

19 I would suggest that even when we had a repository
20 in plan and an overall plan, it was hard enough then to get
21 the utilities to take a different view. Without a repository
22 at the moment and without a plan, I would venture to suggest
23 it's virtually impossible. I mean, we've got to accept the
24 fact that the utilities will do what is best for them to
25 generate electricity, protect their workers, and indeed

1 protect the rate payers who take the electricity.

2 So it's a question that we discussed this morning,
3 but there was an overall factor there. I think you've got to
4 just--we just have to accept that. It's not a very nice
5 conclusion, but it's one I think we need to bear in mind
6 until something changes and there's an overall plan that
7 gives a rationale to go back to the utilities and say, "Well,
8 now we want to talk to you about doing something different,
9 and we're probably going to pay you to do something
10 different." We're not going to get them to do something
11 different.

12 LESLIE: Thank you, Chris.

13 And then Nigel.

14 MOTE: I hesitate to get in the middle of the other
15 discussion, but one addition to that I think, and Adam can
16 tell me if I'm speaking generically or there may be special
17 cases. The utilities are in fact required to minimize their
18 costs.

19 The public utility commissions and the public
20 service commissions would take a dim view of any utility
21 saying, "I'm going to go for small packages because 50 years
22 from now, 100 years from now, 200 years from now, DOE or the
23 implementer might decide that was the right thing to do. But
24 I'm making the decision against my better commercial
25 interests." I think the PFCs and the PUCs would not let them

1 do that.

2 Adam, do you have--add to that?

3 LESLIE: Thank you, Nigel.

4 Other questions or comments on any of the slides
5 that Jerry presented.

6 BADER: Was there any discussion--sorry. Sven Bader
7 from Areva. Was there any discussion on how large these
8 things can get?

9 LESLIE: No, actually. I'll answer. I don't think we
10 talked about that at all. Only in the sense of looking,
11 again, this bifurcation, looking at what's happened and
12 what's stored and then saying if you're going to do direct
13 disposal, is there some decision framework for figuring out
14 what that is.

15 Ernie, and then we'll go to--

16 HARDIN: Very quickly. I mean, we stand on the numbers
17 that Tito presented yesterday for size and weight.

18 LESLIE: Right. But I'm not--okay. And let me
19 reframe--he's saying did you talk about how big it could be.
20 Well, and I think that was his question.

21 BONANO: So I think--this is Tito Bonano from Sandia
22 Labs. Right now some of the bigger packages are holding 36
23 to 37 PWR assemblies. When you start with the package
24 itself, the DPC, you're talking about 50 metric tons. By the
25 time you're at the overpack, you go up to about 70 to 80

1 metric tons. Then when you take the shielding, you're
2 basically doubling that size, so you're now talking about
3 maybe about 140, 160 metric tons. And then if you have to
4 put it down a hoist and the weight of the car, so it's about
5 175 to 180 metric tons. So these are big honkers. I don't
6 know how else to describe them.

7 LESLIE: Thank you, Tito.

8 Others questions? We'll go back and then come to
9 you, Peter. All right?

10 LANTHRUM: Gary Lanthrum, NAC. Yesterday I think it was
11 Tito presented some information that showed the thermal
12 limits as a function of the geology, it's not of the
13 packages, and looking at how various repositories, whether
14 it's salt or sedimentary formation or hard rock, how they
15 would perform under various temperatures. And I thought that
16 was a major constraint. And in your slide you showed
17 yesterday, you showed there would be a very long period of
18 cool-down time for the large packages to be able to directly
19 dispose of them. Did your group talk about that and the
20 implications of even longer storage to meet the thermal
21 limits of some of the rock formations?

22 LESLIE: Yes. The group did talk about that. We talked
23 about it in a trade-off some. And I'll let anyone else that
24 was in the session talk about it some more. But let me go to
25 Peter first, and if there's anyone else who wants to expand

1 upon what I just said, please do.

2 SWIFT: Peter Swift, Sandia National Laboratories. I
3 was not in that discussion this morning. I was in the one in
4 this room, but to some extent you could offset that thermal
5 limit by going for larger and larger and larger spacing.
6 There are other variables you can adjust in that. But--

7 Tito, you wanted to add to that?

8 BONANO: Yes. This is Tito Bonano. So in the
9 presentation yesterday, yeah, I remember the slide that
10 you're mentioning, Gary. I also showed another one that
11 shows that the thermal conductivity of the geologic medium is
12 a big factor in dissipating the heat.

13 A secondary factor in that analysis was the spacing
14 between the waste packages. And I think very quickly when I
15 was talking about the different disposal concepts, the
16 different types of geologies, I looked--you know, I mentioned
17 assuming 10,000 packages, give or take, by the year 2050 in
18 the sole repository because of the heat dissipation
19 capabilities, you look at maybe nine square kilometers of
20 underground space. When you go to a hard rock, you're
21 probably looking at about 14 or 15 square kilometers. When
22 you go to a sedimentary rock, then you have to go to about
23 20 kilometers.

24 So you can manage the heat by spacing--the spaces
25 between the waste packages and the spacing between the

1 drifts. But the trade-off is, then you have a much more
2 bigger aerial extent of the underground. So you have a much
3 bigger chunk of real estate for the repository site. So
4 those are some of the trade-offs that have to be dealt with.

5 LESLIE: Okay. If it's responding directly to Tito,
6 then we'll take it. Otherwise, Peter has another one that--

7 LANTHRUM: It is.

8 LESLIE: Okay. Sorry.

9 LANTHRUM: Gary Lanthrum, NAC again. I'm just curious,
10 because as you grow the footprint, not all rock formations
11 are homogeneous. And you get fractures and other things that
12 may--your actual extent may be much larger just because
13 they're trying to find good homogeneous rock.

14 BONANO: Tito Bonano from Sandia.

15 Gary, you're absolutely correct. And I made a
16 statement this morning that at this point in time you're only
17 looking at generic geologic formations. You know, there's a
18 big difference when we go to a specific site, when we have to
19 characterize the site. So we may get surprises. At this
20 point again I want to reiterate the fact that we're looking
21 at generic geologic formations, not a specific site. And
22 when we go to a specific site, the ball game may be
23 completely different. So you're absolutely right.

24 LESLIE: Okay. Thank you. Rob, is this on the same
25 topic?

1 HOWARD: It is.

2 LESLIE: Okay. We'll get back to Peter.

3 HOWARD: Yeah. One of the things that wasn't
4 necessarily presented--

5 LESLIE: Your name?

6 HOWARD: Rob Howard, Oak Ridge National Lab.

7 --that wasn't presented yesterday. I mean, we
8 talked about these thermal conductivities and the so-called
9 thermal limits, but there was no correlation between these
10 thermal limits and the safety of the entire repository
11 system. So I've analyzed systems where, yeah, we've talked
12 about high temperature issues. But then when you ask well,
13 what's the safety implication? How does it affect the
14 performance assessment? The way it affects the performance
15 assessment is in the analyzability of the problem.

16 So if you have the data and the models to deal with
17 it, that's another thing that you could adjust rather than
18 saying well, we can make the drifts wider or space out the
19 waste packages in a greater distance.

20 So I think we've ported the issue. We talked about
21 it yesterday as well, we need to look at the entire system.
22 Well, here's a case where we need to at least look at the
23 entire repository safety system before we start talking about
24 well, this is a hard thermal limit.

25 LESLIE: Thank you, Rob.

1 Peter, you want to--

2 SWIFT: Peter Swift, Sandia National Laboratories. The
3 point I was going to make was that--the one we had up here on
4 the slide when Jerry had the discussion of the smart
5 engineering, things like the right overpack for the right
6 geologic environment. Those observations apply equally to
7 repackaging, what I'll call, and you'll hear me call it
8 tomorrow, purpose-built canisters as opposed to the DPCs.

9 If you were to try to design a standardized
10 canister now and then hopefully put a geologic
11 environment-specific overpack on it 50 years from now, that
12 might be--that's essentially the same as the smart
13 engineering observations you came up with in the other room
14 also.

15 LESLIE: Thank you, Pete.

16 Are there other questions or comments?

17 Arjun.

18 MAKHIJANI: Arjun Makhijani. You know, a lot of this
19 discussion--I really like a lot of this discussion. It's
20 very technically based. It's very factual. All the
21 questions are--you know, we may not agree, but at least the
22 questions are getting on the table.

23 One thing that disturbed me yesterday which I don't
24 see coming up today is that we've now, at least as I heard,
25 the DOE transitioned the idea that site selection will be

1 consent-based. I didn't hear the idea that it would be
2 science-based. And what we're talking about is the
3 repository that is science-based which is connected to
4 canisters choices, packaging, overpacks, repackaging. These,
5 in my opinion, are the right kinds of considerations. But I
6 see, starting with the BRC report but degrading somewhat from
7 that, the Department of Energy talking about consent-based.
8 And in my opinion, you can't actually have informed consent.
9 You can have money-induced consent but not informed consent
10 without doing the science first.

11 And what I would really love to see the NWTRB do is
12 to lay down some parameters for a science-based process so
13 that the other side of this governmental process can have
14 some guidelines for how to go about this. Because some of us
15 who support a repository but not a finite stream of waste
16 would have--and also our concern about economic and social
17 and environmental justice, would have a very, very hard time
18 supporting a process that starts with consent. Because the
19 recipe--and I told the BRC this--this is a recipe for
20 environmental injustice.

21 And it's not theoretical. We've already seen the
22 nuclear negotiator going around Indian reservations and so
23 on. And they have their rights, but we need to reflect a
24 little bit more. And I hope that the spirit that's animating
25 this discussion can be brought outside the NWTRB.

1 So this, I really am happy with the kind of
2 discussion that we're having.

3 LESLIE: Thank you, Arjun.

4 John, I'm going to go to Rod first.

5 EWING: Well, just to respond to Arjun. The Board has
6 noted the difficulties with informed consent and what
7 mechanisms might be available to communities so that they can
8 really exercise judgment that's in their best interest, not
9 their immediate economic interest. So this is a topic we're
10 struggling with. And we've gone so far as to look at other
11 countries which have practiced this process and tried to
12 understand what parts of the process might be transferred to
13 the U.S. So this is a subject under active consideration and
14 discussion.

15 MAKHIJANI: Thank you very much. Arjun.

16 LESLIE: Yeah. Arjun said thank very much.

17 John.

18 GREEVES: Yeah. Just John Greeves. There's really two
19 consent-based processes. So I think Arjun was referring to
20 consent for a repository. Well, there's also a consent-based
21 process for interim storage which is, let's say, less
22 complicated than a repository. And my view is the science is
23 brought to the issue with the licensing. All the science is
24 going to have to be addressed in the licensing process. And
25 the decision of a site has to go through two prisms, one is

1 consent-based with some new legislation and a science-based
2 process. So I'm comfortable it's going to happen. The hard
3 part as many people have said is the consent-based process
4 may be even harder than the science-based.

5 So I just wanted to clear the air on that. There
6 really are two consent-based opportunities. And the first
7 one I hope is less difficult than the second.

8 LESLIE: Thank you, John.

9 Other comments or questions? Just kind of where
10 we're at, we're rapidly diminishing and coming up to a break,
11 but we're not going to break early if people have questions.

12 Yes. Can you--thanks.

13 MAKHIJANI: I'd like to respond to that a little bit.
14 Sorry I'm holding the stage a little bit more than is my due.

15 You know, we had a lot of discussion in the
16 repackaging about high burnup, about failed fuel assemblies,
17 and how much we don't know. And so I would suggest that
18 saying simply that we should transport this stuff to a
19 consent-based site and that all will be okay because we know
20 how to build dry canisters, this is jumping the gun a little
21 bit on a lot of issues out there. I mean, the NRC I think
22 has listed--if memory serves me right--I'll say 20-odd issues
23 of which around 20 were high priority research issues in
24 relation to burnup that just in relating to burnup to which
25 we don't know the answers.

1 Maybe the answers will all come out saying
2 everything is hunky-dory. But today I don't think you can go
3 to a community and say, "We're going to transport this.
4 We're going to store it here for some indefinite period of
5 time, 60, 50, 100, 200, 300 years, and then it's all going to
6 be hunky-dory because we know that the fuel will be in good
7 enough condition to be repackaged and disposed of." I don't
8 think we know that.

9 And so to seek informed consent, even
10 for--especially as we authorize high burnup fuel without
11 really looking down the line, I think it's a little bit more
12 complicated than what has been presented.

13 LESLIE: Okay. Thank you, Arjun.

14 Any other questions or comments? Okay, bringing it
15 back to the process. I know we all appreciate your patience
16 this afternoon as we struggled to try to capture things and
17 reflect back to you what we heard. I appreciate your
18 patience in allowing Jerry and Lee do as much as they could.
19 And we also heard early on in the first session the concerns
20 about the timing. And one of the reasons we need to take
21 this break is so that the Board staff and the Board Chairman
22 can talk a little bit about, although this is the next steps
23 that we had laid out earlier today, what seems to make sense.
24 So that's one of the things that's going to happen in the
25 break.

1 And so let me tell you kind of what's going to
2 happen going forth. We're going to break as soon as I
3 finish. The break is actually a half hour. And that's
4 because we have to kind of even distill what we heard here
5 with some take-away messages. We want to leave you with a
6 good feeling about what you've heard and what the next steps
7 are. So at this point we're going to break until
8 4:00 o'clock when Nigel will come back with kind of the
9 take-aways and moving forward. So thanks again for your
10 attention and participation.

11 (Whereupon, the meeting was recessed for a short
12 recess.)

13

14 LESLIE: If we could have people take their seats so
15 that we can start this next portion of the meeting, first
16 off, I hope everyone had a chance to enjoy your break. We
17 took it as an opportunity to show that we're listening to
18 what you all had to say. And so we're actually changing the
19 agenda a little bit, and Nigel will kind of talk through some
20 of the things that we heard, including what we had put up
21 previously as the next steps.

22 So, I guess, with that, Nigel, why don't you do it
23 and explain what we're going to be doing?

24 MOTE: Well, don't let it ever be said that the Board
25 does not respond to circumstances. We learned from the

1 sessions this afternoon and the sessions this morning that
2 capturing things our way doesn't necessarily capture things
3 the right way for the mood of the participants here.

4 So instead of us giving feedback on the takeaways,
5 what we'd like to do is to record the takeaways from the
6 perspective of the participants. Instead of us putting our
7 ideas down in the way that we had foreseen that and putting
8 that on the Web site, we'd like to capture them in the way
9 that Bret did as a facilitator in the other session.

10 We will then tidy those up, present them, and put
11 them as a record of the takeaways on the Web site. And
12 that's something that you can comment on, also comment on the
13 transcripts when they're out, to make sure that issues that
14 you have close to your heart or you heard discussed are
15 recorded in the way that you think is appropriate to capture
16 those points. That's not to say we'll change the transcript;
17 but if you want to write in and say, There's a point
18 recorded, and I think there was another aspect to this or
19 there's an extension or I heard it another way around, you
20 submit that to us, and we will record that as input to the
21 record from the workshop.

22 So what we'd like to do is to, as I said, record
23 the main takeaways from the body of the meeting. We will
24 take comments on that for--we didn't define the date, but
25 maybe a month afterwards. We'll try and get those on the Web

1 site in the next week. The transcript will be on the Web
2 site before the end of December, hopefully by the middle of
3 December, and we would like comments by the middle of January
4 on both of those documents, which will help us with the Board
5 and the staff to write the report, including the input--
6 including based on the input that we have from--that will
7 take into account the input that we have from the workshop.

8 So can we start with overarching issues?

9 LESLIE: So before we do that--

10 MOTE: Go ahead.

11 LESLIE: --the facilitator always wants to make sure
12 that the process is understood.

13 So the first microphone, I think, is to Diane,
14 because I think she's got a process question.

15 CURRAN: This is Diane Curran. Thank you, Nigel. I
16 really appreciate the discussion and the process. And this
17 is my first meeting of the Nuclear Waste Technical Review
18 Board, so I want to honor what process you use.

19 But I want to tell you what I think would be most
20 helpful to me as a representative of Eureka County and
21 environmental organizations interested in the waste
22 confidence issue. I am assuming that this body is going to
23 do a report and make some recommendations, and I really
24 appreciate the opportunity to participate in this part of it.

25 Right now I can't remember all the things that we

1 talked about today. And even after I read the transcript, I
2 would prefer not to be the one with the job of going through
3 it and figuring out what all the points are. I'd like to ask
4 the staff to do--to look at what we say here today, add what
5 you think was important, and let's use that list and not just
6 depend on the outside participants to come up with a list.
7 We really want to comment on what you're presenting. We want
8 to participate in that by putting feedback in at the front
9 end and also looking at whatever is some draft along the way
10 saying, okay, did you get everything?

11 That's my comment.

12 LESLIE: Okay, thank you, Diane.

13 MOTE: I think there's a need to clarify some things
14 here. The Board has a limited mandate. Limited doesn't mean
15 that it can't do anything, but we have not discussed--in the
16 staff we've discussed, but the Board has not discussed,
17 making recommendations. But that's something that the Board
18 would not normally do under this sort of circumstance.

19 The recommendations have an implication of defining
20 who does what and when, and that's something that is beyond
21 the scope of what we intended here. In the framework
22 document that was in the briefing notes, what we said was
23 we're trying to capture the issues, because resolving those
24 and recommendations or what leads to resolution will take
25 years, maybe decades. It will involve not the Board, but the

1 implementer, the utilities. There will need to be extensive
2 actions taken to make progress on these issues. And I think
3 it's beyond the Board's mandate, beyond the Board's reach, to
4 be able to do that.

5 So recording the issues doesn't mean that it won't
6 lead to any action. Congress reads reports; the Department
7 of Energy reads reports; but we would not be expecting to
8 make recommendations. But I'll ask Rod to comment on that.

9 EWING: First I should say I'd hesitate to contradict
10 the Executive Director, because he's been doing this longer.
11 But, in fact, in our reports we do make recommendations. But
12 what's important to our process is the Board has to meet and
13 discuss and go over everything, and we just haven't had that
14 opportunity. So as much as I appreciate that you would like
15 to know what we think, there is no Board position at this
16 moment.

17 And so this is an opportunity for us to get
18 information and one last effort at soliciting what you think
19 are the important issues and our ideas to put those issues up
20 on the Web so that you see them all together again. And it
21 doesn't mean you have to go back to the transcript and see if
22 the transcript has some hidden issue. It's what you think is
23 important, and the transcript is there in case you want it.

24 So we're just getting as much information as
25 possible. We, the Board and the staff, will prepare draft

1 reports that then we'll circulate among ourselves, and then
2 the Board will finally issue a report. So we won't issue a
3 report for review, a draft report.

4 LESLIE: Thanks.

5 EWING: I think that's our procedure; right?

6 MOTE: That's the procedure, yes.

7 LESLIE: So any other questions on the process?

8 BAHR: Just maybe--this is Jean Bahr--another
9 clarification. We issue a report, and it will be a synthesis
10 of what we've learned with all of your input. It won't be a
11 report that says that the public thinks this. So we're not
12 going to issue a report that will have your names on it as
13 authors that you have to sign on to this, but what we're
14 trying to do with this process is to learn as much as we can
15 about all the perspectives so that we can come up with an
16 informed decision. Is that a fair--

17 LESLIE: Correct. Okay. Other process questions, and
18 then I'll open it up--

19 LOMBARD: But I would imagine that you would capture in
20 the report the diversity of opinions that you had
21 participating in the input that was given.

22 LESLIE: Yes.

23 LOMBARD: I'm sorry, Mark Lombard, NRC.

24 LESLIE: Thank you. So now the floor is actually open,
25 and what I'm going to try to do--and this is--you know, you

1 went through, you had some background yesterday that informed
2 your discussions in your breakout sessions. We came back and
3 reported. You might have heard something and changed your
4 understanding. Maybe you heard the same issue described in
5 each of the sessions, but now is your opportunity to kind of
6 say, well, king for a day, this is the thing that I think is
7 one of the things that drives it. And it might not be any of
8 the things that was summarized, but it could be something
9 that was summarized.

10 And so what I'm going to do as a facilitator is be
11 directing traffic. And for those of you who were in my
12 session, you'll know that I'll be taking notes as I'm
13 directing traffic and trying to capture things. And, again,
14 I'll be writing up my notes, and we'll be capturing all these
15 and putting on the Web what you think are the takeaways.

16 So people with hands up will get microphones.
17 Jerry, you're first and then Mark.

18 FRANKEL: Jerry Frankel, Board member. There was a
19 comment that I forgot to make, probably several that I forgot
20 to make. An important one--and maybe it's a good way to
21 start off this discussion--and that is that today we
22 considered direct disposal or repackaging. And the comment
23 that was made in our session was that it's not necessarily
24 either/or, that there are maybe some packages--canisters that
25 are suitable for direct disposal of the type that we talked

1 about and others that would be better handled by repackaging.

2 LESLIE: Okay. Mark.

3 LOMBARD: Mark Lombard, Nuclear Regulatory Commission.

4 I think overarching--and this is my personal opinion, not an
5 NRC position, just to be clear--that to get this whole
6 effort--and I mean the whole effort--off top dead center and
7 to get it moving forward, we have a high-level waste policy
8 now or waste management strategy that was issued on January
9 13, 2013. If we had the impetus of approval or direction to
10 move forward on that, implementing that high-level waste
11 policy, that would certainly make a lot of these pathways a
12 lot easier to see how we could get to the end point.

13 LESLIE: Thank you, Mark. Other people who have
14 questions or takeaways that we want to capture or that you
15 want us to capture? Or are you guys all just so tired and
16 want to go--

17 MOTE: Well, let me start by stimulating one. I think I
18 heard in the feedback from Session 2 the same comment that we
19 had in Session 1, and that was to do with the dichotomy where
20 there are different interests at different parts of the
21 management operational program. Does anybody want to pick
22 that one up? Because that one seemed to be a hot issue in
23 both sessions.

24 LESLIE: Okay, I do have one. Jean, are you going to--
25 okay, Ernie and then--

1 HARDIN: This will be quick. Ernie Hardin, Sandia Labs.
2 Yes, my takeaway is that things are steadily getting more and
3 more difficult to manage. The canisters are getting bigger;
4 the analysis methods for criticality and thermal are getting
5 more sophisticated, leaving less margin in there that we can
6 play with for disposal; and the materials and construction
7 design of the canisters are changing.

8 I learned today that Holtec has come up with a
9 basket design, which is entirely made of aluminum, which
10 might make a lot of sense.

11 SPEAKER: Metamic.

12 HARDIN: Okay, Metamic. But for corrosion purposes it
13 behaves a little like aluminum, maybe not so well. So that's
14 my sense of where this is going.

15 LESLIE: Thank you, Ernie. Jean and then--anyone else?

16 BAHR: Jean Bahr. I'm just responding to Nigel. One of
17 the things that I heard related to these different interests
18 in different segments is that there isn't a clear path that's
19 going to harmonize those interests, and I don't know where we
20 go.

21 LESLIE: Okay. And I think it was Robert that's back
22 there that--

23 SANCHEZ: Robert Sanchez with GAO. It seems to me from
24 looking at these issues for a period of years and listening
25 to people here today that themes are still the same, and that

1 is there are uncertainties. And although there are technical
2 uncertainties, it doesn't seem as though any of those are
3 real showstoppers. The real showstoppers are the non-
4 technical uncertainties.

5 And I guess I'm revisiting this theme over and over
6 again, but it seems to be one of those things that's kind of
7 important, that there's not--it doesn't seem to me--hearing
8 everybody here, there are solutions to the technical problems
9 and challenges; but it's the non-technical ones that are the
10 real drivers. And although it's great that we're all talking
11 about the technical solutions, somewhere there's got to be a
12 bridge between the technical approaches with the non-
13 technical, I guess, the whole process, the whole siting
14 process to consent-based--all that is non-technical, and that
15 may be a pretty strong driver for a lot of the technical
16 solutions.

17 LESLIE: Tito.

18 BONANO: Tito Bonano, Sandia. Robert, you're absolutely
19 right. Unfortunately, right now we can't talk about site-
20 specific issues, you know, we're not allowed to do that. But
21 having said that, one of the things that we're doing at
22 Sandia working with Hank Jenkins-Smith and his group at the
23 University Oklahoma is understand how public preferences
24 about specific technical issues could impact the technical
25 work, the technical solutions, that we're looking at, and at

1 the same time how can we do technical work that could help
2 inform the public about those issues.

3 So I think, you know, we have recognized that at
4 Sandia we have a joint center set up with the University of
5 Oklahoma specifically for that purpose. And, you know, we do
6 an annual survey that understands what the technical issues
7 are and how the public may understand them or what are the
8 concerns they have. So I think we have recognized that, at
9 least in our shop, about an important component of the whole
10 process.

11 LESLIE: Other folks? I hate to pick on people, but
12 this is your opportunity. Rod, back there.

13 McCULLUM: I'll try this. My takeaway is--oh, my name
14 is Rod McCullum from NEI. I guess I want to say that this is
15 the right issue for the Board to look at. This is an
16 important issue. We have the reality of waste management
17 today in the United States, which is the 1,700 loaded
18 canisters, the ones we're going to be loading every day from
19 now until there is a repository, and we need to be solutions-
20 oriented.

21 Before today there were exactly two parts of the
22 Nuclear Waste Policy Act that were still functioning. One
23 was this Board, and the other was the collection of the fee.
24 The Court, as I think everybody in this room is aware, has
25 now ruled that the collection of the fee is no longer

1 working. And, indeed, the Secretary has been ordered to make
2 a recommendation to congress to make a proposal to congress
3 to change the fee to zero. That, perhaps more than anything
4 else, might trigger action. I don't want to say "will"
5 trigger action, because I've been at this too long. But
6 there will be something before congress which is very
7 significant with respect to all those things that impact the
8 technical.

9 This Board's charter is technical, so you are the
10 last remaining element of the Nuclear Waste Policy Act. What
11 are you going to tell congress as it visits that question of
12 whether to actually move forward again with that act or do
13 something else? And I think this issue is so important.
14 That's why you heard such a range of views. I look forward
15 to your report.

16 LESLIE: Thank you, Rod. Other questions or comments?
17 Right here? And don't forget to identify yourself.

18 BURK: Sandy Burk, Idaho National Lab. I know that we
19 discussed a lot about timing. When is going to be important.
20 And we look at that as the really long-term. But what if we
21 had to anticipate doing something more immediate? How does
22 that affect the whole repackaging or handling or what we're
23 going to do? If we have a site that, for whatever reason,
24 goes down--maybe it's an orphan site, maybe it's another
25 site--and we have to move fuel out of there, what is the

1 plan, and is that part of this discussion? I know that we've
2 been talking about long-term, but what would we do if we had
3 an emergency and we had to do something today?

4 LESLIE: And I'm going to, unfortunately, pick on NRC.
5 And, Sandy, could you restate it so Mark could try to address
6 the issue? And I'm assuming you were talking about
7 commercial.

8 BURK: Right.

9 LESLIE: Okay. So, Sandy, could you restate it for
10 Mark?

11 BURK: So, Mark, you probably already know, but I guess
12 I'm just thinking, if there was, for whatever reason, I don't
13 know what it could be. There could be an accident, there
14 could be, you know, bankruptcy, there could be whatever it
15 is. You have a site that has fuel, and now you're going to
16 have to or the federal government is going to have to take
17 responsibility, perhaps move it, I don't know. I mean, I
18 don't know how that's affected in terms of what we're looking
19 at here in terms of repackaging, transporting, whatever. But
20 it's just something to consider.

21 LESLIE: Thank you.

22 MOTE: Sandy, maybe I can add a point to that. There
23 was a discussion point, and I don't know that it was generic,
24 but it is a specific issue that relates exactly to that. And
25 that is, right now Jeff Williams yesterday in his

1 presentation said that there is no fuel in canisters on the
2 stranded sites which cannot be transported. There will come
3 a time when economics says that one power station shuts down
4 where there's fuel in canisters that cannot be transported.
5 And that's part of the same issue, the time dependency of
6 closing out solutions.

7 BURK: I guess I would just say in terms of transport, I
8 mean, I don't think that's all worked out yet either. So,
9 yeah, the fact that maybe they're in a canister that can be
10 moved is--

11 LESLIE: Okay, thank you. Mark. And then let me go
12 back to Gary.

13 LOMBARD: Just to be clear, I don't want to--Mark
14 Lombard, Nuclear Regulatory Commission. I wanted to be
15 clear, and I don't want--this may sound to some like punting
16 it, but, really, our main function is to make sure that
17 whatever is done is done safely and securely. So if it lands
18 within the bounds of the certificate or license for that
19 particular site, we would keep a close eye on it.

20 But, as Nigel pointed out, Jeff and crew have done
21 a very good job of documenting the fuel at the stranded
22 sites. And there are certificates that are coming up for
23 expiration in a certain time period, and we'll deal with
24 those, each one of them, re-evaluated on its own merits.

25 LESLIE: Thank you, Mark. I appreciate you allowing me

1 to do that. I was having trouble trying to capture Sandy's
2 point. So Gary.

3 LANTHRUM: Gary Lanthrum, NAC. Two things. One, if
4 there were a crisis of some sort, even though the canistered
5 fuel at the stranded sites is transportable, none of it could
6 be transported for several years, because the infrastructure
7 does not exist. There are no transport casks for that. Even
8 though designs have been certified, they don't physically
9 exist; and there's a long lead time to procure them.

10 One of the takeaways that I got that is important
11 is that when you do a systems-wide analysis of overall risks,
12 you get different conclusions about what might ought to be
13 done. It could be different than what is done. And the
14 differences are driven by the fact that there are incentives
15 for people at the beginning of the used fuel cycle when it
16 first goes into dry storage that have different drivers for
17 what they do than folks at the end of that cycle. And if you
18 do a systems-wide analysis, you might find that it is worth
19 developing different incentives to align all of those
20 parties.

21 Right now there is nothing that's driving that
22 alignment, and each party is allowed to pursue their own
23 special interests. And it may, in fact, be worthwhile coming
24 up with incentives that would drive alignment if you did a
25 systems-wide analysis.

1 LESLIE: Thank you, Gary. I had someone up here.

2 SALTZSTEIN: This is Sylvia Saltzstein from Sandia
3 National Labs. It would be wonderful if the Board could
4 think creatively about what steps can be taken even if
5 congress doesn't make any decisions. Personally--and this is
6 not Sandia's viewpoint, this is Sylvia Saltzstein's
7 viewpoint--congress is not going to act on this any time
8 soon. This is not a burning platform for them.

9 What can be done in light of the fact that that
10 ties DOE's hands and NRC's hands for us as a community to
11 move forward?

12 LESLIE: Thank you, Sylvia. And I'm trying to catch up
13 and will turn around and see who has their hands raised.
14 Okay, Jeff.

15 WILLIAMS: This is Jeff Williams, DOE. I just wanted to
16 comment on a couple things. First, Nigel, you talked about
17 how I said the canisters at the shutdown reactors are
18 packaged such that they could be moved. They do have
19 certificates for transportation and storage. And Gary is
20 right that you need to go out and buy transportation casks,
21 except for Humboldt Bay, which you can just get impact
22 limiters, which still takes two years, and you need to put a
23 seal on the top. So that's fine.

24 But the other thing I wanted to say, you brought up
25 the fact that there are nine reactors that have fuel that's

1 not in transportable storage casks--Ocone, Calvert Cliffs,
2 and so forth--and they're not certified for transportation.
3 What happens when those shut down at some point in time?

4 And we talked in the other session about the
5 possibility of certifying those casks for transportation, and
6 that could possibly be done; however, they weren't designed
7 for that. They don't have the structural capabilities or the
8 neutron absorbers and so forth to meet the transportation
9 regulations.

10 In any event, I just wanted to bring that up as an
11 issue, which would then go to NRC. Would NRC allow them to
12 decommission their pools the same way as other reactors have
13 done or not? But it will be NRC's job to determine what's
14 safe under those situations. That's all.

15 LESLIE: Thanks, Jeff.

16 MOTE: Mark does not have a mic, so I'll say that NRC
17 said maybe.

18 LESLIE: Okay. Yes, right behind you. John.

19 GREEVES: John Greeves. Just observing what I heard
20 yesterday and today, the high burnup fuel issue,
21 transportation, as I understand, there are no certificates of
22 transport for high burnup fuel. Is that a roadblock, and
23 what's the path forward on getting high burnup fuel certified
24 for transportation? That's a question. Maybe you can't
25 answer it today, Mark. But is it a barrier, and what's the

1 path forward?

2 LOMBARD: Mark Lombard, Nuclear Regulatory Commission.
3 I'm trying to remember the response that we made to the SONGS
4 coalition, and I think we did say--and I'm not a hundred
5 percent sure on this--that there are one or two packages that
6 are approved for transport of high burnup fuel, but I'd have
7 to verify that.

8 LANTHRUM: A clarification--Gary Lanthrum from NAC
9 again. For those canisters that have been loaded with high
10 burnup fuel in damaged fuel cans, those are transportable as
11 is. And so it's only the ones that have been loaded bare
12 fuel. But there are ones that have been loaded in damaged
13 fuel cans, and there are no transport impediments for those.

14 GREEVES: John Greeves. I'm talking about the whole
15 fleet. High burnup fuel transportation, I think, is a
16 problem and what are the barriers in the way of solving that
17 problem. To me, they run through NRC.

18 LESLIE: Okay, thank you, John. And thanks, Gary, for
19 clarifying that point. And I guess Mark will come back to
20 this.

21 LOMBARD: Mark Lombard, NRC. You are correct. The
22 burden of certifying those or approving those packages for
23 transport does lie in us. As we talked earlier, there are
24 several research projects that are ongoing on transportation
25 of high burnup fuel. We have a project going on at Oak Ridge

1 right now that's showing some very promising results relative
2 to the transportation of high burnup fuel. We're not ready
3 to roll those results out yet, but I think by the time we--
4 and I use it collective--we as a nation are ready to have a
5 place to put that high burnup fuel, whether it's an interim
6 consolidated storage facility or a repository, we'll be ready
7 to approve those for transportation.

8 LESLIE: Yes, Marvin.

9 RESNIKOFF: Marvin Resnikoff. My recollection after
10 looking at the certificate of compliance for the NUHOMS
11 container is 62,000 megawatt days per metric ton is the limit
12 right now that's been certified.

13 LESLIE: Okay, thank you.

14 RESNIKOFF: And some fuel at SONGS is up to 67,000
15 megawatt days.

16 LESLIE: On the mic if you're going to--

17 WILLIAMS: This is Jeff Williams again. I think that's
18 for storage, not for transportation.

19 RESNIKOFF: Yeah, for transportation it's worse.

20 LESLIE: Thank you. All right. Other questions and
21 comments. And, kind of, just where we're at, we have about
22 15 more minutes before we're supposed to go to the Board
23 Chairman. But I'm checking in with you to see how you're
24 feeling. Don't want to rush anything, but at the same time I
25 don't want to drag anything out either. So are there other

1 takeaways?

2 MOTE: There's one back there.

3 LESLIE: Okay, thank you. Sorry I didn't see you.

4 CUMMINGS: Kris Cummings, NEI. I look around the room
5 and see the people participating in this meeting, and I see
6 we have a lot of non-governmental organizations, DOE,
7 obviously the Board. One of the observations I'd make is
8 having the Board engage with the industry, the nuclear power
9 plants. There are some cask vendors here, not all of them,
10 giving them an opportunity to give presentations, simply
11 because they're the ones who deal with these issues on an
12 every-day-every-year basis. They're the ones that go to the
13 NRC and have to provide the safety case for them being able
14 to say, yes, these are safe.

15 So that's the observation I wanted to make was to
16 get all the stakeholders, especially the nuclear plants, and
17 I want to thank the people in the nuclear industry who did
18 come and support this meeting today. But I don't think
19 that's an accurate representation of the industry here. So
20 just an observation.

21 LESLIE: Thank you, Kris. Looking around. Oh, yes,
22 sorry. And I'm glad that--Hitesh, make sure you identify
23 yourself.

24 NIGAM: Hitesh Nigam from Department of Energy. I was
25 just listening to Gary and Jeff sing about the transportation

1 issue. Just for everyone's information, Department of Energy
2 continues to transport DRR and foreign research reactor fuel
3 into its facilities. So I know it's not happening with the
4 commercial fuel, but certainly Department of Energy is
5 receiving fuel from all over the world, including all the
6 research reactors, domestic and university research reactors
7 in the United States and Navy.

8 LESLIE: And it's one of the things--and, again, I'm
9 looking around--but one of the things that Nigel opened up, I
10 think, this morning, which is we did not have a lot of
11 discussion about DOE spent nuclear fuel. And I don't see
12 Beatrice right now, but--oh, she's back there. But let me
13 kind of summarize. It's not out of sight and not out of mind
14 for at least some of the community, and so there was some
15 discussion. It was captured a little bit by Jerry, but I
16 just wanted to let you know that I think, if you go back to
17 the transcript, there will be some things there that maybe
18 didn't get explained real well this afternoon.

19 But, Hitesh, thank you for reminding me to talk to
20 the DOE spent fuel.

21 MOTE: Maybe we can ask Hitesh. Are there any features
22 of the DOE spent fuel systems that are markedly different
23 that would warrant different inputs to discussion of the
24 potential for repackaging?

25 NIGAM: That's a tough one. Just for everyone's

1 information, basically we're storing spent fuel at four
2 different states, Colorado, Idaho, Hanford, and Savannah
3 River site. And basically we are under status quo. We're
4 really not doing much with our spent fuel. Most of our fuel
5 is at Hanford by weight, and it's sitting in dry storage over
6 there. Most of our fuel at Idaho is also in dry storage
7 where we are required to move that fuel by 2035 in about 20
8 years or so, but it's sitting there right now. We really
9 haven't made much progress.

10 We have some fuel sitting in wet storage at
11 Savannah River site in South Carolina. That's where we have
12 just started to process some spent fuel, if you're not aware.
13 We're processing aluminum clad fuel that's in our inventory
14 over the next four or five years or so. We still have this
15 facility called H Canyon processing facility that is
16 operational. They're doing a lot of activities over there,
17 including processing spent fuel to try to eliminate some of
18 our inventory. But, of course, processing spent fuel
19 generates liquid high-level waste that we're trying to
20 manage.

21 I'm not sure if that answers your question. But
22 we're really not doing too much at this time.

23 Go ahead, Jeff.

24 WILLIAMS: I'd like to say the largest difference
25 between their fuel and these guys' fuel, the utilities' fuel,

1 is that theirs is sitting in vaults in small packages that
2 have lots and lots of flexibility, which you don't have at
3 the utilities when you put the fuel in 37-assembly welded
4 canisters that you're stuck with, the issue that you've been
5 dealing with. If you go to Idaho, you can see there's
6 vaults, Savannah River vaults and pools, and so forth. Lots
7 and lots of flexibility. You don't have that flexibility
8 with the utility systems.

9 NIGAM: And I also want to just reemphasize some of the
10 points that Robert Sanchez made. I know this whole meeting
11 we've been focusing on technical issues, but there are a lot
12 of non-technical issues that probably would drive many of the
13 technical issues that we've been discussing here.

14 And, you know, after being here for a day and a
15 half or so--this is just me personally talking, not
16 Department of Energy--seems like we're not going to make much
17 progress over the next decade or two on this issue. I think
18 the best scenario for us is status quo and trying to
19 safeguard and secure our material that's sitting in our
20 existing facilities. Again, that's more personal than my
21 departmental opinion.

22 LESLIE: Thank you, Hitesh. Okay, I've got Marvin.
23 Anyone else? Go ahead, Marvin.

24 RESNIKOFF: I didn't want to let this go by without also
25 saying that DOE is going to accept liquid highly-enriched

1 uranium slightly irradiated from Chalk River reactors in
2 Canada. There will be several hundred shipments coming down
3 I-81 to Savannah River plant.

4 LESLIE: Okay, thank you, Marvin. Other questions or
5 takeaways on what we've heard over the last day and a half?

6 Thank you, Judy.

7 TREICHEL: You're welcome, Bret. Judy Treichel, Nevada
8 Nuclear Waste Task Force. If you've noticed that there is a
9 kind of lack of comment from people who comment all the
10 time--Bea, me, others--it's because we're really here to get
11 to the point where they're not making waste. The one thing
12 that's not stopping, of course, is producing more and more
13 waste. And as we see from all the charts, the problem is
14 getting bigger, and we're being asked to solve a problem or
15 think of things to make the problem smaller. And nothing is
16 going to do that until you have a system that, as Nigel
17 pointed out, the beginning end of it is profit-driven, so you
18 do everything that makes money. And then by the end of it, a
19 lot of those decisions that made more profit wind up costing
20 more and making it far more difficult.

21 So there is not a lot for people like me to say
22 about this, and I certainly am not going to stop
23 participating, because I have an active interest, and so does
24 Nevada. But it's very difficult to look at something that
25 seems to be going in the wrong direction.

1 LESLIE: Thank you, Judy. Arjun. We'll get you a mic
2 here.

3 MAKHIJANI: I just want to follow up a little bit on
4 that. But I note that the most advanced repository program
5 and one I've tried to learn as much from as I can is the
6 Swedish program, and I thought it has gone about as well so
7 far as any other example anyway, in my opinion.

8 And I think it hasn't been much remarked that their
9 program matured in the context of a moratorium on nuclear
10 power. And the interaction between that moratorium and the--
11 because initially they had public resistance, as they have
12 had everywhere else. And I think the interaction between
13 that moratorium and the success of their program, at least so
14 far, is worth examining. I know that recently they have kind
15 of--there's some question as to whether there's going to be
16 new nuclear power plants in Sweden or not, and that question
17 is being reopened.

18 But the repository program matured in that, and my
19 personal interest is to see how the end of nuclear power in
20 Germany affects that. You know, it's been a very difficult
21 debate in Germany, perhaps more difficult than anywhere else,
22 and perhaps at least the question should be put on the table.
23 I certainly don't have a view on--a studied view on what
24 impact it has had, but it might have an impact.

25 LESLIE: Okay, thank you, Arjun.

1 MOTE: Well, maybe we can ask our German visitor to say
2 whether he senses any difference in the receptivity for a
3 location of a repository in Germany or easing in the
4 development in the same way that Arjun is saying there may
5 have been that impact in Sweden, although it's very early
6 days in Germany, and there have been several changes, so
7 maybe it's not stable enough yet.

8 BERLEPSCH: Thilo Berlepsch from DBE Technology in
9 Germany, obviously. At least up to now, I don't see any
10 difference in the reactions of the public against the
11 repository programs we've got in Germany. I think this will
12 change once the last nuclear power plant is really off line,
13 not any earlier. But maybe directly to the comment which--I
14 forgot your name again.

15 MAKHIJANI: Arjun.

16 BERLEPSCH: Arjun. Sorry. What I saw in Sweden is that
17 the public opinion was for quite a long time in favor of
18 nuclear power, and it was only the policy which changed
19 afterwards. And when you already talk about Sweden, then
20 there's another Scandinavian country, which is Finland, and
21 they have been in favor of nuclear for a very long time. And
22 I think they're even more advanced in their repository
23 program than Sweden is. They have got a license for the
24 repository, and they are actually constructing it already.

25 LESLIE: Thank you, Thilo.

1 So kind of at this point I'm going to wrap up this
2 discussion, and I'll remind you the process is that once this
3 week is over and I can actually come up for air--because the
4 Board has a public meeting tomorrow, and then we have some
5 Board business the following day--that the summary of these
6 bullets, in my words--I'm not relying on any sort of
7 transcript--will go up as kind of what we heard in this
8 session.

9 And, again, we're not requiring you to take any
10 action now. I know that there are a number of public comment
11 periods right now. There's the waste confidence that the
12 community is working on. There is the high burnup test plan
13 that's out for public comment. But if you want to, you can
14 comment on these things; and also after you see the
15 transcript, you can send in clarifying questions.

16 And I think at this point, if people are clear on
17 the process, then I'm going to turn it over to Rod to take us
18 out into the end. Thank you.

19 EWING: So normally at this point in our meetings we set
20 aside time for public comment, and I just checked. No one is
21 signed up to make public comment. I think that's because we
22 have given everyone ample opportunity to speak. So we can
23 move on to a few closing statements.

24 First, as the last functioning part of the Nuclear
25 Waste Policy Act, I'd like to invite you to our open meeting

1 tomorrow. It'll be in this room at 8 o'clock. There is some
2 overlap of the topics, but it's not meant to be a follow-up
3 to the workshop. But I think the topics will be of great
4 interest, and I think you can get the agenda from the table
5 outside.

6 I want to thank particularly all of the
7 participants. This style of meeting is new for the Board.
8 It wouldn't have worked without the presentations,
9 particularly on the first day, very high-level and also
10 thoughtful presentations from Pete Lyons, Allison Macfarlane,
11 and others. But the interactions have been, I think,
12 extraordinary, at least in my experience in this field.

13 This is our first effort at what I would call a
14 participant-oriented meeting. You've seen us scrambling;
15 you've seen us change the format as we moved along. So I'd
16 ask you to let us know how we did and how we can improve. Is
17 this the type of meeting that is useful and constructive?
18 I've learned a lot, but it's a meeting for everyone. So
19 please give us your thoughts and advice on that.

20 So the last comment is to tell members of the
21 Board, we will meet at 7:30 this evening in the Embassy Room
22 and begin to discuss and digest what we've learned at this
23 meeting.

24 So, again, thank you all.

25 Nigel.

1 MOTE: Cards.

2 EWING: Oh, I need to be prompted. So if you want to
3 stay in contact with the Board, there are cards outside.
4 Please fill it out with your address and e-mail, and we'll be
5 sure you get all of our materials. That reminds me to say
6 thank you to our staff again. This was an extraordinary
7 effort by our staff, and so we're very grateful, all of us.

8 LOMBARD: I'm sorry, Rod. Mark Lombard with the NRC. I
9 want to give kudos to the Board for even setting this up. It
10 was a very different format. I think there was a lot of
11 great interaction, and thanks to you all for setting it up
12 and hosting us. Thank you.

13 EWING: Thank you. And we're adjourned.

14 (Whereupon, the meeting was adjourned.)

15

16

17

18

19

20

21

22

23

24

25

C E R T I F I C A T E

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

I certify that the foregoing is a correct transcript of the Nuclear Waste Technical Review Board's Technical Workshop held on November 19, 2013, in Washington, DC, taken from the electronic recording of proceedings in the above-entitled matter.

December 15, 2013

Federal Reporting Service, Inc.
17454 East Asbury Place
Aurora, Colorado 80013
(303) 751-2777