

United States
Nuclear Waste Technical Review Board (NWTRB)

Transcript

2024 Summer Board Meeting

Thursday
August 29, 2024

PUBLIC MEETING
In-Person and Virtual

NWTRB BOARD MEMBERS IN-PERSON

Nathan Siu, Ph.D., Chair
Ronald Ballinger, Sc.D.
Kenneth Lee Peddicord, Ph.D., P.E.

NWTRB BOARD MEMBERS VIRTUAL

Steven M. Becker, Ph.D.
Allen G. Croff, M.B.A
Scott Tyler, Ph.D., Deputy Chair
Brian Woods, Ph.D.

NWTRB EXECUTIVE STAFF MEMBERS IN-PERSON

Daniel Ogg

NWTRB EXECUTIVE STAFF MEMBERS VIRTUAL

Neysa Slater-Chandler

NWTRB PROFESSIONAL STAFF MEMBERS IN-PERSON

Christopher Burk
Hundal Jung
Yoonjo Lee
Bret Leslie

NWTRB PROFESSIONAL STAFF MEMBERS VIRTUAL

Chandrika Manepally

NWTRB ADMINISTRATION STAFF MEMBERS IN-PERSON

Davonya Barnes
Jayson Bright

NWTRB ADMINISTRATION STAFF MEMBERS VIRTUAL

Kimberly Brown

1 SIU: Good morning. I know we're still getting set up here, but...
2 and I apologize for not having enough chairs squared away. But
3 we do have some folks online, so I think we should just get
4 rolling. Good morning. Hello to everybody online. Welcome to the
5 US Nuclear Waste Technical Review Board Summer Meeting of 2024
6 and hosted in North Augusta, South Carolina. I'm Nathan Siu. I'm
7 Chair of the Board.

8

9 Before opening this meeting, I'd like to pay tribute to Dr. Rod
10 Ewing, Former Chairman of the Board who passed away on July 13th.
11 Many of you attending might remember Rod, for his time as
12 Chairman between 2012 and 2017. He led the Board's evaluation of
13 the DOE's management and plans for disposal of DOE spent nuclear
14 fuel that was documented in our Board report here. It's quite a
15 dense document with lots of, lots of information on the
16 management and disposal of DOE spent nuclear fuel. Dr. Ewing's
17 research spanned mineralogy, geochemistry, material science,
18 nuclear materials, physics, and chemistry--leading to
19 development techniques that predict the long-term behavior of
20 materials used in radioactive waste disposal. We appreciate
21 Rod's many years of service on the Board and his outstanding
22 scholarly contributions he provided over the decades of research

23 and teaching. In his honor, I'd like to ask for a moment of
24 silence.

25

26 Thank you.

27

28 Okay, so let's turn to today's meeting. This meeting will,
29 indeed, focus on DOE's management and plans for disposal of DOE
30 spent nuclear fuel. We're holding this meeting in a hybrid
31 format with the combination of both in-person and virtual
32 attendance by presenters and as well as Board members.

33

34 Let me introduce our current Board. And I'll also outline what
35 we do for those of you who don't know... who aren't familiar with
36 the Board.

37

38 Okay, in person, first of all, of course, I'm Nathan Siu again.
39 I'm Chair of the Board. Professor Ron Ballinger is Professor
40 Emeritus of Nuclear Science and Engineering of Material Science
41 and Engineering at Massachusetts Institute of Technology. Ron,
42 if you could just raise your hand, we'll be able to see you on
43 the camera. Next to Ron is Professor Lee Peddicord who's
44 Professor Emeritus of Nuclear Engineering at Texas A&M

45 University. We have four board members joining us virtually in
46 alphabetical order: Steve Becker is a Professor of Community and
47 Environmental Health in the College of Health Sciences at Old
48 Dominion University in Virginia. Allen Croff is a Nuclear
49 Engineer and an Adjunct Professor in the Department of Civil and
50 Environmental Engineering at Vanderbilt University. Scott Tyler
51 is Professor Emeritus in the Department of Geological Sciences
52 and Engineering at the University of Nevada, Reno. And last, but
53 not least of course is Professor Brian Woods. He's a school head
54 and professor in the School of Nuclear Science and Engineering
55 at Oregon State University. Again, they are participating
56 virtually.

57

58 One Board member who's unable to join us today is Professor
59 Tissa Illangasekare who is Amax Endowed Distinguished Chair of
60 Civil and Environmental Engineering at the Colorado School of
61 Mines. At present we have eight members on the Board and our
62 full complement is normally 11. Our other positions are
63 currently vacant. If you are interested in our backgrounds, you
64 can find more information on our website www.nwtrb.gov.

65

66 Okay. Before rolling, you'll see that we have a lively group.
67 Any of you who have attended previous meetings know that we
68 don't withhold our opinions. Just please be aware these are the
69 personal opinions of the Board members at the time of the
70 meeting. The formal Board opinions are found in our reports and
71 letters which are available on the Board's website. We do
72 appreciate, of course, mentions to the Board's discussions at
73 other meetings.

74

75 Okay. Let me give you a brief description of the Board and what
76 we do. Again, I think many of you are familiar with the Board.
77 Just to remind you, we are an independent federal agency in the
78 Executive Branch. We're not part of the Department of Energy or
79 any other federal department or agency. We were created in the
80 1987 Amendments to the Nuclear Waste Policy Act to perform
81 objective, ongoing evaluations of the technical and scientific
82 validity of DOE activities related to the management and
83 disposal of spent nuclear fuel and high-level radioactive waste.
84 Again, we are a technical review board. We don't get into
85 policy. The Board members are appointed by the President from a
86 list of nominees submitted to the National Academy of Sciences.
87 We are mandated by statute to report Board findings,

88 conclusions, and recommendations to Congress and the Secretary
89 of Energy. And it's very important to point out meetings like
90 today are an important tool for us, help us perform our review.
91 It provides us with the information we need to write our letters
92 and reports.

93

94 So, the Board provides objective technical and scientific
95 information on a wide variety of issues related to the
96 management disposal of nuclear spent nuclear fuel and high-level
97 radioactive waste, which tend to be useful to policymakers in
98 Congress and the administration. We provide technical and
99 scientific comments in letters and reports to DOE following our
100 public meetings. All this information can be found on our
101 website along with Board correspondence, reports, testimony, and
102 meeting materials, including archived webcasts of recent public
103 meetings. We do have a two-page document summarizing the Board's
104 mission and presenting a list of the Board members. That's on
105 our website. And we have a copy of our Board's mission and some
106 recent Board reports on the document table outside the room as
107 you entered.

108

109 The meeting agenda and presentations have been posted on our
110 website and can be downloaded and we'll have a public comment
111 period today at 4:45 p.m. Eastern time. Those attending the
112 meeting in person and wanting to provide oral comments are
113 encouraged to sign the public comment register at the check-in
114 table near the entrance to the meeting room. Oral commentators
115 will be taken in the order that they are signed in. Depending on
116 the number of commentators, we might put a time limit on the
117 individual remarks; and we'll see how that goes. When making a
118 public comment, please use the microphone that's available at
119 the front of the room. Please state your name and affiliation so
120 that you'll be identified correctly in the meeting transcript.
121 And DOE staff and lab participants, also please if you use the...
122 if you're asked to answer a question, for example, please use
123 the microphone and identify yourself if you're called upon.

124

125 Public comments can also be submitted during the meeting via the
126 online meeting viewing platform using the comment for record
127 form. If you're viewing the presentation in full-screen mode,
128 you can access the comment for record section by pressing the
129 ESC key. A reminder on how to submit comments will be displayed
130 during the breaks. The Board values these comments and we will

131 read them as part of our deliberations on the meeting. Comments
132 submitted online during the meeting will also be posted to our
133 website shortly after adjournment. Written comments and any
134 other written materials may also be submitted later by mail or
135 email to points of contact noted in the press release for this
136 meeting, which is also posted in our website. These will become
137 part of the meeting record and will be posted on our website
138 along with the transcript of the meeting and the presentations
139 you see today.

140

141 This meeting is being webcast live and is being recorded, so
142 you'll see cameras are in the room. Depending on where you're
143 sitting, you might actually be part of the webcast and the
144 recordings. Be aware. The archive recording will be available on
145 the Board's website by September 4, 2024. And the transcript
146 will be available by October 30th.

147

148 Okay. The specific purpose of this meeting. This is part of the
149 Board's continuing review of DOE's activities related to the
150 management and disposal spent nuclear fuel and high-level
151 radioactive waste. The first part of this meeting will support
152 the Board's ongoing review of DOE's Office of Nuclear Energy's

153 efforts on federal consolidated interim storage facilities for
154 commercial spent nuclear fuel using a consent-based siting
155 approach and its storage, transportation, disposal research, and
156 development activities. And our first speaker, Paul Murray, will
157 address those topics.

158

159 The second part of the meeting, as I mentioned earlier in 2017
160 the Board completed a comprehensive review of DOE's management
161 and plans for disposal of spent nuclear fuel. And the rest of
162 today's meeting will provide information on the progress that
163 DOE has made since then. That information forms a basis for the
164 Board's evaluation of the scientific and technical validity of
165 DOE's current management and plans for disposal of DOE spent
166 nuclear fuel.

167

168 Okay. So, our agenda. Starting off, Paul Murray, Deputy
169 Assistant Secretary for Spent Fuel and High-Level Waste
170 Disposition from DOE's Office of Nuclear Energy, will describe
171 the reprioritization of storage, transportation, and disposal
172 R&D activities. He'll also provide an update on federal
173 consolidated interim storage facilities for commercial spent
174 nuclear fuel, sited using a consent-based process. Next,

175 Jomarías Rovira from DOE's Office of Environmental Management
176 will provide an overview of DOE spent nuclear fuel storage,
177 transportation, and plans for disposal. We'll have a 10-minute
178 break at 10 a.m. We will of course have time for questions after
179 each presentation from the Board and staff.

180

181 Rod Rimando from DOE and Elmar Eidelpes and Gordon Petersen from
182 Idaho National Laboratory will describe DOE's EM's spent nuclear
183 fuel technology development program. Again, this is after the
184 break. James Therrell from Savannah River Nuclear Solutions will
185 present on the accelerated basin de-inventory project at
186 Savannah River Site, (ABD).

187

188 We'll have a lunch break for one hour and after that, we'll
189 start with presentation by Kiran Karanth, Lauren Ingalls, and
190 Tanner McConkey, all from Savannah River Nuclear Solutions.
191 They'll describe spent nuclear fuel management activities at
192 Savannah River Site L-Basin Facility. Next Steve Vitto from DOE
193 and Anna d'Entremont and Xiankui Zhu from Savannah River
194 National Laboratory will describe management alternatives for
195 spent nuclear fuel after completion of the de-inventory project.

196

197 We'll have a 10-minute break starting at 3:05, pretty precise.
198 Following the break, we'll have a two-part presentation on spent
199 nuclear fuel management activities at the Idaho site. In Part 1,
200 Steve Wahnschaffe from DOE Idaho Operations Office will present
201 on storage facilities and the storage spent nuclear fuel,
202 packaging of the spent nuclear fuel, and describe the Idaho
203 Spent Nuclear Fuel Management Plan. In Part 2, Will Anderton
204 from Idaho Environmental Coalition will describe the "road
205 ready" spent nuclear fuel demonstration and the infrastructure
206 needed to implement the Idaho Spent Nuclear Fuel Management
207 Plan.

208

209 We'll have a public comment period starting at 4:45 p.m. Eastern
210 time. And we'll adjourn the meeting at 5:00 Eastern time. At
211 that time, the webcast will stop.

212

213 Much planning, much effort went into planning this meeting and
214 arranging the presentations. I want to thank our speakers for
215 making the presentations at the meeting today and those who
216 traveled great distances to join us. Thanks to members Ron
217 Ballinger, Lee Peddicord and Brian Woods who led the Board's
218 review on DOE's management and plans for disposal of spent

219 nuclear fuel and helped develop this particular meeting. Thanks
220 also to the board staff, especially Bret Leslie and Jo Jo Lee
221 for doing the hard work of putting the meeting together.

222

223 I want to say also that yesterday the Board spent some time
224 visiting the spent nuclear field and high-level radioactive
225 waste facilities at Savannah River Site. And we want to thank
226 DOE's Office of Environmental Management for hosting us and
227 providing us with very informative tours of facilities. It was
228 very well done, and we do appreciate the time. So, thanks again.

229

230 Okay. If anybody has their cellphones on, please mute them and
231 let's begin with what I'm sure will be an interesting,
232 productive meeting. And let's start with Paul.

233

234 MURRAY: Good morning, everybody. I'm Paul Murray. I joined DOE
235 less than a year ago. I think last October was when I joined.
236 I've got 44 years in the industry. I know many of you. So, let's
237 get straight into it. So, my office is responsible for the
238 disposal of the spent nuclear fuel and high-level waste. Let me
239 say first off there's nothing technically stopping us from

240 moving forward. It's all political trust and public trust. Ok?

241 Next slide.

242

243 So, before we start launching off into where we're going, it's

244 also worth stopping to see where we've been. So, back in 1950

245 with the start of a nuclear... In the US we decided we start to

246 look at the need for a deep geological repository. In 1957, the

247 [National] Academy of Sciences actually made the recommendation

248 that the US needed a deep geological repository. In 1982, the

249 Nuclear Waste Policy Act was prepared. This is a tremendous

250 document. I keep saying this. It actually sits on my bedside

251 table. I read it often. It was a consent-based process beside

252 the geo- (sic) deep geological repository. At the same time, the

253 Nuclear Waste Fund was established. So, the US utilities started

254 to pay into the Waste Fund for DOE to dispose of the spent

255 nuclear fuel that is being generated. Ok? Today, the Nuclear

256 Waste Fund stands at \$45 billion and generates about \$1.5

257 billion in interest each year.

258

259 In 1986, we down selected from five sites for a repository to 3

260 sites. In 1987, the Nuclear Waste Policy Act was amended, and we

261 jumped straight to a Yucca Mountain site as the site of the

262 future deep geological repository. The important date that's not
263 listed here is January 31, 1988. It was the date that DOE was
264 supposed to start picking up the spent nuclear fuel from the
265 commercial sites. We had a contract to pick it up. That contract
266 started 31st of January 1988. 2010, the Yucca Mountain project
267 got defunded. Between 2010 and 2024, we've been in a holding
268 pattern, trying to maintain capability and expertise. Before I
269 really start talking about everything the office is trying to
270 do, I'd just like to point out I have 24 staff. That includes
271 admins, everything. 24 members of DOE are trying to do this.

272

273 So, taxpayer liability for spent nuclear fuel. Every year this
274 table is published. So, starting with the top line last year,
275 30th of September 2023, our total liability for not picking up
276 the spent nuclear fuel was \$44.7 billion. To date, we have paid
277 for partial breach of contracts \$10.6 billion. So, our
278 outstanding liability is \$34.3 billion. Every year this gets
279 worse and worse and worse. We just lost a settlement with a
280 reactor in Connecticut for \$200 million. That happened a couple
281 of weeks ago. This table does not include any of the liabilities
282 associated with EM or with naval reactors. This is purely for
283 partial breach of contracts.

284

285 So, what are we responsible for? So, DOE nuclear energy is
286 responsible for picking up the fuel from the reactor sites and
287 moving it to a consolidated interim storage facility and then to
288 a future repository. We're also responsible for picking up EM's
289 high-level waste and moving it to a deep geological repository.
290 Naval Reactors will transport their own spent nuclear fuels to a
291 deep geological repository. One of the things we don't have at
292 the moment is we don't have a plan from where we are now through
293 the closing of a repository. So, Bill Boyle who works for me,
294 working in collaboration with EM and NR [Naval Reactors], is
295 putting together a program plan to allow us to consider all
296 options. Remember, as soon as we take title to spent nuclear
297 fuel, we no longer have to pay that liability. So, if the
298 government opens a consolidated interim storage facility, moves
299 the fuel, we don't pay that liability anymore. So, if we move
300 fuel to interim storage, the liability moves to EM. We then
301 start moving the EM high-level waste first, the Naval Reactors
302 fuel. All that will be considered as part of a program plan that
303 Bill's putting together.

304

305 One other important thing here is the schedule. We plan to open
306 an interim storage facility in 2038. With the current fleet of
307 reactors, today I have 92,000 tons of spent nuclear fuel. At the
308 end of their life, I'll have 140,000 tons of spent nuclear fuel.
309 If I can move spent nuclear fuel at 3,000 tons a year, that's
310 about 50 years to move the spent nuclear fuel. So, if I open an
311 interim storage facility in 2038, 50 years to move that fuel. I
312 open a repository. I start moving the 21,000 canisters of high-
313 level waste that EM's going to generate. The Navy moves their
314 fuel. Another 50 years for me to move the spent nuclear fuel,
315 and then the repository has to stay open for 100, 150 years.
316 That's about a 250-year program. If I go back 250 years, I
317 believe George Washington was still alive. So, that's the type
318 of timescale we're talking about here.

319

320 Very recently, in the last couple of months, the Advance Act was
321 passed. This is a very important document. It's all about new
322 nuclear, expanding nuclear. But hidden in this document is this
323 section. It shines a spotlight on our program. Congress wants to
324 know going back to 2008 how much money has DOE spent on managing
325 spent nuclear fuel, the DOE EM high-level waste, the Navy
326 Reactors' fuel? And how much of the liability have we bought

327 down? This is a law, so we have to report in 2026 on what we've
328 done.

329

330 Legacy R&D. So, I can tell you we spent over a billion dollars
331 in R&D since 2008. A tremendous amount of great data is being
332 generated. The program's going to stop. It's going to pause.
333 We're going to look at all this great data we generated and
334 actually try and take some liability off the table. So, we are
335 working with industry. We're looking at the problems we have and
336 seeing with all this data we've generated, all this money we've
337 spent, can we actually take some liability off the table.

338

339 My priority is moving forward. Consolidated interim storage. The
340 design is proceeding on schedule. The liability estimate assumes
341 that we will open this facility to receive fuel in 2038. DOE
342 will be - and this is really important - an NRC license
343 applicant. We will have the organizational culture in place to
344 allow us to design and build this facility to NRC requirements.
345 Once again, this is really important. We will design, build, and
346 operate to the current NRC regulations and guidelines. No R&D we
347 will conduct from now on will question any of the NRC
348 regulations or requirements.

349

350 How am I going to move all this spent nuclear fuel and high-
351 level waste? Well, this is the Atlas Railcar. The Atlas Railcar
352 was certified by the American Railroad Association earlier this
353 year. It was designed in conjunction with the Navy. So, we have
354 a railcar, the safest railcar in the world. It's fully
355 instrumented. It's ready to go.

356

357 So, what are we going to do? So, this is the High Burn-Up
358 Demonstration Cask at North Anna. NRC licenses the safe storage
359 of spent nuclear fuel in dry storage for so many years. We have
360 to generate data to show that after that time period
361 everything's still good with the fuel. I want to point out,
362 spent nuclear fuel is a really robust mechanical form. Nothing's
363 happening to it. So, the High Burn-Up Demo project is collecting
364 data to show that nothing's happening to the fuel in dry
365 storage. Most of the fuel that is discharged from reactors now
366 is high burn-up fuel. This cask is important to over 60 of the
367 current commercial reactor fleet. Okay, so the data this cask
368 has produced and supports 60 of the current commercial fleet. We
369 need to move that cask in 2027. So, my program is focused on
370 moving that cask to a new home in 2027. The cask contains about

371 15 tons of high burn-up fuel. The upcoming NRC "toll gate"
372 requires that the cask is opened in 2029 and all the R&D to show
373 that nothing has happened to the fuel is complete by 2038. We
374 are working on options for where to move that cask, as we speak.
375 We hope to be able to announce where it's going in the next
376 couple of months.

377

378 As I mentioned, public trust is everything to our success. We
379 are going to start what's called a "Package Performance
380 Demonstration." We're going to take one of these packages. We're
381 going to drop it in a lake. Fish it out, set it on fire, put the
382 fire out. We're going to crash it into abutments. If we have
383 enough money, we'll crash a train into it. We'll do everything
384 to demonstrate that these packages are robust. We have an RFI
385 [Request for Information] on the street right now for public
386 comment. What does the public want to see? We have webinars
387 going on asking for public input. Believe it or not, we're
388 getting a lot of interest both domestically and internationally
389 for these tests. These tests will go on for a long period of
390 time to demonstrate to the public that everything is good for
391 spent nuclear fuel transportation. If anybody has any concerns
392 about transporting spent nuclear fuel, I strongly encourage you

393 to respond to the RFI, attend one of the webinars... Anything you
394 want to do to demonstrate that it is safe.

395

396 Consent-Based Siting. We hear a lot about Consent-Based Siting.
397 We have funded 12 consortia to go out and basically talk to
398 people about spent nuclear fuel and high-level waste. These
399 consortia are not trying to site anything. They are trying to
400 raise public awareness of what spent nuclear fuel and high-level
401 waste is. One thing that's happened in the last few weeks is we
402 have funded a tribal consortia. I did not think that the 12
403 consortia that we had, had adequate tribal representation, so we
404 funded a tribal consortia to basically help us. Consent-Based
405 Siting is an integral part of my program for storage and
406 transportation and disposal. It's not a standalone. It's an
407 integral part of my program moving forwards.

408

409 This slide is up on our website. Go look at it. Two things that
410 I want you to take away from this slide. The bottom right is
411 where the consortia are. The consortia are over halfway through
412 what they're trying to do. The bottom left is where DOE is. The
413 major milestone for next year will be released in an RFI for
414 host communities to come forward.

415

416 Storage R&D. At the end of the day, I'll have 140,000 tons of
417 spent nuclear fuel from the current fleet. We talk about
418 tripling nuclear capacity by 2050. But from the current fleet, I
419 will have 140,000 tons of spent nuclear fuel. That equates to
420 about 63 million individual fuel rods, different claddings,
421 different burn-ups. One cladding, Zirc-4, from one manufacturer
422 is not that same as Zirc-4 from another manufacturer. There's so
423 many variables related to spent nuclear fuel. All the R&D will
424 be consolidated into an international center for research, for
425 storage, for spent nuclear fuel and high-level waste. It will be
426 located wherever the high burn-up demo cask ends up.

427

428 I need enough data to be able to make determinations on storage
429 of spent nuclear fuel. Other countries have the same fuel. They
430 have the same high-level waste as we have. So, we will enter
431 into collaboration and we're exploring collaboration with
432 Germany, with Belgium, the UK, and Japan. Will they share that
433 data with us, and can we share our data with them? The important
434 thing is the center will move as soon as we locate a
435 consolidated interim storage facility and start building it. The
436 R&D center will be one of the first things that moves. It will

437 be a tangible asset, tangible jobs, tangible revenue to that
438 consolidated interim storage facility.

439

440 All future R&D that we conduct must be relevant, have a defined
441 goal, purpose, and conclusion. I've been conducting some R&D
442 programs for 30 years, no more. R&D must be risk informed and
443 buy down my liability. We will collaborate with US industry and
444 for the Board's information, we did sign an MOU [Memorandum of
445 Understanding] with EPRI [Electric Power Research Institute]
446 just over a month ago to enable that collaboration to take
447 place. The Blue Sky R&D, we will leverage for any Nuclear Energy
448 University Program and for small business innovation research
449 rewards.

450

451 Because we are in litigation, all the results coming out of R&D
452 related to the storage must be peer reviewed. They must be
453 approved by DOE, and they must be approved by General Counsel
454 before they are released and discussed publicly. That's
455 something we are starting to do immediately. We will also start
456 to implement a graded QA [Quality Assurance] process to make
457 sure that when we call into question NQA-1 data from vendors or
458 other people, that our program is compatible to them.

459

460 NE's Collaboration with EM. We have to be coordinated. We have
461 to be integrated. What one party does affects everybody else.
462 So, it's really, really important that we are integrated. So,
463 any intents to collaborate closely with EM at Hanford, at
464 Savannah River, and at Idaho, this takes time, but we are
465 starting discussions right now. OK? It's probably going to take
466 most of 2025 to agree together on what we're going to do, but we
467 have started those discussions. DOE-NE is hiring a new lead for
468 storage and transportation. We're hoping he will start in two
469 weeks' time. We've hired a new National Technology Director, Dr.
470 Paul Cantonwine from Oak Ridge National Lab. Paul started two
471 days ago. DOE-EM, I believe, has hired a new Chief Technology
472 Officer. We have requested support from DOE-EM and NE on this
473 total program plan so we can start to collect everything. DOE,
474 we are discussing the consent-based siting process, lessons
475 learned from that consent-based siting process, and also lessons
476 learned from siting WIPP and the Yucca Mountain project. We are
477 collaborating with Savannah River National Lab in supporting the
478 aluminum drying project that they plan to do here at the site.
479

480 So, at EM, at Idaho we had a discussion with Mark Brand just
481 earlier this week again. We ask right now support in the loading
482 demonstration for the DOE standard canister. We contribute a
483 significant amount of money to that project.

484

485 We are considering completing licensing of the DOE standard
486 canister that is not currently licensed for transportation. We
487 are considering from NE-8 completing that license. We are also
488 looking at the possibility of opening some of the commercial
489 canisters that DOE-EM has at the Idaho site. So, the
490 canister...the cask with the failed seal and we're very interested
491 in the West Valley cask. Both of those will help buy down my
492 liability on spent nuclear fuel.

493

494 DOE-EM is also spending a lot of money on guided wave technology
495 at the Hanford Tank Farm. They have a test, I believe, starting
496 in October and then they're going to deploy it in spring of next
497 year. We want to be part of that testing. It's applicable to the
498 monitoring and storage of the canisters. I want to be involved
499 with that.

500

501 So, in conclusion, we spent over \$1 billion of taxpayer money
502 and generated a lot of data. We will stop and analyze that data
503 and we will take some of the liabilities off the table. We're
504 not going to rush ahead and generate more data. We're going to
505 stop, pause, plan, and take some liability off. Any future R&D
506 that we conduct has to be risk-informed and have a clear
507 programmatic need that reduces risk and liability. I have a
508 limited budget. I have to focus on problems. We will prioritize,
509 you know. There's always more R&D to do than budget available.
510 So, we will prioritize, and we will not fund. I have a 250-year
511 program ahead of me. I will prioritize on what's important
512 today. The most important thing is we do plan to cooperate very,
513 very closely with DOE-EM and Naval Reactors moving forward. And
514 that's it.

515

516 SIU: Thank you, Paul. Okay, we'll start with Board questions.

517

518 BALLINGER: Hi, this is Ron Ballinger. The statement about
519 the R&D must be risk-informed and buy back liability. Are there
520 some criteria that you can expand on?

521

522 MURRAY: Yeah. So, the Advance Act requires us to report on how
523 much money we spent and what liability we bought down. At the
524 moment, we don't have a risk register.

525

526 BALLINGER: That's what I was asking about.

527

528 MURRAY: So, we will produce a risk register that says this is
529 for risk, this is for liability, this is for probability of this
530 risk happening, and this is what we're going to do to manage the
531 risk. So, we will produce a risk register moving forward.

532

533 BALLINGER: Is there any kind of schedule? I haven't read the
534 Advance Act. So, does that have to be done by that 2026 period?

535

536 MURRAY: 2026, it's all got to be done. So, we're having
537 discussions with GC [General Counsel] right now. Had meetings on
538 it yesterday. We plan to have meetings with EM and NR because
539 they are part of the discussion and we have to collaboratively
540 put together this risk register.

541

542 BALLINGER: Thank you.

543

544 MURRAY: No problem.

545

546 PEDDICORD: [COUGHS] Excuse me. Lee Peddicord with the Board.
547 A couple of questions. I think you highlighted exactly the
548 challenge at the outset of your remarks on political and public
549 trust. There seems to be good technical bases for the mission
550 you're endeavoring to undertake and so on. So, with respect to
551 that, a couple of questions. What we've experienced so far has
552 demonstrated that the main impediment to siting a facility, an
553 interim storage facility, is not so much at the local level. You
554 had two communities step forward on a private basis indicating
555 interest. But it's been at the state level in Texas and New
556 Mexico where they've been blocked. So, is part of your effort
557 the consent-based siting process, the consortia, and so on? How
558 are you endeavoring to address these challenges at the state
559 level and get over that hump to accept what local communities
560 seem to be prepared to want to do? And it would be my opinion,
561 you're probably going to get some positive responses from
562 communities to your effort, which is very good. The hard part
563 seems to be then at the state level. Where are you going with
564 that?

565

566 MURRAY: Communication. Communication is everything, right? If
567 we just go in cold and ask... We're putting together a
568 communications plan to allow us to release the RFI next year. We
569 just can't go out with an RFI and say, "We're looking for host
570 communities to come forward." Or else we will run into the trap,
571 as you say, the states won't let us move forward. But once
572 again, we have to move slowly. So, the corps of volunteers are
573 the sites that are interested. It's not a commitment from their
574 part to take this facility. It's not a commitment in DOE's part
575 to site the facility there. It's a series of controlled,
576 measured steps with lots of communication. So, we are turning to
577 focus on that communication moving forward. So, my team will
578 not... everybody that works for us, I've made this very clear.
579 Yes, I want young people going to the ANS conference. But more
580 senior people, we need to spread out, we start going to talk to
581 the local communities. We need to be talking at all different
582 levels in the state. We are leveraging other programs within
583 DOE. So, Christine King and her program is out talking about new
584 nuclear, coal to nuclear, everything like that. Great. At the
585 same time, people ask about spent nuclear fuels. So, we're
586 starting to bring it into the conversation moving forward. But
587 to succeed, it's all about communication. Even to transport the

588 high burnup demonstration cask from North Anna to its new home,
589 we've got to be communicating along that route. I'll go back to
590 what I said right at the beginning. I have 24 people. I have
591 four members of staff working for Marla in the consent-based
592 siting team. We're doing the best with what we can. And we're
593 making tremendous progress. I'm really proud of the team. But
594 communication is everything and I have 24 staff.

595

596 PEDDICORD: So, with all due respect, it is my opinion,
597 personal opinion, that along with that, again, you've got to
598 really be engaging at the state level. I don't think you want to
599 have a community raising their hand and you have not informed
600 the state leadership.

601

602 MURRAY: Oh, completely.

603

604 PEDDICORD: So, part of this is the timing. And, again, my
605 experience has been that people at the state levels, governors,
606 leading legislators, and so on, don't want to be surprised when
607 one of their communities raises their hands. So, that's a
608 comment. I have another question, Mr. Chairman.

609

610 SIU: Okay, but Brian also has questions.

611

612 PEDDICORD: Well, okay. So, mine is, you know, your
613 international center, I think that to me is excellent. The
614 countries you're engaging, also very good. The other comment
615 though, I was surprised that in your collaborating countries it
616 appears you don't have the two that are actually have sited and
617 are operating an interim storage facility, a consolidated
618 interim storage facility. And that's Sweden and Switzerland. And
619 again, my opinion would be much to be gained by learning from
620 their experience, both how they achieve the siting and the
621 technical elements that are in their facility. So, I would
622 recommend you engage also with those two countries since they
623 are the ones doing it successfully for some years.

624

625 MURRAY: So, we did sign MOU's with both of those countries
626 earlier in June of this year. We currently putting meat on the
627 bones of those MOU's. We actually had a meeting earlier this
628 week with the Finnish governments. But once again, we're trying
629 to put the meat on the bones of an MOU. But you're right, we
630 have to move forward with them.

631

632 SIU: Okay. I think we have some from Brian online.

633

634 LESLIE: Actually, we have questions from two Board members,
635 but not Brian. This is Bret Leslie, Board staff, and I'll be
636 asking the questions on behalf of the Board members. So, Scott
637 Tyler, who's joining us virtually. Thank you, Paul, for your
638 detailed presentation. While I realize that disposal was not the
639 primary focus of your presentation, in your current review of
640 any priorities and directions, can you discuss your vision for
641 engaging with international partners on existing underground
642 research laboratories? Or newly constructed geologic
643 repositories?

644

645 MURRAY: Yeah. So, that's a good question. So, we are part of
646 EDRAM. Sorry, I can't remember what EDRAM stands for, but it's
647 all the countries that have the deep geological programs. And we
648 meet twice a year. So, we met earlier this year in Japan. It's a
649 very small group. It's 20 people in the room. And we have
650 another meeting at the end of September, I believe. So, we're
651 very closely tied in with what other countries are doing from
652 that perspective. For underground research laboratories, they're
653 part of my program. We spend a significant amount of money on

654 supporting R&D in underground research laboratories overseas. I
655 think it's something over 10% of the disposal budget actually
656 goes to supporting international R&D. It's a tremendous way of
657 leveraging my money to generate results. So, we are doing that,
658 and we do have a very major program going on with that. I did
659 not deliberately talk about the disposal part of the program
660 here today because that's still undergoing review. Okay. We
661 finished the planning process for it. It was actually going to
662 be presented to me. As you know, Bret, I tend to change things a
663 little bit. So, once we have that locked in, then we'll be
664 prepared to present it to the Board. But we've got to change. I
665 can say on disposal, we've been doing generic R&D since 2010.
666 The rest of the world is moving forward with their repositories.
667 We are the only nuclear country apart from the Ukraine that does
668 not have a geological repository program. If I look out in the
669 future, it can be another 25 years before I select a future
670 repository. So, am I going to do generic R&D for another 25
671 years? No. I can't. I have to get that program under control.

672

673 LESLIE: We actually have a... we do have a question from Brian
674 Woods and he'll come on the screen.

675

676 MURRAY: Okay.

677

678 WOODS: Yeah, thank you so much. Brian Woods Board. Paul, I do
679 have a question and I do apologize because I actually lost audio
680 for a few minutes a little bit ago. So, I'm hoping I'm not
681 having any questions that were asked. But one of the questions I
682 have is when you talk about reducing the liability, is that just
683 really the liability in not taking a receipt of the fuel, i.e.
684 when you talk about reducing liability, is it bringing the time
685 that you open up the consolidated storage facility earlier than
686 2038 or is there something other than... some other liability in
687 there as well that you're trying to reduce, which is not just a
688 function of receiving the fuel?

689

690 MURRAY: That's a really good question, Brian. So, the entire
691 program, the entire program has got to be focused on... for the
692 moment we are focused on trying to stop the liability for a
693 partial breach of contracts getting any bigger. We're trying to
694 do that. But at the end of the day, we can't do that unless we
695 look at the total system program plan that we're trying to put
696 together. And the liability is based on the assumption that we
697 open an interim storage facility in 2038 and a repository

698 sometime in the mid 2060's. That's a huge... and every year we
699 slip. It's like \$800 million at the moment. That number is
700 getting bigger and bigger every year. So, to reduce the total
701 liability, I've got to look at the total program plan. Remember,
702 my budget is constrained at the moment, and so the easiest thing
703 for me to do is to focus primarily on trying to reduce the
704 liability related to the storage. But I really do have any eye
705 on the overall program plan to help me direct R&D in the future.
706 Okay? I think that for storage and transportation, it's really
707 come together nicely. I've got to put the same level of effort
708 into looking at the disposal R&D so I can reduce the overall
709 program plan liabilities.

710

711 WOODS: Thank you. And one other question too, and I know you
712 probably don't have a specific date or month or whatever, but
713 I'm just kind of curious from like the order of magnitude
714 perspective, when do you kind of think the shift over from
715 looking at the legacy data to developing or starting a new
716 future R&D plan? I mean, are we talking two years or a year or
717 is it going to overlap? Anything you can speak about that at
718 all?

719

720 MURRAY: Yes. So, this year's going to be a planning year.
721 Okay, I can tell you this year's going to be a planning year for
722 R&D moving forward. Then we'll launch off for a new R&D program.
723 So, 2020... we will start some late this year, but next October
724 2025 is when we really launch off the new R&D programs. The
725 International Center has hopefully stood up. It will be the
726 focus of this. We should have international collaborations
727 locked in. The agreements with EPRI locked in. We're not just
728 doing the R&D in isolation. We are collaborating very, very
729 closely with industry. There was a meeting two weeks ago hosted
730 by EPRI to look at aging management for the industry. What can
731 we do now with all this data to take liability off the table?
732

733 WOODS: Thank you.

734

735 SIU: Paul, I have a clarification question. When you say "risk
736 informed," risk means different things to different people. So,
737 how do you define the risk when you're talking about risk
738 register?

739

740 MURRAY: That's another good question. So, we will go back and
741 we'll look at, you know... we have to prioritize. So, we'll go

742 back and we'll look at NRC as well. So, if NRC says something's
743 no consequence, then it's a low risk. Okay? And then some of it
744 has to be a judgment call for us as well. But primarily it will
745 be NRC.

746

747 SIU: That would imply a safety orientation rather than, say, an
748 enterprise orientation. The enterprise risk would be you're not
749 going to make your schedule, as opposed to something that's
750 going to be a hassle.

751

752 MURRAY: No, no, no, no, no. It's if NRC said something is low
753 consequence, then we won't look at it anymore.

754

755 SIU: Okay. Understood.

756

757 MURRAY: We're not... I want to be really careful of my words
758 here. We are a safety culture organization. I have a very
759 limited budget to move forward with. I have to prioritize. So,
760 if NRC says something's low consequence, low risk, then that can
761 wait. It doesn't mean we might not look at it in the future, but
762 with my limited budget, I have to prioritize to higher risk.

763

764 BALLINGER: Excuse me. This is Ron Ballinger again. Okay, two
765 things. To me what I'm hearing is liability means money. The
766 cost to the country. Risk means what Nathan was saying and that
767 is a safety case for the NRC.

768

769 MURRAY: So, no. Because, remember, if a package performance
770 demonstration is going to cost us a lot of money. We're not
771 trying to generate any data. We're not trying to prove the
772 design of the package. We will spend tens of millions of dollars
773 to build public trust that it's safe to move these packages
774 around. Where we have an engineering project like the
775 consolidated interim storage facility, any R&D that needs to be
776 done will focus on that. At the same time, we have to build that
777 public trust to be able to move the spent nuclear fuel.

778

779 BALLINGER: But the NRC has currently licensed commercial
780 interim storage facilities. They're all tied up in courts and
781 everything, but that part's effectively done.

782

783 MURRAY: Absolutely. And so, we will stop all R&D connected to
784 that.

785

786 BALLINGER: Okay. That's what I was trying to get at.

787

788 MURRAY: Yeah, yeah.

789

790 LESLIE: So, this is Bret Leslie, staff again, asking a
791 question on behalf of Dr. Steven Becker, Board member. Consortia
792 are reaching various communities in parts of the country. Will
793 the communications plan also involve broader communication
794 efforts that reach beyond the places being reached by the
795 consortia?

796 MURRAY: Yeah. So, the 12 consortia are just a minor... not
797 minor. They're part of a bigger consent-based siting process
798 that's going on. So, as DOE we have funded the national labs to
799 also do outreach to bring us back information, gather that
800 information. And we really are starting to pull that together
801 now into coherent plans. So, Marla is doing a tremendous job in
802 changing. There was a lot of fundamental R&D going on before.
803 That all is slowly changing to be more project focused, project
804 orientated moving forward. We have to be.

805

806 BALLINGER: I'll keep asking more questions.

807

808 MURRAY: Keep going. That's what I'm here for.

809

810 BALLINGER: There are several SMR [small modular reactor]
811 projects, several of how many knows how many hundred others that
812 won't ever happen. And I'm involved with evaluating some of
813 those concepts. And in none of those concepts is there a single
814 word other than the mandatory "We have to figure out a way to
815 dispose of the fuel" in the future, which is just not much. Is
816 there a way that you have an opportunity to get to these people
817 that are SMR folks and get them to put some meat on the bones of
818 disposal? Because sooner or later, you know, that's another
819 source of information to the public. And there's a lot of public
820 interest for good or ill on these SMR concepts. But there's
821 really not much in their presentations related to disposal and
822 there's an opportunity there I think.

823

824 MURRAY: Yes, there is. So, what we're doing is we have what's
825 called the "Back End Management of Advanced Reactor" [BEMAR]
826 working group going on. So, if we take a step back, you know,
827 the NRC licenses the design of a reactor to say, "it's safe."
828 Before you can get your construction license, you have to be in
829 good faith negotiations with DOE to say, "We'll consider taking

830 your spent nuclear fuel." Which people come to us, we will enter
831 good faith negotiations. To get the operating license they have
832 to sign an amended Standard Contract with DOE to accept the
833 fuel. We have finished... We are concluding the BEMAR reports for
834 X-Energy, Kairos, and Natrium. They will be finished in the
835 summer. And then we will present it to Dr. Goff and then GC will
836 have enough information to negotiate the cost of disposal of the
837 spent nuclear fuel for those reactors.

838

839 BALLINGER: What I was trying to get at is, let's take
840 Natrium, the state of Wyoming. Can we encourage the Natrium
841 folks and others as well to start talking about long-term
842 disposal within that state? In other words, using these SMR's as
843 a resource to sort of move public opinion, if you will. Which is
844 what's important according to everybody. It's really not the
845 technology. It's the public opinion.

846

847 MURRAY: As I said to Christine King in her program as she goes
848 around the country talking about coal-to-nuclear, SMRs... and she
849 does talk about spent nuclear fuel.

850

851 BALLINGER: She does. Okay.

852

853 MURRAY: She does. You reach out to Christine and talk to her
854 about doing that for us.

855

856 PEDDICORD: Lee Peddicord from the Board again. So, somewhat
857 along the lines of Dr. Ballinger's points of, you know, looking
858 ahead and so on, that there are at least a couple of states,
859 maybe more, that are doing now kind of full up state reviews of
860 the future of nuclear in their states and advanced nuclear and
861 SMRs and so on. I think Virginia is, Texas is, and so on. And at
862 least the one in my state is getting ready to go to the
863 governor. It seems like this would be an excellent point to make
864 sure that the backend issues are highlighted. This again is how
865 you get in front of the state-level decisionmakers. So, I'm
866 wondering if you had a chance to at least track or be engaged
867 with any of these. I know a report in Texas is about done and
868 maybe there's still an opportunity to have something in there of
869 you at the state need to think about these backend issues,
870 storage, consolidating, and so on. So, have you had a chance to
871 engage with the leaders of these studies in these states and
872 others?

873

874 MURRAY: The problem is people want to talk to DOE. That's it.
875 But if we engage, for better or worse, they want to talk to DOE.
876 They want to press our bellybutton when they're talking. As I
877 said, we have very limited staff. We have a constrained travel
878 budget to do this. So, we recognize we have to do it, but it's
879 one of my biggest risks moving forward is not having enough
880 staff, not having enough travel budget. Communication is
881 everything to the future success of this program. And I've got
882 to admit, it is one of the things that keeps me up is the risk
883 of the communication. Communication is going to be the thing
884 that trips us up. But we recognize it. We are putting together a
885 detailed engagement plan. But once again, can we execute in that
886 detailed engagement plan?

887

888 LESLIE: Bret Leslie, Board staff. At this point, there aren't
889 any other Board members. So, can I go ahead? So, Paul, I have a
890 number of questions. But this last response kind of confused me
891 because you just talked about this is the biggest risk for your
892 program, yet your risk registry, which is to reduce the
893 liability was, if I heard right, focused on safety. So, how...

894

895 MURRAY: Yeah, so there's two bits to it. There's programmatic
896 risk and then there's the technical risk register. So, if the
897 programmatic risk is where I'm collecting these things. Okay?
898 Because that's for me to worry about. But the division directors
899 have to worry about the technical risk. At my level I have to
900 worry about the program risk.

901

902 LESLIE: But moving, do both the programmatic and technical go
903 into your risk registry?, is the question I'm trying to ask.

904

905 MURRAY: No. Because the technical risk register is something
906 we have to give to Congress. The programmatic risk register is a
907 separate thing that helps me decide what we're going to do. So,
908 we need a communication plan before we launch off on the corps
909 of volunteers. Okay? Who're we going to reach? Who are we going
910 to touch? Who's actually going to physically do that? Because we
911 can come up with a really detailed communication plan, but I
912 don't have the staff to basically go do it. Because remember, at
913 the same time, the call for volunteers for interim storage, we
914 also got to be planning for the transportation of that 15 tons
915 of spent nuclear fuel. Which will also suck up a lot of time and
916 resources.

917

918 LESLIE: So, Bret Leslie, board staff again. Another question.
919 So, when does it make sense to reconstitute the Office of
920 Civilian Radioactive Waste Management now that you've passed the
921 CD-0, now that you need to transition from an R&D program into
922 an implementation program with the NQA? And how would that
923 occur? Is that something that DOE can do by itself, or does it
924 have to get approved by Congress?

925

926 MURRAY: So, two things... one, we need a plan. It's pointless to
927 me if it's built back before we have a plan. So, Bill is working
928 on the plan. The first draft of that plan should be out next
929 year. Then we start to tinker with the plan. '26 would be nice,
930 '27 is what would be perfect. Remember, we're trying to change
931 from being an R&D organization into an organization that can
932 actually implement and deliver. That doesn't happen overnight. I
933 wish it did, but it's not happening overnight. '27 would be the
934 earliest we could do it.

935

936 BALLINGER: Are you talking about fiscal year or calendar
937 year?

938

939 MURRAY: DOE fiscal years. And what's stopping it? How come it
940 still exists in the DOE organization?

941

942 SIU: Does the staff have any more questions?

943

944 LESLIE: Bret Leslie, Board staff. So, you indicated that
945 looking at the West Valley and the Failed Sealed Cask at INL
946 [Idaho National Laboratory], would be something that could
947 reduce your liabilities. Can you expand upon it? How would that
948 reduce your liabilities?

949

950 MURRAY: So, let's take the cask with the failed seal. So, it
951 been... it's lost all its cover gas over 10 years ago. I want to
952 do a work package this year to say, okay, what's happened to
953 that fuel? What can we discover by basically opening back the
954 cask, pulling the fuel assembly out, looking at it? Is the oxide
955 layer built up? Is there any major thing happened? If nothing
956 happened, then let's seal it up and do it.

957

958 The West Valley casks that were shipped, very interesting.
959 There's a lot of failed fuel in there. We talked extensively to
960 the project manager who actually did the shipments. We got the

961 lessons learned from how he shipped the cask. You know, why was
962 he successful when the previous three attempts failed? But then
963 also what's actually in the cask is interesting. He says, and we
964 need to just check this, that over 50% of that fuel was failed
965 fuel. So, we can transport 60-something tons of failed fuel with
966 no issue, no concerns, store it, and we open it up again. Can we
967 look at that fuel, what risk, what liability does that buy down?
968 Once again, the work package, we'll look at that this year
969 without making any commitments from EM side or NE side to
970 actually do anything. But I think we can learn a lot by showing
971 that 60 tons of failed fuel was successfully shipped and stored
972 with no issue.

973

974 SIU: We have time for one more quick question. Hearing none,
975 thank you very much, Paul.

976

977 MURRAY: Thank you.

978

979 [APPLAUSE]

980

981 SIU: Next up is Jomaries Rovira.

982

983 ROVIRA: Good morning, everybody. And thanks for all the
984 attendees and presenters that are here in this venue today, as
985 well as those that are joining us virtually. I want to take this
986 time to also thank Steve Vitto from my team to help coordinate
987 with all the presenters from the DOE side and National Labs. So,
988 thanks so much for that, Steve. I know it's been a couple of
989 months of coordination, so I really appreciate that.

990

991 So, I realize this is today's first presentation from the Office
992 of Environmental Management or EM. So, I thought it was prudent
993 to provide a brief introduction to the EM mission for those of
994 you that are not very familiarized with the EM mission. But
995 before that, I would like to introduce myself briefly. I'm
996 Jomaries Rovira and I'm the Office Director for Nuclear
997 Materials, Office of Environmental Management, within the
998 Department of Energy. And I've been working for the department
999 for the last 15 to 16 years.

1000

1001 So, the EM organization was created in 1989 to clean out the
1002 radioactive legacy resulting from the Cold War. Fifty years of
1003 nuclear production and energy research generating, as you can
1004 imagine, millions of gallons of liquid radioactive waste,

1005 millions of cubic meters of solid radioactive waste, thousands
1006 of tons of spent nuclear fuel and special nuclear material,
1007 along with huge quantities of contaminated soil and water. It is
1008 one of the largest and most diverse and technically complex
1009 environmental cleanup operations in the world. And the EM
1010 program has a mission to complete the safe cleanup of this
1011 environmental legacy.

1012

1013 Here's the outline of my presentation. I'm going go over the
1014 spent fuel definition, start with that, and expand then a little
1015 bit on the mission of the Nuclear Materials Office, discuss the
1016 major regulatory framework that governs the spent fuel. Then I
1017 will go over the EM management of this inventory of spent fuel.
1018 You'll see how the inventory of spent fuel is spread out among a
1019 few locations across the United States. I've included some
1020 pictures so you can appreciate those facilities. I know that you
1021 had a chance to tour some of the facilities yesterday here at
1022 the Savannah River Site. But there are other locations across
1023 the US. So, pictures include the storage facilities and
1024 processing facilities for this inventory of spent fuel. And
1025 you'll hear some of the challenges that we are facing with the

1026 spent fuel management, and what are the actions that we're
1027 addressing and starting to have conversations.

1028

1029 Okay. So, let's start with the definition of spent fuel. Spent
1030 fuel is defined by the Nuclear Waste Policy Act and the Atomic
1031 Energy Act and that is fuel that has been withdrawn from a
1032 nuclear reactor following irradiation, the constituents,
1033 elements of which have not been separated by reprocessing. And
1034 after the fuel is irradiated in a nuclear reactor, the fuel
1035 assemblies also contain byproduct materials. And that is
1036 basically any material that has been made radioactive in the
1037 process of producing or using special nuclear materials.

1038

1039 I already discussed briefly the EM mission, so I'm going to go
1040 ahead and focus on the second part, which is the mission of the
1041 Office of Nuclear Materials. So, we are responsible for safely
1042 managing nuclear materials on sites around the country,
1043 including a diverse complex inventory of DOE-managed spent
1044 nuclear fuel. And I want to stop here for a little bit just to
1045 provide a clarification when I say DOE-managed spent fuel. What
1046 that means versus the rest of the US inventory of spent fuel.
1047 So, when we talk about DOE-managed spent fuel, we're talking

1048 about the inventory of spent fuel resulting from nuclear weapons
1049 production and energy research. This spent fuel is stored or
1050 processed in DOE facilities and for which the Office of
1051 Environmental Management has some responsibility. Then the US
1052 has a bigger inventory of commercial spent fuel, and this is
1053 spent fuel that was used in commercial power reactors for the
1054 intent to produce power. And the organization responsible for
1055 the disposal of this inventory of spent fuel is a separate
1056 organization. That's the Office of Nuclear Energy and Paul
1057 Murray just talked a little bit about that.

1058

1059 I know this is a busy slide and there's a lot here and I don't
1060 want to spend much time on this slide. But here is the main
1061 regulatory framework that governs the DOE-managed spent fuel.
1062 So, I already mentioned the Atomic Energy Act and the Nuclear
1063 Waste Policy Act. These Acts give authority to the Secretary to
1064 utilize nuclear materials and manage radioactive waste and
1065 establish the federal responsibility to provide the safe
1066 disposal of spent fuel. Then we have NEPA, which is the National
1067 Environmental Policy Act, that requires federal agencies to
1068 consider the environmental effects of the proposed actions
1069 before making decisions.

1070

1071 So, there are other applicable regulations and directives
1072 through DOE and NRC that we follow. For DOE, it's basically DOE
1073 directives. And the last one here I understand is specific to a
1074 site but has a big impact on how we manage spent fuel in EM.
1075 This is the Idaho Settlement Agreement, and it established Idaho
1076 site cleanup milestones. And I'm going to cover this a little
1077 bit more in more detail in a later slide.

1078

1079 Okay. So, Spent Fuel Inventory. We already mentioned that for
1080 the purpose of this presentation, I'm going to focus on
1081 DOE-managed spent fuel. So, everything that you're going to see
1082 from now on is specifically on DOE-managed spent fuel. So, as I
1083 mentioned earlier, EM manages an inventory of spent nuclear fuel
1084 resulting from nuclear weapons production and energy research.
1085 The DOE-managed spent fuel includes about 2450 metric tons of
1086 heavy metal with about 300 different fuels with various fuel
1087 compositions, cladding, structural integrity, and fissile
1088 content. Most of this inventory comes from DOE production
1089 reactors. And I just want to give an example. It's the B reactor
1090 at Hanford, which was the first large-scale plutonium production
1091 reactor ever built and that was in the 1940's.

1092

1093 In our inventory we also have some commercial origin spent
1094 nuclear fuel. Under the Atomic Energy Act, DOE has authority to
1095 accept spent fuel for safety, emergency, and liability reasons.
1096 And that is the case for the Three Mile Island reactor core
1097 debris. There are some commercial power demonstration projects
1098 as well and that includes Shippingport, Peach Bottom, and
1099 others. So, in addition to the inventory that I just mentioned,
1100 DOE-EM supports other DOE programs in implementing their mission
1101 by receiving, storing, and managing spent nuclear fuel and other
1102 nuclear materials from foreign and domestic research reactors.

1103

1104 Okay. So, we've been working with this map for a long time so
1105 I'm kind of familiarized with it. This is a map representation
1106 of the storage locations of this inventory of spent fuel. Spent
1107 fuel is safely stored at four DOE sites. That's at the Hanford
1108 site... So, I'm going to start at the West. Hanford site in
1109 Washington State. Then there's Idaho National Laboratory and
1110 that's in the state of Idaho. The map also shows Fort Saint
1111 Vrain in Colorado. However, that inventory of spent fuel has
1112 been managed by the Idaho National Laboratory. Then moving to
1113 the East Coast, we have the Savannah River Site in the state of

1114 South Carolina. And other minor amounts of spent fuel are stored
1115 at other locations, such as university research reactors. And
1116 then you might be familiarized with HFIR [high flux isotope
1117 reactor] reactor at Oak Ridge National Laboratory.

1118

1119 The total inventory of DOE management fuel, as I mentioned, is
1120 approximately 2450 metric tons of heavy metal. And just to
1121 provide a comparison, the United States has approximately 90,000
1122 metric tons of spent fuel from commercial nuclear power
1123 generation. And although our inventory seems like a small
1124 portion of the entire spent fuel inventory, our spent fuel has
1125 different compositions, cladding, structural integrity that
1126 could become a challenge when we're talking about managing and
1127 storing it and packaging it.

1128

1129 Okay, so where is this inventory stored? As I mentioned, we have
1130 four sites. On the right side we have pictures of the storage
1131 facilities at the Idaho National Laboratory. Most of their
1132 storage facilities are dry storage facilities with the exception
1133 of the picture in the middle, which is a wet pool, similar to
1134 the L-Basin facility at the Savannah River Site. And I believe
1135 the Board had a chance to tour the L-Basin facility yesterday.

1136 So, Idaho used to have spent fuel stored in a wet pool. However,
1137 as of last spring, all of the spent fuel has been transferred to
1138 dry storage facilities. So, kudos to the Idaho team on meeting
1139 the milestone before the schedule. This is one of the milestones
1140 from the ISA [Idaho Settlement Agreement].

1141

1142 The picture at the bottom shows underground storage. And on the
1143 back, this is all dry now, and on the back you could appreciate
1144 casks above ground where spent fuel is also stored. There are
1145 other spent fuel facilities at Idaho. However, EM is not
1146 responsible for those facilities and I'm not going to be talking
1147 about those facilities today. But you might be aware that Naval
1148 Reactors and that Nuclear Energy also have facilities at the
1149 Idaho site.

1150

1151 Moving now to the bottom center, those are the two facilities at
1152 Hanford that they store. These are all dry storage facilities.
1153 They store their spent fuel. It's the Canister Storage Building
1154 and the Interim Storage Building.

1155

1156 And then on your left, if you see the top picture, that's the L-
1157 Basin facility. Oh, Ft. Saint Vrain's also there, I just

1158 realized, not Savannah River, definitely not Savannah River. And
1159 you can appreciate, I really like this picture because you can
1160 appreciate the Cherenkov radiation, which I think makes it
1161 really cool to see. And hopefully, you were able to appreciate
1162 that in person yesterday.

1163

1164 Okay. So, not all the sites are storing spent fuel pending
1165 direct disposal. Here at Savannah River Site, we are processing
1166 the spent fuel inventory through H-Canyon.

1167

1168 The H-Canyon facility is the only large-scale nuclear chemical
1169 processing facility in the United States. The H-Canyon mission
1170 has varied throughout the years, from recovery of uranium to the
1171 current mission known as the Accelerated Basin De-inventory or
1172 ABD.

1173

1174 And what ABD does is it allows for dissolution of spent nuclear
1175 fuel with no recovery of uranium or any other nuclear materials
1176 with the goal to accelerate the disposal of Savannah River Site
1177 spent fuel. Once the spent fuel is processed, the resulting
1178 dissolved material, and hopefully that's explained a little bit
1179 here in that picture, is transferred to the liquid waste system

1180 and then vitrified into a stable form, which is glass, pending
1181 disposition.

1182

1183 Okay. So, let's now discuss transportation and disposal of this
1184 inventory. And at the moment, no spent fuel is being transported
1185 to a disposal facility. As you all know, there aren't any
1186 disposal facilities available that can accept spent fuel. And
1187 the responsibility of the transportation and disposal of spent
1188 fuel falls under the Office of Nuclear Energy.

1189

1190 In the meantime, DOE designed a standard canister, the DOE
1191 standard canister, to store, transport, and dispose of the
1192 broadest spectrum of material, including spent nuclear fuel,
1193 using a standard, consistent approach. That's a representation
1194 of the DOE standard canister.

1195

1196 And this is just one size of the DOE standard canisters. I
1197 believe there are four different sizes. And I'm sure that Idaho
1198 National Lab can discuss that a little bit more in detail later.

1199

1200 And then I provide approximate inventory through 2055 of how
1201 much we think at this point we're going to... how many DOE

1202 standard canisters were going to be generated based on the
1203 inventory that we have now. This is preliminary and, for
1204 example, and I want to highlight Savannah River here with the
1205 ABD mission. It is unknown how many spent nuclear fuel we're
1206 going to be able to process through H-Canyon. So, we can expect
1207 those numbers to change depending on how much spent fuel we can
1208 process.

1209

1210 But at Hanford, the spent fuel is currently stored in multi-
1211 canister overpacks or MCO's. MCO's are similar to the largest of
1212 the four DOE standard canisters. Comparing the MCO's to the DOE
1213 standard canisters, they're both stainless steel, sealed, welded
1214 pressure vessels with similar pressure ratings.

1215

1216 At Idaho, there's a small inventory of spent fuel that will
1217 require conditioning beyond drying. And the majority of the
1218 inventory will require packaging and overpacking to be ready to
1219 be transported to a disposal facility whenever that is
1220 available. And as I mentioned with the Savannah River Site,
1221 there's still a lot of unknowns on how many DOE standard
1222 canisters we're going to need. This is just a high-level
1223 estimate. We have the spent nuclear fuel database to help us get

1224 this information. So, if someone has any questions, we can
1225 always go back to the database.

1226

1227 Okay. So, the Spent Nuclear Fuel Working Group. This is a
1228 working group that gets together once or twice a year to discuss
1229 and address policy and crosscutting issues impacting the
1230 handling, storage, and disposition of spent nuclear fuel. Our
1231 last meeting was back in April, I believe, at the Savannah River
1232 site and we had participation from the Board staff in that
1233 meeting. So, you're familiarized with our meetings. This group
1234 keeps growing. Initially we had maybe a dozen people showing up
1235 to this meeting. Now we have over 60 people going to this
1236 meeting. So, there's definitely value on getting together once
1237 or twice a year and discuss all these issues. We have
1238 participation from the Office of Nuclear Energy. We've been
1239 working closely with Erica Bickford as a co-chair of this
1240 working group. So, both organizations co-chairing, it's EM and
1241 NE. However, we also have participation from NNSA [National
1242 Nuclear Security Administration], Office of Science, Office of
1243 Naval Reactors, contractor organizations, and the national labs
1244 too.

1245

1246 So, there's a huge list here of all the accomplishments from the
1247 spent nuclear fuel working group and I'm not going to discuss in
1248 detail all of these accomplishments. However, I want to
1249 highlight some of them because the result of those reports or
1250 accomplishments have been the reason why we're doing things the
1251 way we're doing it today.

1252

1253 So, the first one is the strategic framework, which I think is
1254 just the basis for what we want to do with the spent nuclear
1255 fuel. And this was signed in 2021. However, I know that it took
1256 years to develop this plan. So, it was very well thought. And
1257 basically, what it says is when possible, reduce the inventory
1258 of spent fuel by processing it, and to package all remaining
1259 spent fuel into a road ready dry storage configuration. Like I
1260 said, there are several initiatives that we've worked before and
1261 that we're continually working that are from this strategic
1262 framework document.

1263

1264 Another accomplishment that I want to highlight is the report on
1265 aluminum clad spent fuel. This report identified gaps for the
1266 packaging and storage of the aluminum clad spent fuel. The
1267 findings from this report are the basis for most of the

1268 technology development [TD] work that we're currently doing
1269 specific to the aluminum clad spent fuel. And we're going to
1270 have a lot of discussion on TD activities and you're going to
1271 hear more what we're doing to ensure that we can safely store
1272 aluminum clad spent fuel long-term.

1273

1274 Another important one is the Analysis of Alternatives for the
1275 Savannah River Site Spent Fuel Disposition. This effort led to
1276 the Accelerated Basin De-Inventory or ABD mission, focused on
1277 reducing the inventory of spent fuel in the L-Basin at Savannah
1278 River site. And you're definitely going to hear more about that
1279 later today.

1280

1281 I also want to highlight the evaluation of the NWTRB 2017 Report
1282 for any implications with respect to managing our technology
1283 development program and our spent fuel strategy. And some of the
1284 TD considerations will be reported in the next presentation.

1285

1286 Other accomplishments include an internal exploratory
1287 disposition roadmap report for spent fuel. I was actually the
1288 lead on that but I had support from many, many subject matter
1289 experts from all the sites. And basically, what it did was what

1290 are the options for disposition of specific categories of spent
1291 fuel.

1292

1293 Then we have a road ready dry storage configuration report, a
1294 formal analysis of alternatives for spent fuel at the Idaho
1295 site. And this AoA, I believe, spurred the development of the
1296 Idaho Integrated Spent Fuel Management Plan. So, with the Idaho
1297 Integrated Management Plan I want to stop and just say something
1298 for everybody's information. It will be briefly mentioned today.
1299 However, this plan remains an internal document as we speak
1300 until we can have some alignments with other impacted
1301 organizations. So, we're still working on that.

1302

1303 Other efforts that were initiated as part of the working group
1304 was trying to draft a definition for nuclear fuel. There was a
1305 lot of work being done with this working group. And then 435.1
1306 team started their efforts and we were happy to give that to
1307 them. They took over that effort and now instead of being a
1308 product from this working group, now it's the overall 435.1
1309 revision effort. And there is work being done on that. And I
1310 don't know, they have a very optimistic date on when they're

1311 planning to release it, but I'm not quite sure if I can mention
1312 it here.

1313

1314 Okay. So, up till now I've been discussing all the great things
1315 that EM has done and how we've been safely and effectively
1316 managing the inventory of spent fuel throughout the various
1317 storage facilities and I also mentioned the processing facility
1318 capability at H-Canyon. Some of our sites are working towards
1319 the point in which we can package the spent fuel, ready to be
1320 transported to either an interim storage facility or a final
1321 repository.

1322

1323 However, there are some constraints that EM must work with. And
1324 I already mentioned the legislative basis on an earlier slide.
1325 But in addition to that, we have state agreements and milestones
1326 in place. And I'm going to repeat again the Idaho Settlement
1327 Agreement. This agreement not only covers spent fuel, it also
1328 covers all waste management activities. The ISA, or Idaho
1329 Settlement Agreement, was signed in 1995 with the goal to - and
1330 I like to use this word - incentivize the Idaho National Lab on
1331 getting waste out of the state. Others might think differently.
1332 The scope of the ISA goes beyond the spent fuel inventory as I

1333 mentioned. It also covers things like TRU [transuranic] waste,
1334 sodium-bearing waste, which I'm not going to be discussing
1335 today. But specifically to spent fuel, the ISA requires that all
1336 spent fuel be moved from wet storage to dry storage by 2023 and
1337 that milestone was completed ahead of time.

1338

1339 The big one is to have all spent fuel be removed from Idaho by
1340 2035. And I think something that also impacts not only the
1341 DOE-managed fuel but other spent fuel in the country is the fact
1342 that there's no repository or interim storage facility to send
1343 the spent fuel. So, that's one of our biggest constraints. And
1344 as Paul Murray mentioned during his presentation, NE is working
1345 on the consent-based siting process to select an interim storage
1346 facility. But you understand all the constraints that they also
1347 have in nuclear energy trying to get this done.

1348

1349 Okay. So, we put together a list of current challenges with
1350 managing the spent nuclear fuel inventory and some potential
1351 solutions that are under discussions or consideration. And this
1352 is not intended to be a comprehensive list of all the challenges
1353 that we're facing. This is basically just a snapshot of the main

1354 challenges that we're currently facing and how we're planning to
1355 address them.

1356

1357 And the first point will be discussed later today in more
1358 detail. But there's a general understanding that some of the
1359 spent fuel inventory at the Savannah River Site will not be
1360 processed through H-Canyon and that additional spent nuclear
1361 fuel shipments could potentially be received at the site post
1362 ABD. So, that's challenge number one. So, for that we're
1363 identifying potential solutions for the remaining and future
1364 inventory of spent fuel. And you'll hear more about that later
1365 today. The department in collaboration with the Savannah River
1366 National Lab, we've been discussing what capabilities could be
1367 utilized at the site to address this inventory of spent fuel.
1368 However, we're still in the preliminary discussions. No
1369 decisions have been made.

1370

1371 Another challenge is the sustainability of long-term storage of
1372 the spent fuel. As I mentioned on the previous slide, the
1373 DOE-managed spent fuel is stored in different configurations.
1374 Some of the inventory may need to be conditioned before it's
1375 packaged in a way that it's ready to be sent to an interim

1376 storage facility or a final repository. And for that, we are
1377 pursuing some technology development activities to get us there.
1378 And I want to highlight the importance of the technology
1379 development program because there's still so many unknowns. And
1380 if we ever want to get to the point that we're ready to send the
1381 spent fuel to a repository, there are several questions that we
1382 need answers to. And that's why the technology development
1383 program is so crucial.

1384

1385 Next on the list is our ability to packaging the spent fuel that
1386 will allow for storage and transportation to an eventual
1387 disposal facility. And at this point, Idaho is identifying
1388 facilities, modifications to existing facilities, resources,
1389 etc. to support a demonstration project for the packaging and
1390 staging of the spent fuel.

1391

1392 And as most of you are aware, some of these facilities were
1393 built decades ago, therefore, aging infrastructure is a concern
1394 for the Office of Environmental Management. We're very aware of
1395 the situation of our facilities. We continue to operate these
1396 facilities safely, but there's an understanding that these
1397 facilities are aging. And a good example, and I'm not trying to

1398 pick on H-Canyon, but I'm very familiarized with that facility.
1399 But a good example is the H-Canyon facility, still operating
1400 safely. But it will be over 80 years old by the time the ABD
1401 mission is expected to be completed. So, it underscores the
1402 necessity of proactive measures for future capabilities. And,
1403 like I said before, no official plans have been made post ABD to
1404 either repurpose the facility or to build new capabilities.
1405
1406 There was a question from the Board staff or the Board members
1407 on our interactions or at least our acknowledgement on the
1408 defense board public meeting that was held not long ago on
1409 addressing aging safety-related infrastructure. And we're paying
1410 attention and we're going to follow and incorporate as
1411 appropriate suggestions from that hearing and any upcoming DNFSB
1412 [U.S. Defense Nuclear Facilities Safety Board] workshops.
1413
1414 Then we have NEPA. All our activities are covered under NEPA.
1415 But some of those NEPA documents were developed decades ago and
1416 there has been some supplemental analysis been done recently.
1417 So, one of the things that the spent nuclear fuel working group
1418 wants to do is they want to initiate a review of the NEPA
1419 coverage that we currently have and what we might have to do to

1420 ensure that the coverage remains adequate for future activities.

1421 And this is a topic that I hope the working group can present in

1422 about a year or so. We're starting to look into it.

1423

1424 And then another very well-known challenge is having the

1425 adequate resources to do all the things that we want to do. I

1426 mean, not only funding but people. Right? So, I think any

1427 organization in DOE can relate to this one.

1428

1429 That was the end of my presentation. So, I have... I don't know if

1430 this is important right now. These are some of the references

1431 that we used. Okay, this is a good one. This is examples of some

1432 of the DOE-managed spent fuel types. As you can see, different

1433 configurations. HFIR is completely different. Any questions?

1434

1435 SIU: Thank you. Open it up, Lee?

1436

1437 PEDDICORD: Thank you very much. Lee Peddicord with the

1438 Board. A comment on your last slide. It might be interesting to

1439 also color-code those on age since you've got HFIR cores coming

1440 out routinely, brand new, looking good. And some of these are

1441 quite historic in terms of how long they've been around. I don't

1442 know, that might be informative to see the challenges you're
1443 dealing with as well too. I had one question also on your slide,
1444 the first one of your challenges and potential solutions, in
1445 which it read "for example, e.g., small-scale modular nuclear
1446 reactor material processing capabilities." So, small modular
1447 reactors says something to some people. Are you referring to
1448 these next generation of SMR's that are anticipated?

1449

1450 ROVIRA: No. Let me go back to that. So, there is an effort.
1451 It's small-scale modular nuclear material processing capability.
1452 So, this is an effort that I'm coordinating, my office is
1453 coordinating with DOE Savannah River and the national laboratory
1454 on identifying what are the options moving forward if we can't
1455 continue using H-Canyon? So, we're in the preliminary phases,
1456 just evaluating what those options are.

1457

1458 PEDDICORD: Yep, got it. And then the last thought that comes
1459 to mind, you know, in listening to Paul Murray and so on. First
1460 of all, the fact that you all EM and he are really talking a
1461 lot, I think is excellent. That's a great step. But in terms of
1462 finding places, say, for interim storage facilities, you have
1463 the kinds of locations with all the infrastructure, security,

1464 and so on that would make these places attractive to put
1465 commercial interim spent fuel storage facilities as a place. Do
1466 your discussions entail that? Again, you've raised all sorts of
1467 challenges that might lead to that. But, you know, in Hanford,
1468 Savannah River, particularly where they're located
1469 geographically and things like that, might this be a convergence
1470 for the country to solve one of these issues?

1471

1472 ROVIRA: I mean, that's a good question and good comment. I
1473 don't think we've had those conversations. There are agreements
1474 with the states that we need to follow, but something to
1475 consider.

1476

1477 PEDDICORD: Okay, thank you.

1478

1479 ROVIRA: Thank you.

1480

1481 LESLIE: Bret Leslie, staff. Go ahead and bring Brian on,
1482 Woods.

1483

1484 WOODS: Hey, thank you very much, Jomaries. I appreciate the
1485 presentation. I did have a question. You know, we just heard

1486 Paul talk a lot about how the liability is a large driver for
1487 how they're prioritizing going forward. And I'm just kind of
1488 curious. You know, you all had the Settlement Agreement. So,
1489 there's a date of 2035. You have other agreements as well. Can
1490 you speak a little bit about how does these agreements, these
1491 contractual agreements, how do they play into your
1492 organization's kind of prioritization process for the different
1493 things to put your limited resources and efforts into?

1494

1495 ROVIRA: I will prefer if Idaho answers that question. I know
1496 there's going to be a talk on that later today and under
1497 management plan. So, I would rather have them discuss that if
1498 that's okay.

1499

1500 WOODS: Yeah, no, that's fine. I'll wrap around later on to
1501 that. Thank you.

1502

1503 SIU: Nathan Siu, Chair. I have a related question to Brian's.
1504 Paul talked about a risk register to help him with his
1505 prioritization. Do you have something similar for the EM
1506 activities? Are you planning on developing such a register?

1507

1508 ROVIRA: In terms of what specifically?

1509

1510 SIU: To help prioritize. Again, you have limited resources and
1511 therefore you have to decide what goes up top and what goes on
1512 the bottom.

1513

1514 ROVIRA: Okay. So, we looked at the agreements that we have
1515 with the states, and that's obviously a priority for us. We want
1516 to make sure we meet those agreements with the states. Or if
1517 not, we discuss with them whether we need an extension of those
1518 agreements. So, that's going to be in my view priority No. 1.
1519 And then in terms of our facilities, we look at how we can
1520 prioritize the infrastructure needs and based on our mission, we
1521 can then provide funds where needed if that's the priority.

1522

1523 SIU: Yeah, yeah. I wasn't asking you for the solution. I was
1524 just wondering programmatically, if you had such an activity to
1525 develop such a formal register. It sounds like maybe not.

1526

1527 ROVIRA: I don't think there's nothing formally per se. It's by
1528 site. But correct, yes, I don't have something like that.

1529

1530 SIU: Thank you.

1531

1532 LESLIE: Bret Leslie, staff, asking a question on behalf of Dr.
1533 Steven Becker, Board member. Jomaries, thank you for a nice
1534 overview of EM's work. In Paul Murray's remarks earlier, he
1535 called attention to the central importance of communication and
1536 establishing trust. Thinking about EM's experiences, since it
1537 was created back in 1989, what do you see as the most important
1538 lessons learned by EM related to communication with states,
1539 communities, and Tribal nations?

1540

1541 ROVIRA: So, EM does a really good job communicating with
1542 stakeholders and Tribal nations. So, I think the constant
1543 communication, constant visits from senior leadership
1544 especially, to all these communities and sites has been key to
1545 build strong relationships with all those communities. And I
1546 think the communication aspect in EM has been very, very strong
1547 for many years, and relationships are really good with the
1548 communities.

1549

1550 LESLIE: So, thank you, Jomaries. It's Bret Leslie, staff again
1551 asking a follow-up question by Dr. Steven Becker. What have been
1552 EM's biggest challenges in terms of communications?

1553

1554 ROVIRA: That is a really good question. This is just my
1555 opinion, right. I think when you have sites that have many
1556 different program offices, that could become a challenge when
1557 priorities are not necessarily the same for all the program
1558 offices that are in that site within that same state. But, like
1559 I said, this is just my personal opinion.

1560

1561 LESLIE: Bret Leslie, Board staff. This is my own question. You
1562 had indicated road-ready packaging of DOE's standard canister
1563 requires overpacking at Idaho National Laboratory. And I know
1564 that in your road-ready documents you indicated that you are
1565 considering the waste acceptance system requirements document.
1566 And I've looked ahead at kind of some of the figures in the
1567 subsequent presentations. Those requirement documents require
1568 that individual DOE standard canisters are capable of being
1569 lifted at the disposal site. So, can you talk about how the
1570 overpacking at a site for storage will allow them to

1571 individually lift DOE's spent fuel canisters at a repository one
1572 day?

1573

1574 ROVIRA: I don't know the answer for that question.

1575

1576 LESLIE: So, I'll follow up with Idaho folks later today.

1577

1578 ROVIRA: Okay.

1579

1580 SIU: Do we have any other questions?

1581

1582 LESLIE: I'm sorry, I probably was not paying attention when
1583 you talked about this, but you had a map of DOE's managed spent
1584 fuel and I didn't hear if that inventory there included both NE
1585 spent fuel and Naval Reactors.

1586

1587 ROVIRA: No, this is strictly EM-managed spent fuel.

1588

1589 LESLIE: So, when you say DOE-managed, you mean DOE-EM-managed,
1590 whereas when the Board talks about DOE-managed, we're talking
1591 about DOE.

1592

1593 ROVIRA: Okay. That's a good distinction.

1594

1595 LESLIE: So, that's a really important point because that's how
1596 we view things.

1597

1598 ROVIRA: Okay.

1599

1600 LESLIE: Thanks.

1601

1602 ROVIRA: That's good to know. Anything else?

1603

1604 SIU: Okay. We're done.

1605

1606 ROVIRA: Well, thank you.

1607

1608 SIU: I guess we're breaking early. So, we will reconvene. So,
1609 we'll just stay on schedule. So, 10:10 we'll reconvene. Thank
1610 you.

1611

1612 [BREAK]

1613

1614 In the spirit of our hybrid meeting, our next presentation will
1615 start with a virtual presentation and then we'll go in-person.
1616 And then we'll have a follow-on hybrid, virtual presentation.
1617 So. Rod Rimando first.

1618

1619 RIMANDO: Well, good morning. Good morning from Washington, DC.
1620 Am I on the stage yet?

1621

1622 SIU: You're on.

1623

1624 RIMANDO: Oh, okay, great. Thank you. Well, good morning again.
1625 My name is Rodrigo Rimando. I am the Director for the Office of
1626 Technology Operations within DOE's Office of Environmental
1627 Management. First of all, thanks to the Board and the organizers
1628 of the meeting for having the virtual option to participate.
1629 This is fortuitous for me as I'm a bit under the weather and
1630 travel would not have been a good option. So, my voice is still
1631 hoarse and I may sound a bit nasal as I speak. For that, please
1632 pardon me. For my brief presentation to you, I will provide a
1633 high-level update of EM's technology program. Next slide please.
1634

1635 So, there are two topics that I'll cover in my brief discussion.
1636 First, I will summarize EM's new structure of the Chief
1637 Technology Officer and his office. I recall Paul mentioned that
1638 this morning already. I'll then provide highlights of the
1639 current portfolio of technology projects. Next slide.

1640

1641 Thank you. So, it looks like there are some animations in here.
1642 If you could just flip through the animations to get the full
1643 screen up. Several months ago, EM Headquarters underwent a
1644 realignment that included establishing the Office of the Chief
1645 Technology Officer. Too, if you could hit enter or advance, I
1646 think the next bullet will show up. I apologize. Thank you.
1647 First to provide centralized senior executive leadership at
1648 headquarters that is empowered to synergize and drive innovation
1649 across the EM enterprise. It is purposeful to house this key
1650 leadership position within the Office of Field Operations
1651 because with the emphasize on delivering cleanup objectives,
1652 complying with our regulatory agreements and adjudicated
1653 mandates, meeting the expectations of stakeholders and
1654 demonstrating due diligence to the American taxpayer, the
1655 operational imperative for technology insertion and mission
1656 innovation is best appreciated and realized from an operational,

1657 from a field mindset and perspective. A CTO [Chief Technology
1658 Officer] is focused on solidifying a program after structure
1659 that is defensible and sustainable. This is done by establishing
1660 and implementing a governance structure of policies, strategies,
1661 management plans, and operating procedures. And this is
1662 particularly important because considering the mission, a
1663 completion date of somewhere in the 2070's, we're going to need
1664 a program structure that will certainly sustain our mission and
1665 be enabled to insert these new innovations and also to keep pace
1666 with new technologies and emerging technologies. Of course, you
1667 all appreciate that. It is just about moving at an incredible
1668 rate now where we are very much challenged with keeping up with
1669 availability of these new solutions.

1670

1671 And also recognizing that the federal government is also making
1672 sizeable investments in innovation and technology. A CTO is
1673 particularly charged with promoting increased collaboration with
1674 other federal executive departments, independent agencies, as
1675 well as the international community. So, while there are a lot
1676 of R2A2 roles, responsibilities, authorities, and accountability
1677 associated with CTO, these three jump up immediately certainly

1678 as we look at how best to structure the program. So, again, it
1679 is sustainable and it is transparent.

1680

1681 Just on the organizational structure, within the immediate
1682 office of the CTO there are three key direct reports. There's
1683 the Senior Advisor of Laboratory Policy who coordinates and
1684 integrates DOE National Laboratory expertise capabilities and
1685 activities. A Chief Engineer serves at a corporate engineering
1686 level by providing leadership and developing engineering
1687 strategies, policies, and guidance specific to EM operations.
1688 There's only one supported office within the CTO and that is the
1689 Office of Technology Operations for which I am the director.
1690 This office is responsible for the overall integration and
1691 coordination of the technology portfolio across the EM
1692 enterprise. This officer also manages university engagement,
1693 including the EM minority serving institution partnership
1694 program. Next slide please.

1695

1696 This should be a familiar figure to many of you and it is one of
1697 the more common graphics we use to summarize our budget by
1698 mission area for any given fiscal year. For fiscal year '24, our
1699 enacted budget is just shy of \$8.5 billion, of which \$563

1700 million, about 6% is appropriated for activities in spent
1701 nuclear fuel and special nuclear materials.

1702

1703 I use that same graphic to show our current technology
1704 portfolio, which totals nearly \$103 million. 54% of that budget
1705 is focused on our tank waste, radioactive liquid waste mission,
1706 for our project supporting spent nuclear fuel research and
1707 technology development activities. We're providing funding at a
1708 level of around \$11 million.

1709

1710 You will also note that there's a technology thrust for mission
1711 enablers, which are technologies that are not specific to any
1712 single mission area. Instead, these are technologies such as
1713 advanced sensors, artificial intelligence and machine learning
1714 algorithms, advanced modeling and simulation, digital twinning,
1715 virtual reality, mass materials and robotics, all of which have
1716 broad and crosscutting application. Next slide.

1717

1718 I'll kind of shift gears now and discuss the portfolio itself.
1719 And I'll do so by cross referencing our technology maturation
1720 process. As shown, we follow the basic construct of the
1721 technology readiness level, TRL, scaled from 1 to 9, and of

1722 course 1 being the start of the maturation process and 9
1723 representing the end.

1724

1725 We group the TRL's in three general phases, the lower TRL's, 1
1726 through 4, are what we consider the design... discovery and
1727 design. The mid TRL's, 5, 6, and 7, are the demonstration phase.
1728 And, 8 and 9 are the deployment phase. I then overlay our
1729 current portfolio of 132 technology activities funded, and I add
1730 the total of \$102.8 million. Of that, 89 projects funded at
1731 around 52 million are in the low TRL's. 39 projects and around
1732 46 million are in the demonstration phase around 4, and around
1733 4.7 million are in the mature and hopefully soon to be deployed
1734 phase.

1735

1736 Now let's take a look at who's doing that work. That is, who are
1737 the lead principal investigators? Of the 89 projects that are in
1738 the lower TRL's, our national labs are leading 21, while our
1739 universities are leading 68. As you can see, the effort in
1740 investment is somewhat weighted towards our colleges and
1741 universities as we actively engage with them in recent
1742 development, but also as they serve a key role in filling the

1743 workforce pipeline and actually serve as the primary source of
1744 the next generation of STEM professionals and leaders.

1745

1746 In the demonstration phase, our national labs are leading 37,
1747 while our universities are leading 2. And this makes absolute
1748 sense because our national labs are the best equipped and best
1749 positioned to coordinate directly with our FINA (sic)
1750 contractors to demonstrate the utility and prove out the
1751 performance of technologies.

1752

1753 Finally, in the deployment phase, our national labs are leading
1754 3 while new vision engineering is leading a demonstration of
1755 technology being transferred from the UK. Specifically, a
1756 modular drum assay system that was initially developed to
1757 support Sellafield nuclear site in Cumbria, England. And we are,
1758 by the way, giving greater emphasis to modular systems and
1759 slowly moving away from constructing these huge monolithic waste
1760 processing facilities because we're transitioning to a point
1761 where we're going to need the mobility, the portability of many
1762 of the systems to address some of our challenges that we have,
1763 both in spent nuclear fuels, special nuclear materials. Jomaries
1764 already mentioned kind of what we're thinking about for H-

1765 Canyon. But also for our liquid waste system. As we continue to
1766 make great progress at Savannah River Site and as we begin to
1767 make really demonstrable progress at Hanford. There will be a
1768 point where these huge facilities from an operational standpoint
1769 reach a point of diminishing returns on their operational
1770 capability and their efficiency. And that's where these small
1771 modular systems will play a pretty important role.

1772

1773 And if you could go to my last slide. So, yeah, you're going to
1774 have to click through. I apologize for that. There's some
1775 embedded animations here. In summary, EM's Technology Officer
1776 and the entire organizational structure of CTO, positions them
1777 to be able to smartly, efficiently, and safely execute our
1778 mission in the five, possibly six decades ahead of us. Of
1779 course, with the focus on mission innovation and leveraging. We
1780 even exploit new and emerging technologies as they become
1781 available.

1782

1783 Our current portfolio with technology activities will continue
1784 to grow and expand. Our more immediate focus is on applied
1785 science, technology demonstration and technology transfer. Our
1786 portfolio leverages the broader technology market and we strive

1787 to insert commercial off the shelf technologies, that is COTS. I
1788 mentioned collaboration with our other federal agencies. We also
1789 work to insert government off-the shelf-technologies, that is
1790 GOTS. For those folks who may not necessarily be familiar with
1791 GOST, these are solutions that are developed by other federal
1792 executive departments and independent agencies specific to their
1793 missions. While GOTS are again mission specific, there is great
1794 applicability for transfer to the EM mission particularly for
1795 (unint.) solutions. That is technologies that are designed to
1796 address chemical, biological, radiological, nuclear, and
1797 explosive hazards.

1798

1799 Lastly, we'll continue to make strategic investments to reduce
1800 our technical risk and vulnerabilities and to reduce the federal
1801 government's environmental liability associated with not just
1802 the Manhattan Project and the Cold War, but also in the early
1803 years of nuclear science and technology. Because, again, the
1804 government owned that, particularly those that were part of
1805 President Eisenhower's Atoms for Peace. Those early initiatives
1806 are part of the legacy for which Congress chartered us to
1807 address. So, that concludes my presentation, fast and furious. I
1808 wanted to make sure there was enough time for other folks during

1809 this session. Again, I wanted to give you a quick overview of
1810 where we stood within EM and particularly the Chief Technology
1811 Officer and what our vision and how we're moving forward with
1812 the technology program. Thanks for your attention.

1813

1814 SIU: Thank you, Rod.

1815

1816 EIDELPES: Thanks a lot. Again, my name is Elmar Eidelpes. I'm a
1817 Spent Fuel Analyst at the Idaho National Laboratory and together
1818 with my colleague Gordon Petersen, I will be speaking to the
1819 spent fuel technology development activities at the Idaho
1820 National Laboratory. First, before we start, this is just a sort
1821 of disclaimer that I'm speaking here as a researcher. Gordon as
1822 well. And that nothing that we say is necessarily the opinion of
1823 the US Department of Energy or the US government.

1824

1825 All right, before we hop into the actual content, I just want to
1826 provide a brief overview of the presentation content. So, I will
1827 be discussing the spent fuel technology development activities,
1828 including goals and objectives, as well as the research on
1829 extended dry storage of aluminum-clad spent fuel. So, it's my
1830 understanding that the particular interest of the NWTRB here

1831 today is on this part of our research. So, we will be discussing
1832 the technical basis, which was a document that was issued in
1833 Fiscal Year 2022 and then we'll discuss the status and ongoing
1834 work as well as the impact of our work on the US Department of
1835 Energy's ability to store aluminum-clad spent fuel. And then
1836 Gordon will be briefly talking about advanced neutron absorber
1837 work that has been performed for the last couple of years.

1838

1839 All right. So, the program goes... Some of you may know that our
1840 program used to be funded by a Congressional mandate. So, there
1841 was this piece of language that could be found in the
1842 appropriation languages that was along the lines of this text up
1843 here. So, to perform technology development for the National
1844 Spent Nuclear Fuel Program to address issues related to storing,
1845 transporting, processing and disposing of DOE-owned and -managed
1846 spent nuclear fuel. So, these are our program goals. You can see
1847 here on the right side also one of these images that Jomaries
1848 has already presented, kind of like illustrating this variety of
1849 different fuel types that we are dealing with here.

1850

1851 Now, in terms of program objectives, these are defined each
1852 fiscal year on the consideration of various input sources from

1853 DOE or NWTRB and independent technical reviews. Now overall, we
1854 always provide ... try to provide support to DOE and the sites and
1855 other national laboratories in their spent fuel management
1856 responsibilities. And I also want to point out that while this
1857 program is led by Idaho National Laboratory, we are working in
1858 close collaboration with Savannah River National Laboratory.

1859

1860 So, I mentioned some of the key important sources. I want to
1861 highlight one. This is the 2017 Spent Nuclear Fuel Working Group
1862 Report which identified five technical gaps on extended dry
1863 storage of aluminum-clad spent fuel. Of course, we participate
1864 also in meetings at the Spent Nuclear Fuel Working Group or
1865 meetings like this one here today. We also address applicable
1866 recommendations from the 2017 NWTRB report that was also
1867 mentioned today.

1868

1869 This slide here provides a comprehensive overview of our program
1870 scope. You can see here three lists of activities. The first one
1871 on the left is this earmark program. This includes a range of
1872 different activities. All of them with the goal of addressing
1873 questions related to spent fuel storage or management. And the
1874 ones that are marked here with these red arrows are primarily

1875 focused on enabling extended dry storage of aluminum-clad spent
1876 fuel.

1877

1878 In addition to that, we have also two additional projects that
1879 were funded outside the EM program in FY '23-'24. So, we are
1880 working on innovative technologies to monitor and interrogate
1881 spent fuel dry source casks, using, for example, helical guided
1882 ultrasonic waves. And then we have also another effort ongoing
1883 that is looking at vitrification of sodium-bonded Fermi reactor
1884 blanket materials. Now, I would like to say that all of these
1885 activities are funded by the Office of Environmental Management
1886 Technology Operations and we also enjoy a strong subject matter
1887 expert support by the Office of Nuclear Materials.

1888

1889 All right. When we talk about aluminum-clad spent fuel and dry
1890 storage, I think we should just take a brief look at the
1891 inventory. Nationwide, we have about 13 metric tons in EM, that
1892 is in the custody of DOE EM. This doesn't sound like a lot, but
1893 when you look at the volume percentage, that would be 15%...
1894 relatively high because of the low-density. Much of the material
1895 is either stored wet or dry at Idaho, Hanford, or Savannah
1896 River. And also, the aging facilities were mentioned today

1897 already. So, we have also agreements in place with states such
1898 as Idaho that requires us to repackage and maybe move the fuel
1899 at some point and move it to extend dry storage.

1900

1901 Now in terms of technical challenges, you can see here on the
1902 right side some images. So, the first one in the upper left
1903 corner shows these aluminum oxides that can be found on
1904 aluminum-clad fuel. So, the problem with aluminum-clad spent
1905 fuel it tends to corrode. These oxides may carry a lot of water
1906 and that makes it very hard to dry. We ran some drying
1907 experiments. Here's a setup shown in the center upper image. The
1908 problem is with any residual water in dry storage canisters is
1909 that it may be subject to a radiolytic gas generation. So, this
1910 graph here illustrates the formation of hydrogen as a
1911 consequence of this radiolytic gas generation process as a
1912 function of absorbed gamma dose. We can model and simulate these
1913 work...excuse me...these processes. This is shown here in the lower
1914 left image. We can also monitor these processes. Here is the
1915 remote canister monitoring system that we are currently working
1916 on in the lower center image. And then of course, we have the
1917 aluminum-clad nuclear dry storage pilot which, of course, will

1918 be discussed in detail today for validation and verification
1919 purposes. So, here's an illustration in the right lower image.

1920

1921 So, summarized, there is a need for the development of the
1922 technical basis for extended dry storage of aluminum-clad spent
1923 fuel to address these technical challenges and to meet the
1924 packaging and extended dry storage needs.

1925

1926 I mentioned the Spent Nuclear Fuel Working Group and the Spent
1927 Nuclear Fuel Working Group report on challenges associated with
1928 aluminum-clad spent fuel and the extended dry storage of such.
1929 So, these five challenges are listed here in this table in the
1930 first column. The identification of these challenges completed
1931 Step 1 in our flowchart shown here in the left lower corner. We
1932 initiated in our laboratory studies... These laboratory studies
1933 were initiated in 2017 to address these challenges. So, we
1934 initiated the program that consisted out of six tasks. These are
1935 listed here in the upper row of the table. And these X marks
1936 indicate how these technical tasks should address these
1937 technical challenges.

1938

1939 And now we are moving into the Step 3 of the flowchart, which is
1940 the validation and verification. Ultimately, we want to move to
1941 deployment.

1942

1943 So, I mentioned a technical basis that was issued in Fiscal Year
1944 2022. I just want to go briefly through the main findings of the
1945 researchers that led to the issuance of this technical basis.

1946 So, the first task here was research on (oxy)hydroxide behavior.
1947 The researchers looked here at the water vapor corrosion using
1948 this piece of equipment shown in the upper right corner. And
1949 what they found is that we don't expect hydrogen being generated
1950 as a consequence of corrosion on the representative dry storage
1951 conditions. However, high temperature drying could lead to a lot
1952 of phase changes maybe in the fuel cladding.

1953

1954 This task was completed. Our second task, radiolytic gas
1955 generation experiments, focused really on the radiolytic gas
1956 generation process. You can see here some of the data shown in
1957 the lower left image. This is again a graph of the hydrogen as a
1958 function of the absorbed gamma dose. This work was also
1959 supported by mini-canister testing executed at Savannah River
1960 National Laboratory. It allowed to test larger coupons under

1961 various drying conditions. It allowed us to define these G
1962 values, which are basically a unit that describe the quantity of
1963 hydrogen as a function of the unit of the deposited energy.

1964 Maybe one of the key findings here is that we have insignificant
1965 quantities of oxygen being generated, and we also expect a
1966 rollover at higher doses.

1967

1968 We can model and simulate these processes. You can see here a
1969 time history in the upper right corner of hydrogen versus
1970 storage time. So, we can run complex thermal simulations of
1971 various dry storage configurations of aluminum-clad spent fuel
1972 and these are coupled with chemical simulations. Again, these
1973 models found that we have maybe large hydrogen concentrations.
1974 We have insignificant oxygen generation and that generally
1975 should prevent the canister flammability. In vented systems
1976 oxygen inhibits hydrogen generation. Canister pressurization
1977 should not be the main concern here. And the modeling
1978 simulations found that we have an insignificant amount of nitric
1979 acid being generated.

1980

1981 We also completed aluminum-clad fuel dry storage performance
1982 evaluations in which we characterized aluminum-clad spent, fuels

1983 specifically Advanced Test Reactor fuel stored wet or dry for
1984 multiple years and we didn't detect any significant changes
1985 during this multi-year storage period. Occasionally, we found
1986 some oxide plumes, which are large oxide deposits. However, they
1987 appeared to remain stable throughout the storage period.

1988

1989 Our drying experiments indicated that drying is a highly
1990 effective process for removal of free water. Chemisorbed water,
1991 however, requires a very high temperature for being removed,
1992 most likely a temperature above 220 C. So, one of these drying
1993 experimental setups is shown here in the upper left corner. In
1994 the upper right corner, you can see some data on drying mass
1995 loss versus drying temperature. And you can see this jump at
1996 around 220 C. That indicates this requirement for high
1997 temperatures. In any case, we expect significant reduction of
1998 hydrogen generation due to drying.

1999

2000 And then our Task 6, which has been completed, was really
2001 centered around the preparation of aluminum-clad spent use
2002 surrogates to run all this experimental work. And we found that
2003 we can use corrosion protocols to reproduce representative
2004 (oxy)hydroxide morphologies. And also, we expect a level of

2005 passivation protection by existing oxide layers. So, you can see
2006 here, scanning electron microscopy image from actual aluminum-
2007 clad spent fuel, Missouri University Research Reactor aluminum-
2008 clad spent fuel here in specific.

2009

2010 All right, this research work led to the issuance of the
2011 technical basis, and the technical basis is actually a summary
2012 of three key findings. The first one is that extended sealed dry
2013 storage of aluminum-clad spent fuel is both safe and viable. For
2014 example, using the DOE standard canister, extended vented dry
2015 storage for aluminum-clad spent fuel is both safe and viable.
2016 Shown here, for example, for the INL CPP-603 facility and
2017 monitoring of extended dry storage of aluminum-clad spent fuel
2018 is technically viable. For example, using the remote canister
2019 monitoring system architecture. The technical basis was
2020 published as a report... as a journal paper as well. And now,
2021 throughout the last couple of months, we were working on having
2022 an independent technical review [ITR] being completed, and we
2023 received some additional research recommendations. Those are
2024 preliminary. I want to point that out. The ITR hasn't been
2025 completed yet. However, some of them are clearly useful to us
2026 and so we picked them up to inform our current research agenda.

2027

2028 So, our current research agenda includes a focus on radiolytic
2029 formation of nitric acid. There are still open questions on
2030 hydrogen generation. However, nitric acid generation previously
2031 has been only simulated, and now we are trying to measure nitric
2032 acid generation or the generation of nitrogen oxides in systems
2033 that contain aluminum coupons shown here in the lower right
2034 corner.

2035

2036 Another research effort here is to investigate breakaway
2037 corrosion. So, breakaway corrosion could mean that a corrosion
2038 layer is removed either mechanically or through chemical
2039 processes and that could lead to additional generation, for
2040 example, of nitric acid or other chemical species. And we want
2041 to use also this work and the findings to validate and verify
2042 our predictive models.

2043

2044 I have a second slide on this work because our PI, Hannah
2045 Hlushko, provided me with this slide here. So, these are just
2046 some of the initial data points. And, again, the interpretation
2047 is still outstanding. However, what it indicates is pretty much...
2048 And so, you can see here in this graph the amount of the

2049 concentration of nitrogen oxide, such as NO_2 or NO_3 as a function
2050 of the absorbed gamma dose. And what these preliminary findings
2051 indicate that generally we expect an increase in the
2052 concentration of these species with increasing dose. Also, a
2053 positive correlation with dose and the availability of water.
2054 So, this system here was run with 95% relative humidity in air,
2055 and the presence of surrogate aluminum coupons actually lowered
2056 the detectable concentration. So, those are the key findings
2057 here, and we hope that we can report more on that work in the
2058 future.

2059

2060 Also, we have a continuation of our modeling simulation work.
2061 The main idea is to help simulate the aluminum-clad spent fuel's
2062 dry storage pilot. You can see here a preliminary CFD model, so
2063 a thermal model, computational fluid dynamic model in the upper
2064 right corner. We need to refine our models. We want to have a
2065 good understanding of the gas phase composition and we also want
2066 to have an implementation of verified chemical models for gas-
2067 phase and surface-mediated radiolysis reactions. And we hope
2068 that we can extend the time period of these models. Here is the
2069 time history for 200 years of dry storage, but theoretically we
2070 believe that we can model even longer periods of time.

2071

2072 Throughout the last year or so we worked on complementing
2073 outstanding data from our mini-canister testing setup. So, that
2074 was performed at Savannah River. Bottom line is that we wanted
2075 to reach higher doses, up to 15 MegaGray. We wanted to complete
2076 various conditioning processes and test the impact of these
2077 conditioning processes on the yield of hydrogen. By the way,
2078 here is another graph of this mini-canister results again
2079 hydrogen as a function of the absorbed gamma dose. The mini-
2080 canister setup is shown here in the upper right corner. And now
2081 we are working on a comprehensive re-evaluation of the available
2082 data and all the models. And there were some questions on
2083 definition of G value that need to be addressed. So, again, all
2084 these visits have been informed by input from technical reviews.

2085

2086 Another effort that I would like to highlight here today is the
2087 remote canister monitoring system. So, we need to have the
2088 feasibility to monitor extended aluminum-clad spent fuel dry
2089 storage configuration during extended periods of time. This is
2090 needed to have a good understanding of the safety of the system
2091 itself. However, also for repackaging purposes, we also want to
2092 understand the conditions of the fuel before we repackage it.

2093 So, you can see here the canister lid system, which is one of
2094 the components of the remote canister monitoring system in the
2095 upper right corner. This system is called "canister lid system"
2096 because it's low closer to the canister lid. It includes control
2097 software and functionalities as well as radiation detection,
2098 pressure sensors, hydrogen concentration sensors, and so on. And
2099 then we also want to place these in canisters, mechanical
2100 assembly at various locations within the canister. This is to
2101 collect spatial data on temperature and relative humidity. So,
2102 this system is to be deployed in INL CPP-603 facility, which is
2103 again a vented dry storage facility. And near-term objectives
2104 are wireless transmission testing and the completion of final
2105 design.

2106

2107 Okay, again, the aluminum-clad spent fuel dry storage pilot
2108 would be discussed in detail by others today. However, since it
2109 is an integral part... Sorry, I tried to hurry up here, yes. So,
2110 that's an integral part of our program. So, I just want to
2111 highlight that we have this timeline here. We are moving through
2112 the planning and design phase. And then ultimately, we want to
2113 move to data collection. Just to summarize it, this will be a

2114 first of a kind data collection from sealed aluminum-clad spent
2115 fuel dry storage using actual aluminum-clad spent fuel.

2116

2117 Okay. I have two more slides left. The first one is just the
2118 impact of our current activities on a technical basis. So, we
2119 try to address independent technical review feedback. We also
2120 want to develop or continue to develop subject matter expertise
2121 in this space. We want to deepen our understanding of our one-of-
2122 a-kind chemistry models and apply that to a variety of dry
2123 storage configurations. We need to validate and verify our
2124 technical basis. We have the aluminum-clad spent fuel dry
2125 storage pilot, which again would be a one-of-a-kind sealed
2126 aluminum-clad spent fuel dry storage data collection. And
2127 ultimately, this will provide risk mitigation to DOE. Again, it
2128 will inform DOE facility and maintenance and decommissioning
2129 efforts for L-Basin, as well as H-Canyon, and CPP-603 of course.

2130

2131 And then before I hand it over to Gordon, I just want to
2132 summarize what I discussed today. So, DOE continues to manage 14
2133 metric tons of aluminum-clad spent fuel. There are sources of
2134 additional aluminum-clad spent fuel generation, such as Advanced
2135 Test Reactor, the High Flux Isotope Reactor or other domestic

2136 and foreign research reactors. And a technical basis is needed
2137 for extended dry storage of aluminum-clad spent nuclear fuel is
2138 needed to enable DOE to package and store aluminum-clad spent
2139 fuel for extended periods of time. And, again, our current
2140 activities focus really on validation and verification of this
2141 basis. And with that, I want to hand it over to Gordon. Gordon,
2142 it's all yours.

2143

2144 PETERSEN: I'm Gordon Petersen, Spent Fuel Analyst from Idaho
2145 National Laboratory and I'm going to be taking over from Elmar's
2146 talk and discuss some of the activities related to the neutron
2147 absorbers that DOE has been involved with over the past few
2148 years. Particularly, neutron absorber activities for DOE-EM
2149 managed spent nuclear fuel.

2150

2151 As has been iterated earlier in this meeting, DOE manages many
2152 different types of spent nuclear fuel. In evaluations conducted
2153 for Yucca Mountain, neutron absorbers were identified to be
2154 included in some configurations of DOE-managed spent nuclear
2155 fuel packaged in DOE standard canisters. Neutron absorbers, also
2156 known as neutron poisons, are materials that absorb neutrons.
2157 For the purpose of storage, transportation, and eventual

2158 disposal of spent nuclear fuel, neutron absorbers can reduce the
2159 reactivity coefficient.

2160

2161 For disposal, the ideal neutron absorber material should have a
2162 high thermal neutron absorber coefficient and be resistant to
2163 corrosion over long periods of time. For DOE-managed spent
2164 nuclear fuel, the National Spent Nuclear Fuel Program developed
2165 an alloy known as the advanced neutron absorber. The advanced
2166 neutron absorber is a nickel-based alloy system that uses
2167 nickel, chromium, molybdenum, and gadolinium. It was in part
2168 developed because initial corrosion tests showed poor corrosion
2169 results for borated stainless steel. Additionally, if there were
2170 corrosion of the neutron absorber, specifically for disposal and
2171 disposal environments, gadolinium was determined to be less
2172 soluble than boron. So, the American Society of Testing
2173 Materials accepted ANA as the ASTM standard and 2005 was
2174 approved by the American Society of Mechanical Engineers for
2175 ASME Division 3 applications. Next slide.

2176

2177 So, during the time when this material was being looked at and
2178 evaluated for disposal in Yucca Mountain, the superiority of the
2179 advanced neutron absorber was challenged. So, as I've previously

2180 mentioned, the borated stainless steel did not have exceptional
2181 results for corrosion resistance. However, other fabrication
2182 techniques were developed and they showed better corrosion
2183 performance in specific environments. In fact, the
2184 transportation aging and disposal canister, used as the canister
2185 for disposing of commercial spent nuclear fuel, used the borated
2186 stainless steel as its neutron absorbing material instead of the
2187 advanced neutron absorber.

2188

2189 In 2011, a study was conducted that determined that borated stainless
2190 steel was less corrosive than the advanced neutron absorbers in
2191 limited testing environments. In that study, it was inconclusive how
2192 well the advanced neutron absorber resisted corrosion, specifically
2193 the nickel gadolinium part of that material. Additionally, analyses
2194 have been conducted over the last few years that examined the ability
2195 of the advanced neutron absorber and borated stainless steel to reduce
2196 K-effective, and it was determined that the ability of ANA to control
2197 criticality did not exceed that of borated stainless steel. Next
2198 slide.

2199

2200 So, additional work has also been performed using borated stainless
2201 steel for DOE-managed spent nuclear fuel instead of the advanced
2202 neutron absorber, as was originally proposed for Yucca Mountain. Part

2203 of this work looked at using the borated stainless steel in different
2204 packaging configurations that were originally proposed for Yucca
2205 Mountain. You can see, over on the righthand side, is these... kind of
2206 the triangle picture shows an ATR4 bucket with Advanced Test Reactor
2207 elements inside. So, originally, for the disposal of Advanced Test
2208 Reactor elements, these were looked at to have put in a different
2209 basket. However, we've reevaluated this and looked at trying to use
2210 the ATR4 buckets, which are currently being used for storage and
2211 handling mechanisms in dry storage in Idaho in the CPP-603 facility.
2212 So, using these buckets increases the handling capability of ATR spent
2213 nuclear fuel and also reduces the number of DOE standard canisters
2214 because you can actually fit more ATR elements in a single package
2215 than you would with the original design using what's called the Type
2216 1A where you can fit 10 ATR elements in a DOE standard canister, an
2217 18-inch diameter DOE standard canister.

2218

2219 So, this work was looked at and a number of different configurations
2220 were examined. And it was determined that with the borated stainless
2221 steel and additional neutron absorber inserts, all scenarios had a K-
2222 effective of less than 0.93. There were additional analyses that have
2223 been conducted over the last two years on the susceptibility of the
2224 advanced neutron absorber to sea water corrosion. The results of these
2225 showed that the nickel gadolinium phase essentially was not as
2226 resistant to corrosion as originally thought. So, in the test around

2227 2011, it was inconclusive that there was a large resistance to
2228 corrosion for the ANA material. And in more recent tests, they have
2229 verified that there were corrosion spots, specifically with the nickel
2230 gadolinium phase of that material. So, part of the work looking
2231 forward is to isolate that ANA material using an advanced
2232 manufacturing technique and then surrounding that material with the
2233 nickel-chromium-molybdenum without the gadolinium, which is proven to
2234 have exceptional corrosion resistance. Next slide.

2235

2236 So, in summary, the DOE-EM spent nuclear fuel technology development
2237 program continues to perform technology development for the national
2238 spent nuclear fuel program. It addresses storing, transporting,
2239 processing, and disposing of DOE-owned and managed spent nuclear fuel.
2240 As Elmar talked about earlier in this presentation, the technical
2241 basis for extended dry storage of aluminum spent nuclear fuel was
2242 developed. This basis is needed to enable DOE to package and store
2243 aluminum spent nuclear fuel for extended periods of time. Currently,
2244 efforts focus on strengthening that technical basis, and we will have
2245 a talk later today looking at the aluminum spent nuclear fuel dry
2246 storage pilot, which will be a part of the V&V [verification &
2247 validation] efforts for aluminum-clad spent nuclear fuel.
2248 Additionally, DOE and DOE-EM spent nuclear fuel technology
2249 development program are continuing to work towards addressing

2250 the NWTRB recommendations, such as the research on advanced
2251 neutron absorber. With that, I believe that we are done.

2252

2253 SIU: Okay. Thanks a lot. We'll start with questions, Board
2254 members.

2255

2256 BALLINGER: This is Ron Ballinger from the Board. When I
2257 looked at the first half of your presentation, I was much
2258 heartened. Then I read the last half. And then my question is
2259 for Tasks 1 through 5, why? Based on the results so far, why do
2260 we need the additional work?

2261

2262 EIDELPES: Well, there are still some outstanding questions. I mean,
2263 specifically, let's take, for example, our basic radiolytic gas
2264 generation work. We still want to have a good understanding of the
2265 processes. These are highly complex processes. We have only current
2266 experimental data from surrogate materials mostly. So, moving forward,
2267 we also want to understand the impact of drying processes, in
2268 specific, on the generation of hydrogen. And then, of course, another
2269 important issue is the availability of oxygen for flammability. So,
2270 those are just the experimental work that needs to be addressed. So,
2271 there are open questions on that. And then in the modeling and
2272 simulation space, I think it is important for any safety basis for,

2273 let's say, a variety of different configurations, we need to be able
2274 to model these processes and that's a very complex process.

2275

2276 BALLINGER: I understand and I'm much in favor of understanding
2277 fundamentally what goes on here. But in the sailing business we have a
2278 term called "distance made good." And that is to say... what do those
2279 five tasks do to advance the engineering issues related to long-term
2280 dry storage? Does understanding the fundamental processes and
2281 generating hydrogen, does that add value to dry storage as a practical
2282 matter?

2283

2284 EIDELPES: I do believe so. Because, I mean, the main questions are
2285 flammability, pressurization, and corrosion. Those are the main
2286 technical questions and for that, I think, we need to have a profound
2287 and deep understanding of these processes.

2288

2289 PEDDICORD: Lee Peddicord from the Board. So, the metric for K-
2290 effective 0.93 that Dr. Petersen talked about, so that's a highly
2291 subcritical effect the further you get away from one, why the less
2292 meaningful the number is. So, interested in how that was picked. But
2293 even more so, you're talking about long-term storage. And are you
2294 tracking? You've got all these fission products, the fissile materials
2295 have long half-lives, so they're going to be around a long, long time.
2296 But as you add the various fission products to K way over long-term,

2297 are you tracking how K effective changes? Is it getting more
2298 subcritical? Is all this decay of fission products are bringing you
2299 back closer to criticality over a very long storage time?

2300

2301 EIDELPES: So, can I... Sorry, yeah, please go ahead, Gordon, because I
2302 just wanted to refer it to Gordon.

2303

2304 PETERSEN: So, to answer your question about the 0.93 number that was
2305 selected. That's a legacy number that was used for the evaluations for
2306 disposal of Yucca Mountain's spent nuclear fuel due to trying to bound
2307 the wide variety of different elements that we have. Additionally, to
2308 increase conservatism, what was done is they actually looked at
2309 specifically... for the Advanced Test Reactor looked at fresh fuel, and
2310 also they looked at trying to come up with a distribution that looked
2311 at the maximum beginning-of-life U235 fissile material, and then the
2312 maximum end-of-life plutonium material for some of the DOE-managed
2313 spent nuclear fuel, specifically I can cite what they did for Fort
2314 Saint Vrain and there may be some discussion on that later today in
2315 the packaging, in the road-ready dry storage packaging demonstration
2316 talk for that.

2317

2318 So, for ATR, 0.93 was selected because of some of the uncertainty is
2319 surrounding the fuel type itself, and we have not looked at how K
2320 effective would change over time because of the large conservatisms

2321 that we took initially, or at least that they took initially, the
2322 national spent nuclear fuel program, in determining that they're
2323 trying to find the most reactive configuration of ATR spent nuclear
2324 fuel and its life cycle. So, we believe that we are modeling the most
2325 reactive configuration so that we don't have to determine after kind
2326 of a time lapse approach of what sort of radioisotopes and how much
2327 fissile materials are in the package and in the elements and modeling
2328 that.

2329

2330 PEDDICORD: Yeah, I think that makes sense. You know, and I'm thinking,
2331 as we say, we're storing this stuff longer, longer, longer than we'd
2332 anticipated. So, I say, cesium decays away and stuff like that. But I
2333 agree that you have sufficient margin of subcriticality that I don't
2334 see that becoming an issue over a long time. I'd like to ask a
2335 question, if I may, to Mr. Rimando. Coming from a university, I think
2336 your participation in university, 68, 70 of them, is great. I had a
2337 question, more of an observation that since you're engaging these
2338 universities and lots of students, are you able to take a little
2339 broader approach in using them as a pool of individuals that you'll
2340 bring to your sites for summer internships? That we find at
2341 universities that if you get students coming to your various
2342 facilities and do summer internships, it greatly increases the
2343 probability that you're going to be able to make them part of the
2344 future workforce. So, I don't know if you've had a chance to look at

2345 this as kind of a broader, more holistic or integrated approach of how
2346 you are working with the universities.

2347

2348 RIMANDO: Yes, sir. Thank you for the question and the observations.
2349 Yes, internships is a large component of how we engage with our
2350 universities. It's just not internships. It's the whole context of
2351 experiential learning where they're able to take what they learned in
2352 a classroom and at the university lab and actually apply it or observe
2353 it in the field. So, for example, at Savannah River we have this
2354 construct called the "Field Station" where they're able to do so. They
2355 essentially get their feet wet, get their feet dirty, hands dirty. And
2356 not only do they engage in meaningful studies and activities, but at
2357 the same time, we're actually coordinating with our universities so
2358 that the time spent as they go through these activities, they actually
2359 earn college credit towards that. So, in many respects, you know, you
2360 go to college and get your one credit for a lab. The same approach.
2361 Instead of the lab on campus, it's a lab in the field. So, yeah, there
2362 are a number of different features, including post docs and graduate
2363 fellows that we engage with the students. And, again, it's twofold.
2364 One, so that the universities have the opportunity to contribute to
2365 the EM mission and help us solve the many problems and challenges that
2366 we have. But also, again from a workforce pipeline in looking at them
2367 in particular as like I mentioned, the next generation of our STEM

2368 professionals and leaders, they are a big part of the component of our
2369 university engagement. So, I appreciate the question.

2370

2371 PEDDICORD: And just an additional comment to that. Generally, we find
2372 that the earlier you can kind of engage and grab the attention of
2373 students, I'm talking as even undergraduates, sophomores, juniors,
2374 again, the greater the probability that they will become part of your
2375 workforce in the longer term. So, I think your approach sounds very
2376 good and well done.

2377

2378 SIU: Thank you. Thanks, Lee.

2379

2380 RIMANDO: I absolutely agree if I can comment. It's not just the
2381 undergraduate, but we have some of our universities that are actually
2382 reaching out to their local high schools. From Texas State University,
2383 for example, has partnered with Atkins High School and they developed
2384 a partnership there where the students themselves, high school seniors
2385 and juniors, are able to do what they call externships within the
2386 university. So, all that we can do to kind of pave that pathway and
2387 engage as much as our young people as we're able to. We certainly
2388 pursue that.

2389

2390 SIU: Okay, I think we have...

2391

2392 WOODS: Nathan, this is Brian Woods. If I could ask a question.
2393 Rod, you know, when you were listing your, I think, the budget and of
2394 course, just like most programs, there's a line item for crosscutting
2395 technologies. So, I was curious, I mean, are these crosscutting
2396 technologies that are really developed for the EM TD program or is
2397 there an effort to look outside of EM for different types of
2398 crosscutting technologies and their development, maybe through another
2399 DOE program or maybe outside of DOE or maybe industry. And if so, if
2400 you could just talk about that for a moment or two. Thank you.

2401

2402 RIMANDO: Thank you. Yeah, for the enabler, it is not necessarily
2403 limited. So, to the extent that we do have these opportunities for
2404 technology maturation, technologies transfer, we certainly pursue
2405 those. So, that does include, you know, those technologies to develop
2406 in-house, meaning within our national laboratories or even to the
2407 extent our contractors are doing so. We absolutely do incorporate
2408 that. Part of our mission also is to make sure that we collaborate
2409 much greater with our other program offices. For example, Paul
2410 mentioned the greater collaboration that we're pursuing with the
2411 Office of Nuclear Energy. Likewise, with [Office of] Science, ARPA E
2412 as well as in an NNSA [National Nuclear Safety Administration] because
2413 even within those different program offices there are applications or
2414 technologies that are applicable to the EM problem set. And to the
2415 extent that we're able to partner and leverage the transfer or even

2416 the sharing of information, we will certainly do so. And I mentioned
2417 COTS and GOTS, absolutely. We do we need to "reinvent the wheel." If
2418 there's a solution that's already commercially available, then we will
2419 do what we can to insert that. But of course, the challenges are for
2420 us is to make sure that in doing so, 1) that the technology operates
2421 as intended, 2) that it doesn't bring or introduce new risks or
2422 hazards so that we can demonstrate that it operates safely. And if it
2423 fails, that it fails safely too. And then the other component is that,
2424 you know, from a waste management perspective, we want to make sure
2425 that by introducing these technologies we ourselves don't generate
2426 orphan waste, or in other words, waste for which we have no disposal
2427 pathway. So, there's a lot that we do from the demonstration phase to
2428 include the whole gamut to the extent that we can do so of available
2429 technologies and emerging technologies.

2430

2431 SIU: Bret.

2432

2433 BECKER: Yes. Dr. Steven Becker for the Board has a question for
2434 Rod. This team presentation covered a lot of very interesting and
2435 important technical work. Do you have opportunities to communicate
2436 about this work to the general public? What have you learned from
2437 these communication efforts?

2438

2439 RIMANDO: I'm sorry. Is that a question directed to me, sir?

2440 LESLIE: Yes, it was.

2441

2442 RIMANDO: Oh, okay, thank you. Yeah, so, of course we want to spread
2443 the good news. All right? So, of course we have our normal communique
2444 within EM and within the department. Our national laboratories
2445 advocate on their technology highlights and how they engage with the
2446 department. Certainly, our universities, there we encourage them to
2447 even highlight not only the contributions, again, that they're making
2448 to the EM mission, but how they're going about curriculum and
2449 development and preparing themselves to enter into the workforce. So,
2450 there's a number of different avenues that we take to really advertise
2451 and even market what we're doing. Of course, we participate on a
2452 number of campuses and symposia and engage with the broader community
2453 a practice to include many of our professional societies. [SOUND
2454 FREEZES AT ABOUT 02:52:11.]

2455

2456 SIU: Looks like we lost the audio... I'll take chairman's prerogative
2457 even though we're just a tad over. I'll ask Elmar a question. Let me
2458 follow up on Ron's question. In one of your early slides, you
2459 indicated that your program was being driven by input from multiple
2460 organizations, including us, which is of course is fine. Do you have
2461 any metrics or specific factors that you consider when identifying
2462 topics that need to be addressed and the priority of addressing those
2463 topics?

2464

2465 EIDELPES: Should I?

2466

2467 SIU: Either.

2468

2469 EIDELPES: Rod, I think you were lost and then we moved onto a
2470 different question. Okay. I will just address my question and we can
2471 complete Rod's. Well, first of all, I mean, our project objectives are
2472 to support DOE in their spent fuel management activities. So, that's
2473 kind of an overall first evaluation process. Now, in terms of
2474 priorities of these individual activities, I would say since we're
2475 moving into this validation and verification phase, again, I also want
2476 to make it clear we are very confident in our technical basis just to
2477 clarify that from what I answered before that. And our current
2478 activities are really focused on the validation and verification
2479 processes. Now, we receive input from technical reviewers. We respond
2480 to them. Partially, we believe they make sense. Now, do we have a
2481 quantitative rating of priorities? I don't know, like risk register or
2482 something like that as it was discussed today. I mean, our program is
2483 relatively small, I would say. So, overall, I mean, our next goal is
2484 really to demonstrate aluminum-clad spent fuel transfer using the
2485 pilot. So, this is another criterion or another topic that we use when
2486 we rate the importance of our activities to enable this pilot. And
2487 this is the next step to validation and verification. And then, of

2488 course, we need to see what happens in terms of deployment. So,
2489 there's also, of course, the more, I would say, political side of
2490 things with the Idaho Settlement Agreement and so on, which is also,
2491 of course, on high level impacts our research work as well.

2492

2493 SIU: I will open in case the staff has any burning questions.

2494

2495 LESLIE: Just one that could be answered later. Given what you know
2496 about your technology development program, what is the TRL level? And
2497 so, we can come back to that this afternoon.

2498

2499 EIDELPES: Thank you very much. I mean, the TRL level, I also want to
2500 say, is probably a little bit subjective. So, yeah, we can have a
2501 conversation on that depending on how we define the level specifically
2502 for this application. So, it's application dependent. But I'm happy to
2503 have a conversation with you.

2504

2505 SIU: Okay, thank you very much. Our next presentation by James
2506 Therrell. And, by the way, we've taken a couple of your minutes. Feel
2507 free to take them back.

2508

2509 THERRELL: I'm James Therrell. I'm the Mission Planning Manager for
2510 Savannah River Nuclear Solutions Environmental Management Operations.
2511 I think I met most of you all yesterday during the tour. I don't know

2512 about you all, but I was pretty wore out. You guys went to a lot of
2513 spaces, a lot of them were hot. I did enjoy tagging along with you
2514 all. One thing that I hope you all got in addition to seeing the
2515 facilities, which I know the facilities were appreciative of your
2516 interest in them, was the amount of integration that's required in
2517 order to implement these programs. So, especially the ABD program. So,
2518 the integration between L-Basin, K-Area, H-Canyon, and DWPF [Defense
2519 Waste Processing Facility], SWPF [Salt Waste Processing Facility],
2520 tank farms, integration among the contractors across the site,
2521 integration with our customers both locally and at headquarters and
2522 also integration with our national labs both SRNL and Sandia when we
2523 talk about higher glass fissile loadings.

2524

2525 I'm not going to go into a lot of the background of ABD and how we got
2526 to ABD. You all have heard that a couple of times now. Jomaries
2527 mentioned it. Nick mentioned it on our tour yesterday. But I want to
2528 talk more about the implementation of ABD and how we've implemented
2529 it. Next.

2530

2531 So, the purpose of this really is in alignment with your LOI's. So, a
2532 synopsis... you asked for a synopsis of the ABD program. We'll go
2533 through that. Again, more of the implementation side. Major
2534 constraints on L-Basin through H-Canyon. The fuel coming from L-Basin
2535 going through H-Canyon. The groups of spent nuclear fuel that we've

2536 identified and the projections for those fuels going through be
2537 disposition. How we integrate with liquid waste and how we meet their
2538 WAC [Waste Acceptance Criteria]. How will the addition of the spent
2539 nuclear fuel process through the project impact the expected number of
2540 glass canisters? And then what are the groups of spent nuclear fuel
2541 that are not expected to be processed during the project?

2542

2543 So, just an overview of the ABD flowsheet. Again, talk about the
2544 integration. K-Area, we receive a minor amount, smaller amount of fuel
2545 from K-Area, but there are specific attributes to that fuel requiring
2546 it come from K-Area, i.e., it's more plutonium-based, HEU [highly
2547 enriched spent nuclear fuel]-based materials, not necessarily spent
2548 fuel or irradiated fuel stored in drums. We get that by truck. L-Basin
2549 we have aluminum spent nuclear fuel. We have non-aluminum-clad spent
2550 nuclear fuel and we have other fuels that are current in L-Basin. We
2551 saw those yesterday. I know they all look the same when they're
2552 underwater for the most part except for the HFIR. But they are varied.
2553 What was all contained in those bundles. And we continue to receive
2554 foreign research reactor fuel and domestic research reactor fuels and
2555 that impacts how our planning case is formed. And we receive all that
2556 fuel by railcar from L-Basin to H-Canyon.

2557

2558 Once we process it through H-Canyon, we support formation of what the
2559 tank farm calls a "sludge batch." So, they form sludge in batches,

2560 qualify to a specific recipe for that batch. We send that material
2561 after we dissolve it in H-Canyon that fuel to Tank 51, or in the
2562 future we'll have a ... another sludge preparation tank, Tank 42.
2563 And when that material gets sent down to tank farm, they will do
2564 ... integrate it in within their existing tank farm flow sheets,
2565 and eventually make it over to SWPF or DWPF. The ... our major
2566 contribution to that will go to the DWPF glass process. So
2567 ultimately, the fuel comes from K or L and gets output as glass.
2568

2569 So, when we were reconfiguring the canyon to support ABD, we had
2570 to take a look at all of the equipment that was used for the
2571 solvent extraction process. So, if you remember, if you recall,
2572 we talked about ABD being no recovery of uranium. So, we're no
2573 longer needing to use the solvent extraction equipment, and
2574 there's a lot of associated vessels that were a part of that
2575 solvent extraction unit operation that we could repurpose for
2576 storage. We knew storage was going to be a major constraint for
2577 the ABD Program because those sludge batches aren't continual.
2578 We only have windows in order to be able to discard that
2579 material in those sludge batches. So, we knew volume and storage
2580 of the solution, the dissolved solution, was going to be very
2581 important to us. So, we repurposed as many vessels as we could

2582 as part of that pivot from recovering uranium. So, if you look
2583 on the far left, we have three dissolvers over ... we ... each is
2584 kind of a little different in that the types of fuels that it
2585 will take. You notice that the 6.3 and the 6.1 dissolver, only
2586 one of those can run at any given time. So that's one of the
2587 constraints that has to do with our off-gas limitations. But
2588 that's not impactful to us. We're still doing chemical
2589 dissolutions in that ... called the 6.4 dissolver, which can do
2590 HFIR and MTR. And then we have the 6.3 electrolytic dissolver or
2591 the 6.1 chemical dissolver that we can run. We're currently
2592 configured to run the 6.3 electrolytic dissolver for the FCA
2593 mission, which we'll talk about in a second.

2594

2595 But we established basically two processing lines, one for
2596 aluminum and one for the non-aluminum clad materials. So we have
2597 kind of where it says storage tanks. That's a multiple array of
2598 storage tanks that we've repurposed for storage. And then we ...
2599 as it moves through the facility, we'll take that dissolved
2600 solution and neutralize it. As we mentioned yesterday in our
2601 tour, the electrolytic dissolver uses both nitric acid and
2602 electricity to break down the non-aluminum clad fuel so that we
2603 can get to the fuel meat and dissolve the fuel meat. The other

2604 two dissolvers just use nitric ... heated nitric acid and mercury
2605 to catalyze the process. Once it moves through the
2606 accountability tank, the adjustments tank, we do have poisons
2607 that we add. We add depleted uranium to lower the enrichment to
2608 meet the tank farm criteria. And then we also have gadolinium
2609 poison, which also meets the tank farm criteria or another
2610 facility within the tank ... within the liquid waste system. Once
2611 it moves through our storage array, then we have, like I said,
2612 the neutralization tanks where we add caustic and drop out the
2613 radionuclides or the long-lived radionuclides, plutonium,
2614 uranium, into sludge and transfer that to tank farm.

2615

2616 So, I mentioned the integration among the facilities. This is at
2617 the facility level and actually is ... it involves two
2618 contractors. So it's ... this is part of my group's major job
2619 responsibilities is to integrate with DWPF or the liquid waste
2620 facility. And we start, we have the feed that's in L-Area that,
2621 you know, we have fuel meat, the types, the varying types of
2622 fuel meat, whether it be uranium or plutonium. There's all kinds
2623 of enrichment ...vary. There's other fuel meats, such as, I'm
2624 sorry, other major metals such as cladding. So like I mentioned,
2625 we had aluminum metal. We also have stainless steel, zirconium.

2626 There's Hastelloy, Haynes alloy. Those present a flow sheet
2627 challenge. And we also have integrity differences with regards
2628 to the failed fuel. And I know you all had asked a question
2629 about failed fuel yesterday. So, there's differences in burnup
2630 and cooling. We have requirements of how long fuel has to be
2631 fueled ... be cooled before we can receive it in H-Canyon. And
2632 then there's storage limits and cask handling ability. So we
2633 have to look at all those considerations when we're thinking
2634 about the feed coming from L or K. And that determines how much
2635 material we'll be able to receive in H-Canyon and at what the
2636 time frame is.

2637

2638 H-Canyon, there's a bunch of dissolution characteristics. We
2639 know our flow sheets are only compatible with existing proven
2640 flow sheets that we have developed either at the laboratory or
2641 through past historical operations. How many fuel bundles can we
2642 put in per batch? What's the chemicals that we need? What's the
2643 processing time? What's the batch volumes? And we also have,
2644 like I mentioned, one of our major risks. You guys have honed in
2645 on risks today. We know that storage in H-Canyon is one of our
2646 major risks. So we have limited storage and we have limited
2647 windows to discard that material. But we have to maintain that

2648 and manage that storage. Equipment availability, aging facility,
2649 over 70 years old. We will ... we need to continue to address
2650 obsolescence and the overall health of the facility to get
2651 through the mission.

2652

2653 And then between that second circle and the third circle really
2654 is that WAC. That's the ... where we hit. We have to maintain our
2655 Waste Acceptance Criteria requirements for the tank farm. It
2656 could be tank farm or DWPF requirements or SWPF requirements. It
2657 all gets rolled up into, here are the requirements that you need
2658 to meet H-Canyon in order to send us a discard of the sludge.

2659

2660 So as you can see, there's also a back loop over here because
2661 the tank farm, they've got a ... and DWPF, they've got the glass
2662 characteristics for waste quality, fissile loading limits,
2663 processing limits, canister storage limits, the big limit on
2664 when they have ... when they will be closed, 2037. And then they
2665 also have availability risks in addition like we do. So, that
2666 back loop really provides us if we see ... look at our feed and we
2667 know something's coming down in three, four years that we'll
2668 need to go address, the higher fissile loading was a good
2669 example of that. We knew we couldn't get through the ABD mission

2670 if we didn't increase the amount of fissile material that we
2671 could put into a canister. We started out, it was at 897 grams
2672 per cubic meter. We're now up to 2,500 grams per cubic meter,
2673 and we're working additional research in order to go beyond the
2674 2,500, and you'll see in future slides we're going to need that
2675 in order to execute ABD.

2676

2677 Poison was another one. We ... when we started out ABD, we were
2678 using a strategy that used manganese and iron as a poison, and
2679 we needed to pivot from that because we would be adding copious
2680 amounts of iron to our discards, and so we switched to a more
2681 effective poison, gadolinium. So we ... that back loop, we work
2682 with the tank farm and our national labs to figure out how to
2683 optimize the Waste Acceptance Criteria and change them when we
2684 can to implement ABD.

2685

2686 So, you asked about the nuclear material inventory. Like I said,
2687 when you look down in the basin underwater, they all look like
2688 the same can, but it's highly varied. We have aluminum-spent
2689 nuclear fuel. We have non-aluminum-clad spent nuclear fuel, and
2690 I'll talk a little bit more about that. You can see that's
2691 really one of the only groups that has a TBD beside it as far as

2692 the disposition on 4 and 5. We are working technologies to
2693 address that.

2694

2695 The FCA material, which is the Fast Critical Assembly mission,
2696 stainless steel-clad plutonium plates that we're going to
2697 process through our ... or have started processing through our
2698 electrolytic dissolver. We have a portion of the aluminum-clad
2699 spent nuclear fuel that have components in them, rollers and
2700 bearings that do not dissolve in the chemical flow sheet, so
2701 they'll drop to the bottom of the dissolver. That's a little bit
2702 of a development tech ... need to go and figure out how will we
2703 retrieve those items, or do we leave them in the dissolver, can
2704 you leave them in the dissolver, what's the volume of those
2705 pieces that will build up? That's a technology development
2706 effort for us.

2707

2708 Targets, you guys toured the Mark-18 production line yesterday.
2709 Most of those targets will be going to the A ... Mark-18A mission.
2710 However, we have a small portion of non-Mark-18 targets. This ...
2711 well, I'll talk a little bit about how we are doing our system
2712 plan. Part of the benefit of the system plan is we've designated
2713 those targets to go through the Canyon. Now there's discussion

2714 about should you save those to the end, where should you put
2715 them, because there could be potential value in those targets
2716 for isotope recovery.

2717

2718 Dry fuel, you saw the dry fuel storage area in L-Basin. You can
2719 see the disposition for most of those are through H-Canyon. We
2720 have a small number of those items that will go through the lab
2721 for disposition. And then there's a host of miscellaneous other
2722 materials. Skull oxides, U-233 material that we need to
2723 disposition. There's some hot ... oversized fuel items that don't
2724 ... won't fit into our current inserts in the Canyon. We need to
2725 consider how to get those inside the dissolvers. And we have
2726 some sources, standards, and samples that are various types and
2727 quantities. And it says TBD, but really those are kind of like a
2728 repurpose. You advertise those. Who else could use this source?
2729 Who else could use this standard? So we've done that across the
2730 complex. We'll continue to do that to see where we can move some
2731 of those. And we've already done some of that with Oak Ridge
2732 being kind of the first one.

2733

2734 So, I mentioned the non-aluminum material. So there's only 400
2735 bundles out of the roughly 3,300 bundles that we have to process

2736 through ABD. But I really want to focus on that because that's
2737 the bulk of the technology need. So, there's only 400 bundles,
2738 but I like this chart. I call it the jawbreaker chart because it
2739 really shows the varying nature of those 400 bundles. I wish
2740 they were all the same. They are not. This chart shows the two
2741 kind of impacts of processing those items, one being the risk to
2742 the H-Canyon flow sheet and the other being just the handling in
2743 L-Basin. So, if you look on the vertical line, that's the L-
2744 Basin risk of contamination. And at some point, you get to where
2745 you need some additional controls, i.e. isolation, in the
2746 Canyon. So you saw the emergency basin yesterday. That's where
2747 the emergency basin isolation would come into play. Anything
2748 above that line you'd need because it has failed fuel. It could
2749 potentially contaminate the basin. As you go to the left to the
2750 right on the H-Canyon flow sheet risk, you get to a point where
2751 we're processing materials that we haven't processed before in
2752 our system. So we know that there's potential scale-up issues
2753 that we need to address so we feel we need a pilot-scale
2754 dissolver in order to process anything from the left to right
2755 after that pilot scale line.
2756

2757 And then you get to a red line there, and that's actually
2758 potentially reactive in our dissolvers and not currently
2759 compatible with our dissolvers. And that's that TBD. Look, the ...
2760 okay. So the numbers there are the number of bundles. So ... and
2761 the size of the dot represents the number of bundles. It's just
2762 a visual, the magnitude of how many you have, the quantity
2763 basically. So if you look to the lower left and bottom, that's ...
2764 that's what we're calling campaign-1. That's the first campaign
2765 in non-aluminum that we are going to target. It's the ... it
2766 represents the lowest risk for both L-Basin and H-Canyon. We
2767 just did a press release in the EM Update. It said we've got our
2768 flow sheet for that material now. It was a major accomplishment
2769 over several years to develop that flow sheet. That material is
2770 going to go through the electrolytic dissolver. As you work up,
2771 obviously, up and to the right, we need additional technology.
2772 So our strategy with doing the non-aluminum overall program is
2773 to implement what we can while we're developing the long-lead
2774 technologies and feather those in to the implementation schedule
2775 as we get the technologies developed. So we're working
2776 technologies, the long-lead technologies for groups 4 and 5,
2777 that group over there on the upper right, while we're

2778 implementing the strategy to dissolve, disposition the lowest
2779 risk items.

2780

2781 So, I mentioned the System Plan. So we put together this past
2782 year the first issue of our system plan under the ABD Program.
2783 And I actually brought some hard copies for you guys. They're
2784 out here, so you can take that with you. But we needed a way to
2785 really maximize the remaining value of H-Canyon during its
2786 useful life. And so we wanted it to be well thought out, take a
2787 rigorous approach to ensuring that we're getting the most bang
2788 for what we have left out of the Canyon until both the Canyon,
2789 as well as the vitrification disposition flow path, i.e. while
2790 the tank farm is still open. So, we made a 10-year plan. We
2791 wanted to make sure it was executable. So, we also evaluated
2792 risks. We have section in for risks to well ... make sure we could
2793 well understand our risks, both from a processing standpoint and
2794 from a programmatic standpoint and from a technology standpoint.
2795 We looked at our hard and soft limits, worked with our customer
2796 to understand their desires for what they wanted us to process.
2797 We worked with the tank farm on what things would be best to
2798 sequence in and when. We integrated in with the tank farm's
2799 system plan. They have a ... we actually modeled a lot of our

2800 system plan after the liquid waste system plan and integrated
2801 with that plan. We grouped our inventory by dissolution
2802 characteristics. The ... that basically set the stage for the
2803 technology roadmaps because that was where you could ... what flow
2804 sheets did ... basically, what flow sheets did you need to go
2805 develop as part of that roadmap? We categorized the inventory
2806 groups by readiness to process. I think most importantly, when
2807 you think about the system plan, my job, my group's job, would
2808 be very easy if all we needed to do was maximize throughput
2809 because we have ... we're no ... we know, as you'll see later, we
2810 have some aluminum bundles that will be remaining at the end of
2811 the project, the mission. We could say just process as many
2812 aluminum bundles as possible. We know that's not the right
2813 answer because we need to balance both throughput and long-term
2814 risk or burden to the department, and that's what we worked
2815 really hard on. And so we developed a weighting strategy where
2816 we looked at special considerations with some of the fuel. We
2817 looked at what ... how hard will that fuel be to process post-
2818 Canyon. We considered that as a big factor, and then also we
2819 just looked at what is the ... from a storage standpoint, the
2820 long-term storage, decades to come, do you have any risks
2821 associated with it being underwater? We want it ... do we want

2822 some things to go to their final resting place more so than
2823 others? So we've developed that weighting system. You know, if
2824 we did ... if we put throughput as the number one priority, we
2825 would have a lot of items remaining at the end that would be the
2826 hardest items, and that's not right. And if we only focused on
2827 the hardest items, then we'd be waiting around for technology to
2828 be developed. So you'll see that balance as it's written up in
2829 the System Plan, and you'll see kind of how we reduced that
2830 burden through our baseline scenario that we landed on. We did a
2831 whole slew of scenarios, and we grade ... and we ranked those
2832 scenarios by various rankings to see how the burden reduced, how
2833 many bundles we got out, what technologies and funding we would
2834 need, and we analyzed those results and got concurrence from key
2835 stakeholders to establish a baseline scenario. And we pull this
2836 book out almost daily to reference it. It's been great to have
2837 as a reference.

2838

2839 So this is where we ended, and now this chart shows FY24 all the
2840 way through the end of when we're going to make our last discard
2841 to liquid waste, and you'll see the varying groups, whether it
2842 be HFIR, non-aluminum, targets, FCA. You see how those are all
2843 planned in there, and that's ... we had a mathematical model that

2844 told us when we should sequence those in based on our goals. You
2845 can see the line going from left to right down. You can see
2846 that's the reduction of the inventory. Now, this ... since we did
2847 this in September of last year, things have changed just a
2848 little bit, but for the most part, the dissolution targets, the
2849 inventory projections are all holding steady what ... to our
2850 predictions. The main thing that's changed is we're going to
2851 have to add a little DUO earlier in the process, where it's
2852 showing the depleted uranium additions in the FY28 timeframe. It
2853 looks like we're going to have to do that a lot earlier, but for
2854 the most part, everything in the trends are remaining the same.
2855 One key here is where it says storage volume limited, and you'll
2856 see that on our volume chart coming up, we transitioned ... after
2857 we get the second sludge batch storage tank, we transitioned
2858 from being storage volume limited in H-Canyon to a much more
2859 comfortable storage volume situation in the Canyon to where
2860 we're dissolution- and process-limited. So right now, we're not
2861 processing as fast as we can because we can't discard, but once
2862 we get that second sludge batch storage tank in place, we can
2863 then discard pretty much as fast as we can, make the material...
2864 within those windows. So in summary, we process over 70% of the

2865 spent nuclear fuel. We create storage space for 67 HFIR and
2866 2,680 bundles at the end of the program.

2867

2868 I mentioned the storage volume in H-Canyon. So the blue line up
2869 top is the limit for the aluminum processing line. The orange
2870 line ... horizontal line is the non-aluminum storage line, and you
2871 can see that transition from where we're storage volume limited
2872 to where we become process limited. On the non-aluminum side,
2873 it's a little more tricky because we are discarding plutonium in
2874 addition to uranium. So it's a little more complex of a story as
2875 to why that ... the discards happen the way they do.

2876

2877 So, in summary, the chart on the left shows our aluminum, our
2878 aluminum with non-aluminum components, our non-aluminum groups,
2879 all the different groups and how they ... whether they're ... the
2880 breakdown and then where they ultimately end up. So, 2,700 or so
2881 and ... go to liquid waste. Bundles will end up in liquid waste.
2882 We keep about a thousand bundles in L-Basin, and a small
2883 quantity, mostly the Mark-18A, will go to SRNL. If you look at
2884 the non-aluminum, the 395 bundles, you can see most ... we get
2885 most of the groups 1 through 3. So I didn't mention the groups.
2886 So SRNL over the last four years has done a great job in

2887 organizing the non-aluminum into higher level groups so that we
2888 can begin to attack that variety of bundles. Five major groups,
2889 and within those we have a lot of subgroups, but if you just
2890 think growing complexity going from group 1 through 5 being the
2891 harder, that's a general ... the general trend. There's failed
2892 fuel items among pretty much all the groups, but that's the ...
2893 that's where we'll end up. Most of the group 4 and 5 or all of
2894 group 4 and 5 right now, until we develop a new flow sheet, will
2895 be in L-Basin when we're done.

2896

2897 So, the breakdown, the more detailed breakdown, you can see the
2898 amount of nuclear fuel items that we leave. I already mentioned
2899 that. The total fissile, we reduce it from 4,100 to roughly
2900 1,000 kgs. We have ... this is the term that I talked about with
2901 the weighting approach that we did. We called it the long-term
2902 storage burden because it wasn't all storage risk. There's other
2903 factors with these fuel items that make them burdensome for us
2904 to hold onto. So we reduce it roughly 62% per our subjective
2905 grading system, and then our initial storage positions go from
2906 20 ... from ... our initial storage positions go from 768 to roughly
2907 27 ... roughly 2,750.

2908

2909 So, you guys asked about the number of canisters that ABD is
2910 going to incrementally add to this ... to DWPF. So you can see by
2911 sludge batch the orange increment there of what ABD adds to the
2912 canister count. I did get the total. So right now, there's
2913 roughly 8,100 planned canisters for the entire life cycle. Ours
2914 adds 268 total canisters if ... with our baseline scenario. If we
2915 got everything out of L-Basin, we'd add another 84 cans, but all
2916 of that 8,300 that are planned include all of the ABD canisters.
2917 So there's no ... basically the canisters that are currently
2918 planned in DWPF include all of the ABD canisters. And the glass
2919 waste storage buildings, 1 and 2, will hold roughly 9,200
2920 canisters. So, we're not creating another glass waste storage
2921 building as part of ABD. And we'd like ... as we mentioned
2922 yesterday, that would have been a non-compute.

2923

2924 Okay. So I mentioned we're going to have some material left over
2925 at the end of ABD. One of the things that we thought was ... just
2926 as important is this optimizing the ABD system in H-Canyon to
2927 maximize the amount of value we're getting and the amount of de-
2928 inventory we're getting in L-Basin and the amount of long-term
2929 storage burden we're getting in L-Basin was to inform
2930 stakeholders about the next step. What do we have left over?

2931 Kind of put some context behind that. And so as the policymakers
2932 were considering, do we do a next generation canyon? Do we
2933 develop a melt and dilute approach to handling fuel? Do we dry
2934 fuel? Whatever that next approach is going to be post-Canyon,
2935 here's somewhat of the context of what we will have left and how
2936 that might in ... play into that decision. So SRNL helped us look
2937 at whether the ... kind of the impact of ... from a dry store
2938 capability. You can see the blue, the aluminum spent nuclear
2939 fuel. It's not complex, but it will be costly in order to do a
2940 dry storage capability at Savannah River. The orange there is
2941 the metallic group 4 and 5 non-aluminum spent nuclear fuel.
2942 That's going to be highly complex and very costly in order to
2943 dry those materials. So you think about some of that material
2944 being reactive through the drying process, we'll have to go
2945 figure that out with some technology.

2946

2947 So material exchange, there had been the potential and had been
2948 discussed in the past to exchange some material with Idaho. If
2949 we did that, obviously not ... the aluminum wasn't the ... what was
2950 being considered. So, that's a little misleading because we
2951 wouldn't be transferring aluminum fuel there, but that would be
2952 highly complex and very costly if we were to do that. But there

2953 are some nuggets of material in there that are just moderately
2954 complex. And then, again, that metallic non-aluminum group 4 and
2955 5 material would be very complex and costly to do that material
2956 exchange. We believe there are some nuggets in there, some
2957 candidates that would be applicable to that approach.

2958

2959 The next generation canyon, it looks a lot better. There's not a
2960 lot of orange there because you really are going to build a
2961 canyon to what you need to process your feed. So that would be
2962 kind of the scope would be, hey, process this material.

2963

2964 So in summary, we expedite the processing of spent nuclear fuel,
2965 and we are highly coupled with the liquid waste flow sheet. We
2966 utilized the processing limits. We considered availability, and
2967 we've achieved a reduction of 70% of the spent nuclear fuel,
2968 which is more than what we would have done if we were trying to
2969 recover the uranium, much more. We're going to establish
2970 disposition of the remaining spent nuclear fuel that would be
2971 remaining. So two flow sheets that we're looking at with regard
2972 to those TBD items, that group 4 and 5 metallic non-aluminum
2973 that's so troublesome. Melt dilute, we're going to start looking
2974 at some of that as it relates, put it in the context of those

2975 fuel items next year. And then also the lab is working on a new
2976 chemical flow sheet called Alniflex that has the potential to
2977 chemically dissolve through ... it's a fluoridic flow sheet, but
2978 it has the potential to chemically dissolve those items versus
2979 running it through the electrolytic, which we know they're not
2980 compatible with the electrolytic. So with that, I'm done. Thank
2981 you.

2982

2983 SIU: Let's start with questions from the Board.

2984

2985 PEDDICORD: Lee Peddicord from the Board. So a couple of things
2986 along the way here. So the overall bound, if I understand
2987 correctly, is availability of H-Canyon.

2988

2989 THERRELL: The overall bound is the closure date for liquid
2990 waste. We can only process until ...

2991

2992 PEDDICORD: Okay. And that is 2034 budget?

2993

2994 THERRELL: 2034 is when we can make our last discard.

2995

2996 PEDDICORD: Okay.

2997

2998 THERRELL: The Liquid Waste Mission goes out to 2037, but we're
2999 constrained to 2034.

3000

3001 PEDDICORD: Then probably in these things, the devil is in the
3002 details. Those are the ones you have well-characterized, you
3003 know how to fold in, will go well. It's some of these kind of
3004 outliers that you're tracking, and particularly in your
3005 technology development.

3006

3007 THERRELL: Yes.

3008

3009 PEDDICORD: So just to help me understand a bit better, you
3010 talked about the ones where you're going to need some depleted
3011 uranium. Is ... are those materials all available all here at
3012 Savannah River? Do you have to go get some someplace or ...

3013

3014 THERRELL: Is the depleted uranium here?

3015

3016 PEDDICORD: Yeah.

3017

3018 THERRELL: Actually, we had an inventory of depleted uranium that
3019 we used for our initial discards. We started discarding in March
3020 of 2023 with what they call Sludge Batch 11. We used those
3021 materials up, and we're currently going through an RFP for
3022 additional DUO.

3023

3024 PEDDICORD: Okay. Then on the non-aluminum spent fuel, is that
3025 all in the L-Area now, or where is that residing?

3026

3027 THERRELL: It's all in the L-Area. We don't receive any ...
3028 currently don't receive any new non-aluminum spent nuclear fuel.
3029 That material's been there for a while. It's all legacy material
3030 from previous test reactors.

3031

3032 PEDDICORD: Then I think it was slide 12 where you were showing
3033 this limit at DWPF of, what is it, 350 canisters that you're
3034 going to slightly exceed. Is the 350 kind of an arbitrary
3035 number?

3036

3037 THERRELL: Okay. So yeah, maybe I should have explained this
3038 chart a little bit. That's ... that secondary axis is for the bar
3039 chart, and the red line and the green line there are for the

3040 primary axes. The red line is referring to the 3,500 gram per
3041 cubic meter, and the green line is the fissile loading limit
3042 against that red line.

3043

3044 PEDDICORD: Okay.

3045

3046 THERRELL: So, there really is no canister limit. So, yeah.

3047

3048 PEDDICORD: Okay, got it.

3049

3050 THERRELL: It's a little misleading. I should have explained
3051 that.

3052

3053 PEDDICORD: And then I guess the next slide, 13, your future
3054 recipients' receipts of MTR fuel, 161, where are those coming
3055 from?

3056

3057 THERRELL: So, we have agreements for it to continue to receive
3058 domestic research reactor fuel and foreign research reactor
3059 fuel. We're going to ...

3060

3061 PEDDICORD: So, this is old stuff then, too, I assume.

3062

3063 THERRELL: Is it old stuff?

3064

3065 PEDDICORD: Yeah, in terms of when it was, you know, when it
3066 operated, particularly the foreign return fuel.

3067

3068 THERRELL: Well, domestic research reactor fuel is an ongoing
3069 program, so we just need to let that fuel cool long enough
3070 before we can receive it. The foreign research reactor fuels, if
3071 you want to speak to that, Kiran.(inaud.)

3072

3073 KARANTH: Hello, my name is Kiran Karanth, and I'm the fuel
3074 receipts program manager. So for the domestic reactors, they are
3075 producing these fuels as we speak. So the spent fuel is being
3076 produced. For the foreign, some fuel has been already (inaud.).
3077 So those we are receiving as part of the plan, but there are
3078 some still being operated.

3079

3080 PEDDICORD: Really? I didn't know that. Okay. Thank you.

3081

3082 WOODS: Mr. Chairman, this is ... I have a question. This is Brian
3083 Woods from the Board. James, I have a ... I do have a question

3084 about the H-Canyon dissolution targets, and also your ... you
3085 discussed about having different scenarios as well that you
3086 developed, you know, looking at processing the different groups.
3087 Is there any ... are there any kind of assumptions embedded in
3088 these scenarios or in this dissolution target graph about
3089 technology development, or do you just assume that the
3090 technology we have in place is ... will get us here, or are there
3091 some assumptions, hey, we'll have a certain technology developed
3092 at a certain date, and if so, I'm just kind of curious how those
3093 will get kind of quantified by your model.

3094

3095 THERRELL: Yeah, so we have a roadmap contained in our system
3096 plan. I can ... We can get you this electronically. You know, we
3097 have hard copies for the Board, but in that system plan, there
3098 are ... there is a detailed roadmap that shows where those
3099 technologies feather in, and we ... so that is informed by where
3100 it's needed in the model, where they need to be ... where those
3101 groups need to be run. The bulk of the technology is flow
3102 sheets. Most of the aluminum flow sheet work ... aluminum-clad
3103 flow sheet works are tweaks to existing flow sheets to go
3104 validate those parameters and assumptions within the process
3105 holds true. The non-aluminum is, again, the harder of the

3106 technology development piece, and we have a strategy for
3107 developing all of those items, and the 4 and 5, again, aren't in
3108 the current baseline, but ... and we have plans to develop the
3109 groups 2 and 3. We actually just kicked off the flow sheet work
3110 for category ... or group 2, campaign 2, this year, so we're going
3111 to look ... we actually have ... because within the groups there are
3112 so many categories, and subgroups, we've actually had to break
3113 it down to campaigns, so we actually have about eight campaigns
3114 that we're going to work through as part of handling groups 1
3115 through 3, but those ... all of those technology development
3116 efforts are planned.

3117

3118 WOODS: Okay. Thank you.

3119

3120 SIU: Nathan Siu, Board. Yeah, you've got the slide right there.
3121 When do you anticipate making the decision as to how you're
3122 going to address these remaining materials? I mean, you have
3123 alternatives right now that you're looking at.

3124

3125 THERRELL: Somebody got ... this would be.

3126

3127 BUNYAN: I'm Mike Bunyan, the site manager down at the Savannah
3128 River. You said the decisions on whether we do dry storage or
3129 material exchange, or the ... is that the one decision you're
3130 talking about?

3131

3132 SIU: Yeah. As I understand, there are alternatives for dealing
3133 with the remaining materials, and you're thinking about
3134 different ways, whether this is the right set of pie charts or
3135 not, I don't know, but at what point would ...

3136

3137 BUNYAN: Those are the options they're looking at, but the
3138 decision on which way we go is actually above all our pay grades
3139 in this room. It's a department-wide ... it's not an EM decision,
3140 it's a department-wide decision, because the material comes from
3141 all these different organizations. We have the H-Canyon, we're
3142 operators, so we're operating it the best we can with what we
3143 have, but there's a whole other group at headquarters that's
3144 looking to try to figure out what happens at 2034 when we can't
3145 operate the canyon anymore, what is the next ... and so that's
3146 probably why we created ABD, is to get the volume at L-Basin low
3147 enough to get us time to make the decision and get something in
3148 place for a follow-on. Because we'll have L-Basin inventory way

3149 down, we can continue to receive for many years material while
3150 we sort out the follow-on environment. So, I can't give you a
3151 timeframe on that decision at this point.

3152

3153 SIU: Well, okay, not when it's going to be made, but when would
3154 it be brought forth to the higher-level decision makers, or is
3155 it already being considered now as just in process?

3156

3157 BUNYAN: Yeah, Jomaries was ... has been involved in that up at
3158 headquarters.

3159

3160 SIU: Thank you.

3161

3162 ROVIRA: I'm Jomaries Rovira again. So there has been efforts
3163 involving multiple DOE programs that have spent fuel in their
3164 portfolio and other nuclear materials, so we've been working
3165 with them. There has been proposals presented to senior
3166 management. However, they're not meeting the expectations, so
3167 we're now trying to look back and see what are the things that
3168 we can start working on, and one of the things that I listed on
3169 my presentation was the small modular nuclear material
3170 processing capability. So, under the scope of that effort that

3171 we're starting to initiate, and when I say starting to initiate,
3172 it's just putting some words on a paper and just brainstorming
3173 on what those options could be. The next goal will be to present
3174 this to senior management and see if this is meeting their
3175 criteria, and then moving forward we're going to know when and
3176 how and what we're going to be doing, but at this point we're
3177 just still trying to figure out what is that capability that
3178 we're going to need in the future that meets everybody's
3179 criteria.

3180

3181 SIU: Okay, thank you. We're just fact-finding.

3182

3183 THERRELL: So is ... so our part in that is we're intimate with
3184 this knowledge of this material. We want to inform the
3185 stakeholders and decision makers on what that material ... what
3186 potential options are out there, so we have ideas that we want
3187 to investigate and develop to provide a whole suite of options
3188 when the time comes to make that decision. So that was the main
3189 point of this slide and part of why we included it in the system
3190 plan.

3191

3192 OGG: Hi, this is Dan Ogg with the NWTRB staff. James, thank you
3193 for the presentation. Great detail there, and thanks again for
3194 the tours yesterday. We appreciated that. On slide 12, just
3195 wanted to go back to your discussion on the fissile loading
3196 limit, on this graph here, you show the limit at 3,500 grams per
3197 cubic meters. Is that limit in place now, or is that something
3198 you're still working on? What's the limit now? And when do you
3199 expect a new limit to be in place?

3200

3201 THERRELL: Yeah, our current limit is 2,500, and there ... Sandia
3202 is currently evaluating increasing that to a number beyond the
3203 2,500. So that ... we need it for the next sludge batch, and our
3204 schedule currently shows us getting that. Right now, there have
3205 been ... the feedback that we're working with our national lab,
3206 the feedback we've been getting at the working level is that no
3207 major roadblocks. It looks like the repository evaluation and
3208 everything is going to support going to a higher number.

3209

3210 OGG: Just roughly, what's the time frame for Sludge Batch 12?

3211

3212 THERRELL: Sludge Batch 12 is currently ... I've got it.

3213

3214 OGG: I'm just trying to figure out, is this six weeks, six
3215 months, six years?

3216

3217 THERRELL: Yeah, no, no. It's ... We're in the ... Oh, goodness. One
3218 second. I anticipated these questions. So, March 2026 would be
3219 our first discard to Sludge Batch 12, and our schedule shows us
3220 meeting that before in the 2025 time frame.

3221

3222 OGG: Okay, great. Thank you.

3223

3224 THERRELL: Yes.

3225

3226 SIU: Any other questions? Okay. Thank you very much. With that,
3227 we're on schedule. So, we'll break for lunch, and we'll
3228 reconvene at 1:00. Thank you.

3229

3230 [BREAK]

3231

3232 SIU: Okay. I think we're ready to start. Kiran Karanth. I
3233 hopefully got it right.

3234

3235 KARANTH: Yes. Good afternoon, everybody. My name is Kiran
3236 Karanth, and I am the fuel receipts program manager at L-Area,
3237 and I also support James and his team in H-Canyon planning ABD
3238 from L-Area perspective. So, let's get into the L-Area overview.

3239

3240 L-Area is one of the only two operating facilities in the nation
3241 which can receive spent nuclear fuel from research reactors. So,
3242 our core mission is threefold. One is off-site fuel receipt,
3243 which is from both domestic and foreign research reactors. The
3244 second one is safe storage. And the third one is transfer to H-
3245 Canyon for processing. It's a transfer to H-Canyon for
3246 processing, but as this ABD realm is becoming ... we're getting
3247 into the ABD realm, we're also looking at, like James talked
3248 about, transfer of Mark-18A targets to SRNL for isotope recovery
3249 program, as well as we are currently working on projects where
3250 we can transfer two of the dry stored INL drums for SRNL for
3251 processing. Okay.

3252

3253 So we'll get additional details in it. So as far as safe storage
3254 is concerned, a brief overview of the L-Area material storage
3255 facility. Some of you toured this yesterday, and it is a large
3256 swimming pool, 3.4 million gallon basin, with depths varying

3257 from 17 feet to 30 feet. These are all interconnected basin, and
3258 we call it as disassembly basin, but there are machine basin,
3259 VTS basin, emergency basin, dry cave basin, and many more,
3260 transfer bay basins. So these are all interconnected.

3261

3262 So we have the capability to handle a variety of fuel sizes,
3263 like HFIR being the largest and we do MTRs and sort of various
3264 sizes, enrichments, and fuel conditions. The ... we also have a
3265 limited dry storage capability where we store dry fuel, and the
3266 access for rail as well as trailer inside the facility, which
3267 enables us to bring the casks containing fuel packages, the cask
3268 packages, either by rail car in case of the ... some of the
3269 foreign receipts we are receiving from Japan. They come from
3270 Joint Base Charleston on rail car into SRS, and our transfer of
3271 these cask cars, the 70-ton cask to H-Canyon is also by rail.
3272 And many other packages for domestic receipts, like NAC-LWT or
3273 G2000, and BRR, they all come in trailers. And the Mark-18A
3274 cask, which we will be starting transfer of Mark-18A targets,
3275 will happen through the trailer as well.

3276

3277 So a brief snapshot of the inventory of L-Basin. James kind of
3278 covered that a little bit, but aluminum clad, if you look at the

3279 total number of containers, it's approximately 3,000. The fuel
3280 assemblies is about 13,000. In terms of metric tons of heavy
3281 metal, anticipated projected for the ABD baseline is 9.2 metric
3282 ton. Most of it is already here, and some of it is projected to
3283 be received. So we will ... we'll cover that a little bit about
3284 the receipts. And the dissolution pathway for this is chemical
3285 dissolution for aluminum clad. Mostly we don't need any
3286 additional handling for the aluminum clad fuel.

3287

3288 Whereas non-aluminum clad, we currently have about 395, that's
3289 400 ... less than 400 containers, constitutes to about 2,000 fuel
3290 assemblies. But it is 20 metric tons of heavy metal. The pathway
3291 is dissolution through electrolytic dissolver, and some of them
3292 require repackaging. So in essence, storage capability right ...
3293 capacity right now is about 84% for MTR, and then about 56% for
3294 HFIR. So, when we started the ABD a couple of years ago, we were
3295 at 90-plus percent full on HFIR. Since the years past, this has
3296 come down because of accelerated processing of HFIR fuel in H-
3297 Canyon.

3298

3299 So I also want to briefly touch base on the heavy water stored.
3300 These are from the production reactors which ran at SRS. They're

3301 stored in stainless steel drums. And some of you took ... you saw
3302 a sample of that in the process room in L-Area. You see the
3303 picture of the dry stored fuel. You saw the building where these
3304 drums are housed. But the inside picture shows, you can see how
3305 the drums are stored. The next slide talks about a brief
3306 overview of the inventory.

3307

3308 I just want to cover a couple of items here. The slug vault is a
3309 dry store facility where 16 positions are 100%, and the dry fuel
3310 storage area, which you saw yesterday, is 23. It's inside the
3311 disassembly basin, which is 100% full. And there are some cats
3312 and dogs. At the bottom, you see the dry cave and VTS area.
3313 That's the 3,650 storage positions for the bundles, and the HFIR
3314 core where you see is about 120 storage positions. So with that
3315 said, I'll invite Ms. Alexis to talk about basin chemistry and
3316 microbial growth.

3317

3318 SCHUCHMANN: As Kiran said, my name is Alexis Schuchmann. I am
3319 part of the Spent Fuel Project process engineering group as the
3320 basin water chemistry engineer. I'm going to talk a little bit
3321 about some of the programs we use to ensure safe storage in the
3322 basin. So the L-Area facility has a technical safety

3323 requirements administrative program that is established ... it was
3324 established based on the maturity of the program. It's about a
3325 30-year program, so the history of the program allows us to
3326 create this sampling schedule.

3327

3328 So this is part of the corrosion effort of the basin. So as part
3329 of that effort, we also monitor for metal concentration in the
3330 water, which would be an indicator for the fuel racks, because
3331 one of those is an aluminum, which is what the majority of your
3332 fuel racks are composed of. This will also include a microbial
3333 analysis, which is done in basin water on a biannual basis. And
3334 then we ... so we do have some microbial growth in the basin. The
3335 primary area that we've seen it is on top of the fuel racks. It
3336 is vacuumed periodically, determined on an as-needed basis, and
3337 so we do do periodic sampling of that when needed.

3338

3339 Through the Corrosion Monitoring Program, there is corrosion
3340 coupons. I believe I talked about that a little bit earlier. So,
3341 we do have some corrosion coupons that are made of aluminum and
3342 stainless steel to help ... to allow us to monitor the potential
3343 corrosion in the basin. We use these corrosion coupons. They are
3344 sent to SRNL periodically to determine microbial activity, and

3345 through the corrosion monitoring with the coupons and the
3346 sampling, we have shown that corrosion is kept to a minimum in
3347 the basin. So, I'm going to turn it over to Kiran to talk a
3348 little bit about how we ... more of that corrosion monitoring.

3349

3350 KARANTH: So the AMCAP, you may have heard of this term as part
3351 of corrosion monitoring, the AMCAP is ... the acronym stands for
3352 Augmented Monitoring and Condition Assessment Program. So what
3353 it does is monitors and verifies the condition of materials
3354 required for successful long-term storage. So, basically, in
3355 essence, this was around in 2011 when they realized that the
3356 storage is going to go beyond 2020. They kind of came up with
3357 this program to kind of assess the overall condition of the fuel
3358 management program. So, basically, as the name suggests, it is
3359 an augmentation to the existing programs. Like we talked about,
3360 like Alexis mentioned about the Basin Chemistry Program and the
3361 Corrosion Monitoring Program, and also, the other thing is about
3362 the Structural Integrity Program, where we look at structure
3363 systems and components for various cracks and structural
3364 integrity issues.

3365

3366 So as part of that analysis, what we did is L-basin concrete
3367 structure of the disassembly basin itself to see how it is
3368 holding up. So as part of that exercise, when we were grouting
3369 the C-basin, so what they did is the area closure project took a
3370 grouting sample of the C-basin to kind of see what it tells us.
3371 And then the sample was sent to SRNL for chemical and crushing
3372 test analysis. And what they found out from that testing is that
3373 the whole concrete is as good as new. So they did not find any
3374 issues at all in that. So on the other hand, from the AMCAP
3375 realm, we look at the structure.

3376

3377 The second thing we are looking at is the aluminum clad bundles.
3378 So if you ... so from the tool from yesterday, you notice that
3379 these fuel assemblies are stored in an aluminum bundle, 5-inch
3380 aluminum bundle. So aluminum clad is similar material. So what
3381 we did is we took out the ... took out these fuel assemblies
3382 stored in aluminum bundle in machine basin. We have an
3383 inspection table set up, and we did a detailed inspection of
3384 those. And we also have a data point from ... before receiving
3385 these fuels from the research reactors where they came from. You
3386 got two data points to compare. And with respect to non-aluminum
3387 clad fuel, so that is going to be stored in an aluminum

3388 container and then predominantly, like James talked about,
3389 stainless steel clad or zirconium clad or Hastelloy clad. So
3390 there is going to be dissimilar materials in contact, which is
3391 going to enable some sort of a galvanic coupling going, and this
3392 is going to accelerate the corrosion process. So we were kind of
3393 looking at that as ... from a perspective of container integrity
3394 itself. The way they are stored today is the container is in
3395 good shape. So we started looking at that.

3396

3397 So the basic inspection criteria there was visual inspection of
3398 the container from outside, from the top, from the bottom. You
3399 see some of the pictures there. And then also, you saw the
3400 bundles have these holes at the top, and we did a boroscopic
3401 inspection of ... through the through hole to see what activity is
3402 going on in the inside wall of the container. Okay? This
3403 inspection was done, I think, in 2022, '23. So what we learned ...
3404 we did ... when we did the inspection, we did some of the canned
3405 fuel as well as direct-bundled fuel. So this ... the pictures that
3406 you see here is the ... is an example of the ERR, Elk River
3407 Reactor fuel stored in a GP tube as a general purpose tube
3408 bundle. So what do you see there? There is some general
3409 corrosion which we see, some microbial growth in the picture in

3410 the middle from the left, second picture in the middle. But
3411 other than that, we don't see a whole lot of, like, striking
3412 issues from the whole thing. So in essence, and also what we are
3413 doing with this is, this is not one and done. So we continue to
3414 monitor this AMCAP program. The way we operate this is, one year
3415 we look at the corrosion coupon, the next year we look at the
3416 AMCAP inspection. So for the next follow-up for the AMCAP is
3417 going to be oversize cans and look at the oversize can
3418 containers and its integrity and look at the ... and do the
3419 internals of the EBWR fuel assembly. So what I want to kind of
3420 like state in conclusion, and before we get to the conclusion of
3421 the AMCAP, so these fuel assemblies, we have chosen for
3422 inspection. They're not ... they were chosen based on a risk
3423 grading process. So they're not like the ... we already have an
3424 indication that they are not in their best state to begin with.
3425 So we are attacking or looking at those containers which we
3426 suspect that there could be some potential issues. So we are
3427 looking at those to make sure that ... and so these, so far we
3428 have not found anything problematic. So looking at the corrosion
3429 coupons and so far what we have done on AMCAP, so I think we are
3430 comfortable to come out and say that the safe storage in L-Basin
3431 can go on for a couple of decades. Okay?

3432

3433 With that said, let me move on to the other mission in L-Area,
3434 which is the offsite fuel receipts. So the offsite fuel receipts
3435 has two components. One is from the foreign research reactors
3436 and the other one is from the domestic. So at the foreign
3437 research reactor, all fuels which we receive are aluminum clad
3438 only. There is no non-aluminum clad fuel that can be brought
3439 into SRS. So initially, the FRR program, this is a NNSA NA-23
3440 mission. So, their mission was supposed to end in 2019. A 10-
3441 year extension was given because of the earthquake in Japan. And
3442 there were certain countries, Israel and Italy, they did not
3443 return the material in time to comply, so they were given an
3444 extension.

3445

3446 So to address one of the earlier questions, we predominantly
3447 receive from Japan. Japan has two reactor facilities, JMTR,
3448 Japan Material Testing Reactor, and JRR3, Japan Research Reactor
3449 Number 3. So Japan Research Reactor Number 3 is still operating.
3450 JMTR has been shut down, and we continue to receive the fuel
3451 until 2029. Israel is still operating. We expect to receive it
3452 next year if the war situation becomes better. Again, I don't
3453 want to go into the detail, but this is what you see here, and

3454 these are all subject to change because of various things ...
3455 geopolitics in play. So basically what we have done is the ... for
3456 the ABD baseline, all this material has already been
3457 incorporated in the systems plan. Okay?

3458

3459 The next one we talk about is the domestic research reactors. So
3460 there are four or five of the predominant players here. We
3461 support the life cycle of nation's neutron production. That's
3462 the fundamental science, and neutron production is what's going
3463 on here. So HFIR is the Office of Science mission, whereas MIT,
3464 MURR, and Rhode Island, they're all NE projects, and NIST is a
3465 Department of Commerce mission. So if you look at this, it just
3466 gives you a 10-year snapshot of our receipts. Typically we
3467 receive about 12 HFIR cores, and then three MURR shipments, one
3468 or two depending upon how MIT is being run, and then we receive
3469 from Rhode Island once in six to eight years, depending upon the
3470 burn-up. So for the Systems Plan, which James earlier talked
3471 about, we have considered receipts until 2032, okay? And then
3472 there is a LEU conversion going on, and there are certain
3473 unknowns about where those fuel will go, but for the ABD
3474 baseline planning, we have considered receipts until 2032.
3475

3476 So the next slide shows you a general overview of, at the top,
3477 talks about cores and fuel assemblies. So if you look at the
3478 HFIR, we have been continuously receiving from Oak Ridge since
3479 2018 at a rate of 12 a year. So we have removed so much already
3480 that they are not producing at a faster rate for us to receive.
3481 And James talked about it, there is a two-year cooling required
3482 before that spent fuel can go into the cask, so before it can
3483 come to SRS. Whereas MIT and MURR, they are continuously running
3484 reactors, they have a six-month cooling period before it can go
3485 on a cask and come to SRS. So the problem ... one of the key issue
3486 here is with MIT and MURR, they will get to a MAR limit on their
3487 NRC license if we don't receive it. That's an underlining
3488 factor, because we have ... that's how we are helping them to keep
3489 the production of neutrons going. At the bottom, you see all the
3490 foreign research reactor assemblies, predominantly from JMTR and
3491 JRR, and if you come further down, you see the number of bundles
3492 we are creating from the assemblies we are receiving.

3493

3494 And the next slide talks about the casks that we are receiving,
3495 the total inbound casks in L-Area. Just to give you a snapshot
3496 about that in the planning of ABD, so you saw the slide from
3497 James's presentation on how the ... how the H-Canyon material

3498 processing going on, and it kind of transposes back to how many
3499 casks do we expect to see in L-Area? So in order for ABD
3500 transition, we will be looking at higher fuel handling, and we
3501 will have to do some repackaging for non-aluminum campaigns, as
3502 well as an increased level of crane operations. And one of the
3503 questions from yesterday is, what is your single point failure?
3504 When we are doing these operations at a higher pace, there are
3505 some bottlenecks we will hit. And the 70-ton cask loading to ...
3506 loading for H-Canyon shipment, along with Mark-18 for SRNL, that
3507 kind of becomes at, like, at an increased rate.

3508

3509 So if you look at this, after 2028, we ramp up to, like, close
3510 to 50 casks a year, more than 50 casks a year. That's like every
3511 week we are rolling out casks. It becomes like, it's an
3512 increased level of ramp up on cask handling.

3513

3514 So what are we doing? What additional capabilities we are adding
3515 to support ABD mission? So some of you, as we pointed out
3516 yesterday, emergency basin and the way emergency basin is
3517 structured, it has a 17-foot ledge and a 30-foot ledge. So we
3518 have identified this area for the installation of the rebundling
3519 capability in L-Basin. So the plan is to use 17-foot ledge for

3520 rebundling activities and the 30-foot ledge for storage of the
3521 fuel after or before rebundling. So I want to kind of take a
3522 minute and talk about a little bit here is, we are going with a
3523 graded approach here, is that we are going to start with basic
3524 rebundling with a criticality level isolation in the sense that
3525 we are going to isolate the emergency basin with criticality
3526 controls while the fuel receipts in L-Basin can continue to
3527 happen. And you create an island inside an island, right? So
3528 that way the activity can go on without affecting the fuel
3529 handling activities that is taking place. As we go along on the
3530 non-aluminum campaigns, we will need basin isolation because the
3531 risk of contamination when we open failed fuel, those things
3532 will happen. So we'll have to come up with those designs as we
3533 go along into out years of ABD. Okay?

3534

3535 So a little more details about the emergency basin capability we
3536 have designed so far and yet to be installed. You see on the
3537 left, there is like rebundling tables, which is going to come
3538 with a tilt table in order to horizontalize and verticalize the
3539 fuel containers and there is a bandsaw. So I'll talk a little
3540 more detail about that as well as the racks which you see on
3541 this view for fuel storage. Okay?

3542

3543 So again, this is the snapshot or a view graph of the tilt
3544 table. So the tilt table design is ... has the ... so we have
3545 various types of containers, heights like GP tube or expanded
3546 basin storage bundle, L bundle and then oversize can. So this
3547 tilt table can handle all those various sizes. So the
3548 fundamental function is to horizontalize and verticalize the
3549 bundle for unloading or reloading into the bundle. Okay?

3550

3551 And next one is a bandsaw. So the reason for this bandsaw is not
3552 to resize the fuel. It is only in case when we are trying to
3553 take the bundle lid out from the current configuration, if you
3554 are not able to open it, then we are going to use the saw to cut
3555 it open. So it has clamps and we have like the rulers there so
3556 that in order ... to make sure that we are not cutting into the
3557 fuel assembly.

3558

3559 The next item is the storage capability in the emergency basin
3560 where we are introducing storage. That way we can bring all the
3561 fuel that requires rebundling into one place and then isolate
3562 from the rest of the basin and continue to package/repackage
3563 while the concurrent operations is going on in the rest of the

3564 basin. So this is where we are and ... excuse me. So criticality
3565 analysis and DSA work needs to be done for this to be used.

3566

3567 So in essence, if we go through with ABD, I think James talked
3568 about this slide. So I want to kind of just touch base on the
3569 storage capacity towards the bottom. So, what ... where we will be
3570 after ABD. We'll be left with about 968 bundles. Our total
3571 capacity is 3,650 and HFIR will be at 53 cores, which is going
3572 to be like our maximum storage position is 120. Also keep in
3573 mind that Oak Ridge has 105 ... they can store 105 at their
3574 location as well. So this is where we are going to end up.

3575

3576 In summary, we continue to receive and safely store fuel from
3577 offsite. And then we are ramping up for increased transfer to H-
3578 Canyon in support of ABD. We're getting ready to do non-aluminum
3579 campaign-1. And also we are fabricating these rebundling
3580 capability to be installed in emergency basin in order to begin
3581 work on rebundling for campaigns-2, 3 and beyond.

3582

3583 So infrastructure upgrade. Some of you kind of like when you
3584 walked into L-Basin yesterday, you kind of felt the air
3585 conditioning and all that, so that is part of our critical,

3586 long-term critical infrastructure plan. We are going through all
3587 that and making sure like you heard the 70-year old
3588 infrastructure, we are diligently working on keeping the
3589 infrastructure going.

3590

3591 And also adaptability is one of the things that I want to touch
3592 upon. Supporting Mark-18A isotope recovery, we are supporting
3593 SRNL in this. We are shipping Mark-18A targets. We have 65 of
3594 them in the basin. It is also helping us ABD, the de-inventory,
3595 the basin out of the 65 targets. And also SRNL is kind of
3596 leading the effort on a demo to do the HFIR drying. So we are
3597 kind of in the beginning stages of the ... our involvement with
3598 this. And I also want to mention one thing about SRNL's effort
3599 is the design of emergency basin rebundling capability is being
3600 designed by SRNL and they're fabricating this infrastructure as
3601 well. So future mission also is to kind of like look at plans to
3602 stabilize the heavy water, the moderator which we store in L-
3603 Basin and also the availability of infrastructure for new
3604 missions. That's it.

3605

3606 SIU: Okay. Thank you for a lightning presentation. We're open
3607 for questions now.

3608

3609 PEDDICORD: Lee Peddicord from the Board. Just a couple of things
3610 on the microbial growth. If I remember correctly, the ... it was
3611 observed as taking place on the ... mostly on the racks and not
3612 the containers. Do you have any idea why that was? It was
3613 because of the different materials or why preferential to the
3614 racks?

3615

3616 SCHUCHMANN: As far as why they were formed, we're not sure why.
3617 Really what we can confirm is that they're not causing corrosion
3618 damage. It would be ... the biggest indicator would be through our
3619 metals analysis, if we had an increased concentration of
3620 something like aluminum in the basin, then that would mean like
3621 a breakdown of potential fuel racks and stuff like that. And we
3622 really haven't seen anything like that. The corrosion coupons is
3623 coming back with minimal corrosion. So to answer your question
3624 as to why they're forming there, we don't have a solid answer as
3625 to why they're there. We just know that they're not causing any
3626 significant issues.

3627

3628 PEDDICORD: Okay, thank you. Then another question relating to
3629 the EBWR fuel, which is getting on to 60 years old now. And what

3630 I was wondering about, has that, over its entire lifetime, been
3631 stored underwater or were there periods when it was in dry
3632 storage? I'm trying to help out Paul Murray over here with the
3633 idea that he's doing the high burnup demonstration, looking at,
3634 you know, the higher burnup in fuel. But here you got something
3635 ... boiling water reactor fuel, Zircaloy 2 probably clad, I'm
3636 guessing. And again, now some of the oldest fuel we have in the
3637 country in some ways.

3638

3639 SCHUCHMANN: Yeah.

3640

3641 PEDDICORD: And if any of that was in dry storage for a while
3642 before it came to L-Basin, anything you can learn from that in
3643 terms of the viability of this very long-term storage of more
3644 characteristic normal fuel or more characteristic fuel that
3645 makes up a lot of the inventory?

3646

3647 KARANTH: So to be very quick on the answer, I'll let Dave Rose
3648 or somebody else comment on this, but I think as long as I've
3649 seen ... so this EBWR fuel initially stored in a place called
3650 RBOF. So RBOF was our initial primary storage basin. And in

3651 2002, they closed RBOF and moved everything to L-Basin. So RBOF
3652 was all wet storage.

3653

3654 PEDDICORD: Wet storage.

3655

3656 KARANTH: And L-Area is all wet storage. So I'm very certain that
3657 these fuel, when it came out of ... it always stayed wet storage.

3658

3659 PEDDICORD: Okay. Okay. Okay. I'm afraid we are unable to help
3660 out Mr. Murray then with this exercise. Thank you.

3661

3662 WOODS: This is Brian Woods with the Board. I do have a question.

3663 So, you know, thank you for the update on the augmented

3664 monitoring program. I'm ... I am curious though, as you think

3665 about infrastructure upgrades, as you can think about this ABD

3666 ramping up. And of course, some of the items you mentioned at

3667 the end about adaptability, do you foresee any changes at all to

3668 your augmented monitoring program or do you have a pretty good

3669 handle that the current program as it is, should probably take

3670 care of when you would anticipate any changes going forward for

3671 this?

3672

3673 KARANTH: So it's a great question. And the timing of this
3674 question is also extremely well-timed, I would say that, because
3675 ... so we talked about this like two weeks back and see, okay, we
3676 need to meet as a group and come up with a strategy for future
3677 years. What is our future plan for AMCAP? And what are we going
3678 to look at? So initially we have at least a near time horizon of
3679 looking at oversize cans and the EBWR fuel. Other than that,
3680 like we need to come up with a roadmap as to ... as this program
3681 goes on and we are going to leave bundles at the end of ABD. So
3682 we need to kind of modify our plan or plan of AMCAP to kind of
3683 suit that, okay, what are we going to leave? And can we look at
3684 that and see ... get data points as we go along? So that meeting
3685 is going to happen sometime within the next two weeks. And then
3686 we're going to come up with a plan as to how do we go about
3687 implementing that plan.

3688

3689 WOODS: Okay, thank you.

3690

3691 LESLIE: Bret Leslie, Board staff. Thank you for a very nice
3692 presentation, but I'll ask one acronym question. What's RBOF?

3693

3694 KARANTH: RBOF is Receiving Basin for Offsite Fuel.

3695

3696 LESLIE: Thank you. Now for the real question, and it might
3697 require both James and you to answer. It's because I'm seeing
3698 his figure of risk and the grouping of fuel and you were talking
3699 about the ... getting all the fuel in isolation. That's like 200
3700 assemblies? Did I miss that? Or ...

3701

3702 KARANTH: So the way we are doing it is in a very ... if you saw
3703 those circles in James's presentation, all right? So we are
3704 going to attack it at one ... at a point, like if we are going to
3705 take it like one slice, one slice at a time. So there are
3706 certain ... so one of the major ... so you might ask the question,
3707 why rebundle, right? The question is like, why do we do all
3708 this? So the ... one of the factors driving us is efficient
3709 dissolution of the Canyon. The Canyon is the scarce resource
3710 which we have. So we got to get the ... get to Canyon at a stage
3711 that they can dissolve it efficiently. And some of these non-
3712 aluminum clad fuel, they were ... so the MTR aluminum clad
3713 material testing reactor fuel which we receive, they are really
3714 like run the proper way. But these non-aluminum clad fuel, they
3715 were tested for failure, and they were cut, and there is all
3716 kinds of various testing that was done in the '60s, '70s, '80s.

3717 So it is ... to be very honest with you, that the thing is, every
3718 fuel type is a challenge, like Zr-2 or stainless steel clad or
3719 the container inside container. So we had to like do that in a
3720 very graded approach where I said graded approach, is that so
3721 we're going to bring in next, so campaign-2. So we look at
3722 campaign-2 and what is the 35 container? I'm just going to focus
3723 on 35 containers, come up with a plan, implement the plan. While
3724 the plan is being implemented, we look at the next set of 35
3725 containers for campaign-3. So that's our kind of approach. And
3726 then what we are trying to do, James, correct me if I'm wrong,
3727 so where we are going with this, complicated fuel assemblies
3728 like the canned and failed fuel which is inside cans, we're just
3729 going to park it aside, not worry about it. We go, what is the ...
3730 you saw a slide chart about L-Area complexity, H-area
3731 complexity. We're going to try to see the easy wins, as we say,
3732 so that way we can get those out of the basin while we have
3733 canyon available.

3734

3735 LESLIE: Thank you.

3736

3737 THERRELL: Can we just to expand on that? Is it going? James

3738 Therrell again, EMO. Just to expand on that, we're also working

3739 a few opportunities to try to minimize the amount of cans that
3740 would need to run through isolation. So, for instance, again,
3741 too much detail, but we've done a ... I call a surgical
3742 modification of our dissolver, our electrolytic dissolver to
3743 accept a little larger can. The cans were just slightly
3744 oversized for our dissolver, so if we had to pop into those cans
3745 and remove inner containers, we knew that was a little bit risky
3746 to do outside of isolation. If we can fit ... now fit those cans
3747 in with some of the late innovation that has just occurred
3748 within the last few months, we potentially could put that whole
3749 can in the dissolver and not have to go into it. So, we're
3750 working efforts to try to minimize the amount of handling in L-
3751 Basin. And so, there's actually ... it's very ... things would have
3752 to fall very much so butter side up, but we have another
3753 potential with that chemical flow sheet that I had mentioned for
3754 groups 4 and 5. That could potentially take the bundles as is,
3755 because it's a chemical dissolution flow sheet and our chemical
3756 dissolvers can accept a larger bundle. So, it's very low
3757 probability, but we have our eye on, can we get out of isolation
3758 altogether potentially? I don't think that ... I don't think we'll
3759 get there, but that's our aim.
3760

3761 LESLIE: Bret Leslie, Board staff, follow up question. So, we
3762 heard about the flow sheets for the actual processing and my
3763 original question is, I'm trying to see how handling in the L-
3764 Basin is really integrated with going down. So, you kind of have
3765 something similar to what James has, like in each of the years
3766 out, we'll have to do this. We'll need to do that.

3767

3768 KARANTH: Right. So, to kind of expand upon that a little bit is
3769 that the System Plan is kind of the Holy Grail for us, right?
3770 So, from there, we are coming back. Okay, if he wants to process
3771 2029, this material A, so what do I do in 2024? So, that's what
3772 our schedules and our effort is lined up with that. That's what
3773 we are working towards. It's not only the designing of new
3774 containers, designing of new processes, procedures, cask ... even
3775 though if we have a cask, the paperwork that is needed to
3776 authorize moving that material in the new ... in the cask, in that
3777 configuration, that has to be analyzed and authorized as well.
3778 So, there is all this work which is happening in the back end
3779 for some work which is happening in out years. So, that's all in
3780 the schedule based on the System Plan.

3781

3782 THERRELL: James Therrell, EMO. We're ... as Kiran talked about, we
3783 were putting in the initial capability, the rebundling, knowing
3784 that we could bolt on capabilities as we go further into the
3785 System Plan and actually learn more about how we'll disposition
3786 some of the materials, because we might modify our approach a
3787 little bit. So, stepping into it, we know we need re-bundling
3788 capability. Some of these items need to be re-bundled just
3789 because the volume of the fuel inside is too much. Once you
3790 dissolve the cladding, the fuel would overflow the basket that's
3791 in the dissolver. So, we just need to basically separate out
3792 some of the fuel pins, and that's a lower risk operation that's
3793 not going to contaminate the basin, but it's handling that we
3794 don't want to do outside isolation. So, do you necessarily need
3795 deionizing capability? So, as we get into the system plan and we
3796 learn more about the flow sheets that we're going to have in the
3797 out years, we can bolt on those capabilities and tailor it. But
3798 that first step that we're doing with the rebundling, we
3799 definitely need that part.

3800

3801 SIU: Any other questions for our speaker? Hearing none, thank
3802 you very much.

3803

3804 KARANTH: Thank you so much.

3805

3806 [Applause]

3807

3808 SIU: Okay. We're nicely ahead of schedule. Next talk, Steve

3809 Vitto, Anna d'Entremont, and Xian-kui Zhu.

3810

3811 VITTO: Okay, good afternoon. My name is Steve Vitto. I am a ...

3812 currently a spent nuclear fuel program manager with DOE-EM

3813 headquarters, and also with the Office of Nuclear Materials. So,

3814 today I'm going to talk about the management alternatives at

3815 Savannah River Site.

3816

3817 So, you just heard our current mission and status regarding ABD

3818 and L-Basin. So, my job today is just to tie those together,

3819 right? So, we heard about what we're currently doing, what we

3820 envision in the future, near term, and then post-ABD is what I'm

3821 going to try and paint a picture for you. As you heard earlier

3822 with the question, a lot of this information is pre-decisional.

3823 We haven't made decisions on it. So, just trying to give you a

3824 flavor for what we're currently in process of doing, and a lot

3825 is still needed to be worked on and done in order to finalize

3826 these decisions. So, yeah, so I'm just going to give a high-
3827 level overview of our current strategy and work to assist us to
3828 make that eventual decision, and then afterwards, my colleagues
3829 at Savannah River National Lab will go into ongoing research
3830 associated with the dry storage project and the flaw tolerance
3831 of DOE standard canister work, which is going to help us to help
3832 our perspectives in disposition pathways going forward.

3833

3834 So, some of this information is more higher level than what you
3835 just received, so I'll go through it pretty quickly, but just
3836 want to stress a couple points here. L-Basin does provide safe
3837 and secure storage until future disposition strategies are
3838 identified, and then what's been said before is additional
3839 capabilities will be needed, and we understand that at Savannah
3840 River Site, depending on the future decisions, by the department
3841 as it relates to packaging and/or processing any of the spent
3842 nuclear fuel.

3843

3844 So, I'm not going to spend too much time here. You got more
3845 detail than I have here with Kiran and James. Just reiterate
3846 what we expect post-ABD, right? We talked about current
3847 generation and what's legacy. Post-ABD, we expect, you know,

3848 anything that's left over, especially focusing on the non-
3849 aluminum that you just heard about, and then also what Kiran
3850 just mentioned as well, foreign research reactor returns,
3851 anything that comes post-ABD that's not currently in the
3852 baseline, and then domestic research reactor returns that we do
3853 expect to continually generate since their missions will go
3854 further than 2035 timeframe, things like that. So, that's what
3855 we expect, and those are our current main generators anyways, so
3856 we currently receive that fuel on a regular.

3857

3858 So, futures ... efforts that we have been ... our ongoing efforts
3859 that we've recently done in ... last year. We put together a
3860 multi-program DOE working group that was focused on initial
3861 assessment of DOE capabilities to manage future spent nuclear
3862 fuel. So, the goal was to provide assessment on the needs
3863 related to receipt, packaging, interim storage of future spent
3864 nuclear fuel. We were also tasked with laying the framework for
3865 describing this integrated approach to management of the
3866 projected inventories. So, the report ... internal report was laid
3867 out into some key observations and recommendations. These are
3868 just some of those, and they're tailored towards Savannah River

3869 Site, but there are some other recommendations and observations
3870 that went into this.

3871

3872 So, I just want to highlight a couple here, and they're not
3873 going to be surprising, a lot you've already heard. So, the team
3874 main observation was that there is adequate storage capacity to
3875 manage that spent nuclear fuel inventories for the next 25 to 30
3876 years. So, with that being said, there are some programmatic
3877 policies and agreements that do constrain our use ... efficient
3878 use of the facilities. They've been mentioned today, the ISA,
3879 things like that, Idaho. The ... So, using or weaving our way and
3880 finding a path forward with those agreements is what we need to
3881 do when we plan our path forward. And then again, you've heard
3882 this as well. You know, however, we do have adequate interim
3883 storage, our facilities are aging, so how long are they going to
3884 last, things like that. What is our viable storage
3885 infrastructure and how long do we expect that to be in
3886 existence? So, another item, so a need currently exists to
3887 adequately and consistently fund focused research to management
3888 of the challenging spent nuclear fuel that you've been hearing
3889 about. For example, the dry storage of aluminum and then

3890 conditioning heavily degraded spent nuclear fuel and other
3891 technology needs as well.

3892

3893 And then just hitting on some of the recommendations from the
3894 group. So, one of them was to determine a path forward for
3895 addressing the near-term storage needs for spent nuclear fuel
3896 that would go to Savannah River Site post-accelerated basin de-
3897 inventory. And that's directly related to this presentation. So,
3898 we're currently trying to develop that framework and develop
3899 that path forward as we speak. So, that's why a lot of this
3900 information is very high-level since we have not decided on the
3901 correct path yet. And then the other ones are also related to
3902 the key observations. They're a recommendation associated with
3903 each key observation. Support identified technology development
3904 requirements. And then also develop a long-term infrastructure
3905 management plan. So, this was more of a ... the recommendations
3906 were divided up into near-term recommendations which was one to
3907 five years and then longer term recommendations five to 10 years
3908 and out. So, that was more of the start implementing the plan
3909 for the infrastructure management and then develop more of the
3910 strategy and everything like that up front. And then the plan
3911 will come later. So, that was more of a five to 10-year

3912 recommendation from the group. And that will help to further
3913 develop the integrated strategy associated with the handling of
3914 the spent nuclear fuel. And then also including any NEPA updates
3915 or anything like that that we may need more time to implement as
3916 we develop that path forward.

3917

3918 So, here I just want to talk about some main considerations that
3919 are driving our alternatives. So, there was a recognition that
3920 disposition strategies associated with some of the more
3921 challenging spent nuclear fuel would have to be developed. And
3922 we're currently working on those solutions. So for example the
3923 establishment of the non-aluminum electrolytic dissolution
3924 capability is an example of what we're currently planning to
3925 implement in the campaign. So where do we go from that? You
3926 know, how do we implement ... or after that first initial campaign
3927 and follow-on activities? So as you know, the remaining ...
3928 resulting remaining inventories post-ABD and facility age will
3929 have a large impact on our preferred technologies going forward
3930 as well. So that depends on if we can implement something that
3931 may use our existing facilities or if we need to develop a new
3932 capability that would be separate from any facilities that we

3933 currently have. So that time frame is very important when we
3934 consider a path forward. Okay.

3935

3936 So there's only a couple main options that we have, right? So
3937 there's ... we process the material, we wet store it like in its
3938 current configuration, or we can package and dry store it,
3939 right? So the next slide after this one I'll talk more about the
3940 technologies that will be more in the processing. So you only
3941 have a couple of high-level options and then how you implement
3942 that option is through that technology, right? So that's where
3943 the details ... some details of how you're actually going to
3944 achieve that end goal. So we do have plans for a feasibility
3945 assessment using melt and dilute technology to disposition some
3946 of the non-aluminum spent nuclear fuel. So melt and dilute was a
3947 disposition method for aluminum spent nuclear fuel that was
3948 explored in the 2000 time frames. And the L-Area experimental
3949 facility was actually set up prior to discontinuing the project.
3950 So the plans for assessing the viability of that approach are in
3951 the works for next year. And then so the theory behind the melt
3952 and dilute was that it was ... you would melt the aluminum-based
3953 fuel and then put them into DOE standard canisters was the
3954 eventual disposal mechanism. So trying to understand, you know,

3955 how that would be applied for non-aluminum or the more
3956 challenging materials is what that is going to accomplish. And
3957 then the other options which we already mentioned, you know,
3958 continuous storage in L-Basin and then dry storage is always an
3959 option as it comes to it.

3960

3961 So here I just want to highlight some of the alternatives that
3962 have been considered in the past and that will be considered in
3963 our eventual evaluations. Just want to highlight really one item
3964 here. It's the one in the center, the mobile melt and
3965 consolidate work. So SRNL is supporting NNSA by leading a
3966 collaboration with Norway to eliminate highly-enriched uranium
3967 using SRNL developed mobile melt and consolidate technology. So
3968 that's a good example of something that maybe we could have as
3969 an option for our post-ABD activities. If we already have some
3970 in-house knowledge of setting up a, you know, modular capability
3971 like that, can we apply that to our existing facilities or
3972 somewhere in our facilities to accomplish what we need? And then
3973 just some examples of other technologies that have been
3974 considered in the past and that we will evaluate and use all the
3975 information we have. I'm not going to go into too much detail
3976 here, though.

3977

3978 So some paths forward. So we have an opportunity to pursue and
3979 conduct a pilot scale, a demonstration that would leverage
3980 Savannah River Site infrastructure if, you know, if we're able
3981 to do that and apply a modular concept to address these
3982 inventories. So in order to do that, we have to prioritize the
3983 expected inventories moving forward because that's going to be
3984 the basis for the technology. If we know what we're going to ...
3985 the priority for the items that are post-ABD, those are the
3986 items that we're going to apply the technology to go and handle.
3987 So we're going to apply similar criteria that's been in the
3988 past. You know, the current mission need at the time, regulatory
3989 compliance, safeguards and security. You know, can we make this
3990 material less attractive in a different form for long-term
3991 storage based on the final form, things like that. Maturity of
3992 technology is always important. Ability to execute, right? So ...
3993 and then ability to meet production rates and stakeholder
3994 considerations are just a couple items that we consider for
3995 criteria for technology decisions. And then also we go through
3996 our normal analysis of alternatives approach as well.

3997

3998 So some near-term efforts. So, yeah, we're not going to reinvent
3999 the wheel. We're going to use past efforts that we've already
4000 done and inform our road mapping approach. So we're going to try
4001 and use a road mapping approach and then also an options
4002 analysis that will help us to set stops where we can make
4003 decisions along the way so we have a set path of handling these
4004 materials. So we're going to lay out the scope and end state in
4005 the coming months and then assess the feasibility of a pilot-
4006 scale demonstration to address this material. And then also lay
4007 out what to expect and additional actions for implementing such
4008 as NEPA or anything like that. So we'll lay out that path
4009 forward for eventual investigation later on.

4010

4011 And then we hope to have some follow-on actions where hopefully
4012 this pilot study is eventually, you know, successful. You know,
4013 it might go into a formal mission needs statement where we
4014 continue down the path of addressing either EM needs or
4015 departmental needs to complete the ABD scope of the material.

4016

4017 We're also going to explore if we could develop a strategy for a
4018 suite of modular technologies as well. So can we use one modular
4019 that would be specific for a certain type of material and then

4020 expand upon that in an, you know, an effective approach that
4021 allows us to address multiple mission needs over, you know, the
4022 course of many years and trying to make sure that we're focused
4023 on EM's needs but also other DOE program needs as well. Oh, so
4024 one other thing I wanted to mention here as well. So we envision
4025 a collaboration with the Spent Nuclear Fuel Working Group where
4026 we have a bunch of tasks that we would be implementing. So
4027 Jomaries mentioned NEPA compliance tasking. Also in the
4028 infrastructure planning would be an example of things that we're
4029 currently doing that would eventually, you know, fall in line
4030 with our planning for this pilot-scale modular capability. I'm
4031 sorry. I want to go back. There we go.

4032

4033 So, we wanted to hit on the infrastructure strategy. You know,
4034 this is important and a long-term goal of ours. We want to be
4035 proactively invested in infrastructure to meet the mission and
4036 it directly applies to, you know, pilot scale technology and
4037 what infrastructure we would need to implement that as well. So
4038 it's a phased approach for ... to be proactive moving forward. So
4039 we want to lay out the best way to accomplish the evolving
4040 technologies as well and maintain alignment with our strategic

4041 framework to placing the material into a road-ready dry storage
4042 configuration ...if need be.

4043

4044 So some future considerations. So we anticipate the need for
4045 future technology and infrastructure development. We're at the
4046 verification and validation step of a lot of tech development
4047 that you heard earlier today. So ... and that's an essential step
4048 to lay the way for the path forward. And then additionally, you
4049 know, to maintain and enhance the safety and efficiency of spent
4050 fuel management and then implement capabilities and technology
4051 at Idaho National Lab and Savannah River National Lab for long-
4052 term storage solutions. And then the next presentations will
4053 focus on work led by Savannah River National Lab, which include
4054 a focus on aluminum dry storage pilot and then also DOE standard
4055 canister packaging and storage implementation. So thank you and
4056 I'll give it to Anna.

4057

4058 D'ENTREMONT: Hi, I'm Anna d'Entremont from Savannah River
4059 National Lab. I'll be talking about our aluminum-clad spent
4060 nuclear fuel dry storage pilot. This is part of the
4061 collaboration with INL that Elmar spoke about earlier today.
4062

4063 So that is development of a technical basis for dry storage of
4064 aluminum-clad spent nuclear fuel. And one of the key challenges
4065 we are facing is making sure that we are adequately dealing with
4066 the chemically bound water in the form of aluminum oxyhydroxide
4067 on the cladding surface. And with the ... those being prone to
4068 release hydrogen gas through radiolysis. So as Elmar briefly
4069 covered, both INL and SRNL have conducted a variety of
4070 experiments to investigate that. INL has also conducted
4071 modeling. And so far, our results point to this being safe for
4072 extended dry storage in both the sealed and vented
4073 configurations.

4074

4075 The pilot is for our next step of a full-scale monitored pilot
4076 canister for verification and validation purposes. So this pilot
4077 will allow us to demonstrate the canister loading, handling and
4078 drying processes at full canister scale with actual spent
4079 nuclear fuel. And to monitor the internal conditions over a
4080 storage period in order to validate our models and understanding
4081 of the behavior.

4082

4083 So the basic concept for the pilot is that we will have two DOE
4084 standard canisters of the 18-inch outer diameter and 10-foot

4085 long configuration. Each canister will be loaded with three HFIR
4086 inner fuel elements. So this will be actual spent nuclear fuel.
4087 And we will be using the basket geometry that has been proposed
4088 for the HFIR cores, which you can see a simple schematic in the
4089 top right here. It basically just keeps the fuel centered in the
4090 canister. But this will not ... we will not be incorporating any
4091 sort of neutron absorbers in the pilot basket. We will be using
4092 an instrumented lid approach to monitor the internal conditions.
4093 We'll be monitoring some temperatures at inner ... internal
4094 locations to the canister and also sampling the gas space. And
4095 we will also be using a bolted flange lid that will allow us to
4096 retrieve the fuel after the pilot. The plan is to do a dry-to-
4097 dry transfer from a transport cask. So this fuel will be coming
4098 to us directly from Oak Ridge National Lab. And it will be ... the
4099 plan is to transfer it directly from the GE2000 transport cask
4100 into the pilot canisters without ever immersing it in the basin
4101 in between. We intend to apply two ... oh, sorry. We intend to
4102 apply two commercial drying processes, one to each canister.
4103 Those being vacuum drying and forced helium dehydration, which
4104 involves flowing heated helium through the canister. Our initial
4105 planning for this, we said we would design this for monitoring
4106 for up to five years. The current hope is that we will be able

4107 to collect sufficient data within the first couple ... first year
4108 or two. But we will be temper ... measuring the temperature and
4109 the gas composition, as I mentioned. And this pilot will be
4110 sited in Savannah River Site L-Area. A location has already been
4111 selected there.

4112

4113 So I want to briefly go over the motivations behind those ...
4114 looking at those two different drying processes. So earlier in
4115 our laboratory scale testing, we did some small scale drying
4116 tests using thermogravimetric analysis on coupons. And we were
4117 seeing that to dehydrate bayerite, which is the ... one of the
4118 aluminum trihydroxides, we needed to get it up to about 220
4119 degrees Celsius. So this is the lower threshold that we expect
4120 to need to reach to remove any of that chemically bound water
4121 from the oxyhydroxides.

4122

4123 INL led some engineering-scale drying tests, which Elmar
4124 mentioned briefly earlier. And they tested both vacuum drying
4125 and forced helium dehydration on a roughly one-third height
4126 canister mockup that was loaded with mockup fuel elements. And
4127 so they found that both methods removed free water successfully,
4128 which was not surprising for established drying methods. But

4129 interestingly for our purposes, they found that the forced
4130 helium drying could bring the fuel up to ... the mockup fuel to at
4131 least 220 degrees Celsius, while the vacuum drying did not.

4132

4133 So in this plot on the right, the x-axis is the maximum
4134 temperature reached by that mockup fuel. And the y-axis is a
4135 metric for the amount of water removed during drying relative to
4136 what could be removed from a control sample during TGA up to 600
4137 degrees Celsius. So on the x-axis, you can see that the forced
4138 helium drying results are all clustered near the high
4139 temperature range, about 200 degrees and up. The vacuum drying
4140 topped out at about 120 degrees Celsius, well below that
4141 threshold for decomposing the oxyhydroxides. This test did
4142 include a internal heater in one of the mockup fuel assemblies
4143 to simulate the decay heat. And even with that simulated decay
4144 heat, they still weren't seeing high temp ... really high
4145 temperatures during the vacuum drying.

4146

4147 They also saw a very sharp increase in the amount of water
4148 removed during the drying process at the 220 degree threshold.
4149 You can see I've got the line marked on the plot, and there is a
4150 very sharp jump in that drying mass loss. And so that it ...

4151 that's why we want to see both the forced helium drying and the
4152 vacuum drying, to see how much impact that has on the hydrogen
4153 observed during the pilot.

4154

4155 For context, the estimated water, we did some estimates of the
4156 residual water we'd expect to see in the pilot canister after a
4157 drying process. I ... We estimated that the undried oxyhydroxide,
4158 based on the oxide seen on an actual HFIR inner fuel element
4159 during post-irradiation examination, would correspond to about
4160 35 moles of chemically bound water on the surface of the fuel.
4161 If that was completely dehydrated to boehmite, removing two-
4162 thirds of the water from any trihydroxides, that was estimated
4163 to be reduced to about 20 moles of water. For comparison, the
4164 other estimated water in the canister for physisorbed water and
4165 for water vapor at the ... based on the dryness criteria for the
4166 drying methods, that was estimated to be about ... less than about
4167 a tenth of a mole. So it is overwhelmingly dominated by the
4168 oxyhydroxides.

4169

4170 The other thing I want to go over is the sort of lab-scale
4171 precursor to our pilot testing, which is our mini-canister
4172 radiolysis testing. The idea here was we took small stainless

4173 steel vacuum vessels. So these are about three inches in
4174 diameter and seven inches tall. The lid has a valve sampling
4175 line through it so that we can pull small samples of the gas
4176 from this canister. This is loaded with a sample subjected to
4177 any drying processes we want to apply before irradiation,
4178 backfilled with helium, and then the entire canister goes into a
4179 cobalt-60 gamma irradiator.

4180

4181 So we've tested these using both high surface area aluminum
4182 surrogate assemblies, which you can see on the bottom left. And
4183 we also have done one test with an actual cropping from a spent
4184 fuel element. This does not contain any fuel meat itself, but
4185 does have the oxyhydroxides formed during its surface life.

4186

4187 So, on the right you can see the kind of data we get from this.
4188 This is essentially the same approach we want to use for
4189 sampling the gas in the pilot. So we get a nice yield curve of
4190 the hydrogen ... cumulative hydrogen generation as a function of
4191 the dose. We have tried several different drying approaches to
4192 these mini-canisters. And so one of the things to note here is
4193 the very large impact of the heated drying processes, the blue
4194 squares are for a canister that was nominally undried. The

4195 sample was air dried, but there were no extended vacuum steps
4196 and no heated drying.

4197

4198 By contrast, the red and yellow data points are for a heated
4199 drying step applied at either 150 or 220 degrees Celsius. And
4200 you can see there was a dramatic drop in the hydrogen generation
4201 as a result of that drying. Early on at the low dose end of this
4202 plot, you can also see some green data points that were for only
4203 an extended vacuum step with no heating. And you can see that
4204 was tracking pretty much with the air dried sample with much
4205 higher generation rate than the heated drying.

4206

4207 So for the pilot implementation, we're currently in the process
4208 of doing various safety planning and documentation steps. That
4209 includes evaluations of potential flammability, shielding
4210 requirements, et cetera, as well as plans for things like the
4211 specifics of the drying procedure and plans for emergency
4212 retrieval. The component designs for our equipment are going to
4213 be finalized with the help of a commercial vendor. That would
4214 include details of the dry-to-dry transfer system to go from the
4215 transport cask to the DOE standard canister. The overpacks to be
4216 used for shielding during the pilot and spacers to go between

4217 the fuel elements and the standard canister modifications,
4218 specifically the bolted flange and the instrumented lid to allow
4219 us to monitor the interior conditions. That has been developed
4220 conceptually, but we need to refine the details.

4221

4222 We plan to do pre- and post-storage visual examination with the
4223 help of a camera in the transfer system to see if there are any
4224 visual impacts on the oxyhydroxide. And it has been proposed
4225 that we use a horizontal storage configuration which will be
4226 very helpful for particularly the forced helium drying, since
4227 that requires both an inlet and an outlet for the gas to flow
4228 through the canister. And the DOE standard canister has its
4229 inlet port in the center of the lid and an optional second port
4230 on the center of the base. We are planning to do two sets of dry
4231 runs that will use dummy fuel elements and these will allow us
4232 to verify the function of all of the equipment and also do
4233 training of SRS personnel prior to handling the actual fuel.

4234

4235 So, this is a basic road map for various steps in this pilot
4236 process. We have already completed the pre-conceptual and
4237 conceptual design stages that are over at the ... on the far left.
4238 Those were documented in reports. This year we have been

4239 coordinating with facilities and operations. And we have been
4240 also working towards getting a contract with a vendor to
4241 complete those detailed designs and eventual fabrication. Once
4242 that is in place, we can move on to finalizing the component
4243 designs. And the current timeline has the actual loading process
4244 happening somewhere in the fiscal year 27 timeframe.

4245

4246 So in conclusion, dry storage is a potential path for future
4247 ASNF receipts or potentially for SNF remaining in L-Basin after
4248 the closure of H-Canyon. The pilot will provide verification and
4249 validation of drying and dry storage performance and of the
4250 models that were developed using the laboratory scale data. This
4251 pilot will establish SRS capability in dry-to-dry transfers
4252 which are potentially applicable to future SNF receipts so that
4253 we don't have to put fuel in the basin if it is destined for dry
4254 storage. And it will also establish capability in use of the
4255 vacuum drying and forced helium drying processes at SRS which
4256 would be applicable to either dry-to-dry transfers or to wet
4257 stored fuel that is moving to dry storage. And that is all that
4258 I have. So Xian-kui will be up next.

4259

4260 ZHU: Good afternoon. My name is ... Okay. Okay. My name is
4261 Xian-kui Zhu of Savannah River National Laboratory. The co-
4262 author of this work is Bob Sindelar. He is here. Bob is my
4263 technical supervisor at Savannah River. I'm going to talk about
4264 flaw tolerance of DOE spent nuclear fuel storage canister. This
4265 is a current EMDT project.

4266

4267 And as you may know, the DOE standard SNF storage canister is
4268 designed especially for DOE spent nuclear fuel storage for a
4269 wide range of DOE spent nuclear fuel in different design and
4270 conditions. DOE canisters are significantly different from the
4271 commercial multipurpose canisters or MPC in size. Specifically,
4272 the MPC canisters are very large. Typically, the diameter is 68-
4273 inch, wall thickness of 0.5 [inches] and the height is about 16
4274 feet.

4275

4276 Compared to that, the DOE canisters are small with a diameter of
4277 only 18 or 24-inch. And the wall thickness for OD 18-inch is
4278 0.375 inch. For the larger diameter, 24-inch, the wall thickness
4279 is 0.5 inches. And then the length, 10 feet or 15 feet. So,
4280 compilation result is four standard design.

4281

4282 The figure on the left is a schematic illustration of DOE
4283 standard canister. And then the structure evaluation of the DOE
4284 canister, we compare to the commercial MPC canisters. The
4285 structure evaluation, of course, include the flaw tolerance have
4286 been performed extensively for the MPC or commercial canisters.
4287 The commercial canisters typically have four axial welds and one
4288 central cross weld or circumferential weld and the two closing
4289 welds. And this weld is susceptible to chloride-induced stress
4290 corrosion, that's the CISCC or simply called SCC problems. And
4291 then the flaw instability and the result have been extensively
4292 published in the literature. You can find the result easily in
4293 the public domain.

4294

4295 And the structure evaluation was also performed for DOE standard
4296 canister. And the DOE has sponsored the structure integrity
4297 study to evaluate specifically the weld integrity using the drop
4298 test or the finite element analysis called FEA simulations. And
4299 most of the studies was done at the Idaho National Laboratory.

4300 And then the figure at the right is one of the real canisters at
4301 the Idaho National Laboratory, maybe made for drop test.

4302

4303 So, the DOE canister typically has one axial weld and two
4304 closing cross weld possible. And there are no rigorous flaw
4305 tolerance analysis for the DOE standard canister so far. And the
4306 flaw tolerance analysis will ensure the robust DOE standard
4307 canister for handling, storage, disposal of the spent nuclear
4308 fuels.

4309

4310 So, the proposed technology is using the fracture mechanics
4311 technology. We will adopt the API 579. API means American
4312 Petroleum Institute. There's a standard especially for oil gas
4313 pipeline industry and the pressure vessel as well. So, to
4314 estimate the residual stress distribution for longitudinal or
4315 circumferential welds and use [API] 579, the called ... so-called
4316 failure assessment diagram, called FAD, the approach to
4317 determine the flaw acceptance criteria and also the critical
4318 flaw size at the flaw instability. The FAD assessment approach
4319 are similar for both commercial and DOE standard canisters.

4320

4321 The scope of the work is to do a literature study and to develop
4322 the technology used for the tolerance assessment. So, we
4323 developed a fracture mechanical method to evaluate the flaw
4324 tolerance for the DOE canisters and we've developed FAD, the

4325 framework, and the flaw acceptance criteria for the work year 1,
4326 FY24.

4327

4328 And for the following and next year's work, we will focus on
4329 evaluating the crack opening displacement, COD, for a postulated
4330 crack in the DOE canister for the safety and the risk
4331 evaluations, and that's a typical plan for next year's work.

4332

4333 And the benefits to DOE is to provide advanced technology for
4334 reducing risk of the DOE standard canister storage and also
4335 provide advanced model for evaluating structure integrity for
4336 the DOE standard canisters.

4337

4338 Okay. Let's talk about what the FAD assessment. The assessment
4339 we used is from the API 579. This is the figure. You can see
4340 there's a curve from the top and the drop down. Typically, they
4341 have three zone or region we call using this method. The zone 1
4342 start from the vertical axis of K_r . They're relatively flat top
4343 on the assessing the curve. This is called the zone 1. Zone 1 is
4344 elastic fracture mechanical control L-Area and then go back to
4345 the down zone three. That's the bottom one near the horizontal
4346 L_r . That's called plastic control L-Area. Between they are

4347 typically called room two is fracture, elastic plastic control
4348 fracture mechanics and gradually go to the collapse control.

4349

4350 So within this curve, we can assess any defect in the canister
4351 to evaluate if the crack or flaw is stable or not stable. If
4352 stable, we may accept. If not, we will not. Typically, if the
4353 flaw assessment fall into the inside of the curve, this
4354 acceptable region, I will show you in the green word and the
4355 outside on several as the red words.

4356

4357 So let's give an example using the FAD assessment. We assume
4358 axial outside the surface crack in the axial weld with the hoop
4359 region stress and axial crack size, initial is in the 10
4360 millimeter, typically this is because the wall thickness is
4361 12.7, so about 70% of the wall thickness. It's a very critical,
4362 very deep crack. And the initial crack length about 30
4363 millimeter per short after, for example, if SCC or other reason
4364 the crack grows, they have inside called with the circle from
4365 the initial point to the final crack length, the C ... of course,
4366 this is a half crack length. C equal to 30 millimeter, the
4367 assessment point from initial to the last, or we see in the
4368 failure assessment curve, so that's mean this curve is stable

4369 and reliable, is acceptable. This only for normal loading
4370 condition.

4371

4372 If we combine the normal operation condition and the loading
4373 condition with residual stress, you can see the final point can
4374 actually exit within the failure curve, that point. That point,
4375 this half thickness can be 216 millimeters. That's mean in that
4376 case, the crack can be failed or instable. However, the API
4377 standard permit a crack length maximum is the total is 80 inch
4378 or 200 millimeter, half inch, it could be just 100 millimeter.
4379 So in this case, the both normal or normal loading or normal
4380 loading plus the residual stress are stable. This mean in play ...
4381 in plan, they will indicate that the flaw is stable and
4382 acceptable for both cases conditions. So this work typically
4383 shows the current ... the DOE standard canisters are safe and
4384 reliable for long-term storage. Thank you, thank you for your
4385 attention. That's my presentation.

4386

4387 SIU: Okay. We are now open for questions. Question... mic.

4388

4389 BALLINGER: These back ... let's go ... what did I ... an echo here or
4390 something? These canisters are designed according to code

4391 anyway. That includes dropping on an unyielding surface and all
4392 that kind of stuff. And there's an inspection requirement. And
4393 so there's no way there's a crack that's initial ... that initial
4394 flaw size is going to be there. Is that correct?

4395

4396 ZHU: Yeah, this is the design, the condition or objective. But
4397 for ... and ... okay. So, of course, this is the design objectives.
4398 We want the canister perfect.

4399

4400 BALLINGER: I mean, it's not an objective, it's a code
4401 requirement.

4402

4403 ZHU: Yeah, that's a code requirement. But even for the
4404 manufacturer, for weld point site, they're possible for chloride
4405 ... the stress chloride SCC, and also for the possible existing,
4406 the weld defect in somehow include inside the inclusion or some,
4407 if we assume such a crack existing, we do some follow standard
4408 method to evaluate if this is possible crack failure or not. For
4409 our current study show, this is not a concern.

4410

4411 BALLINGER: Okay, so you're thinking that we could get chloride
4412 stress corrosion cracking?

4413

4414 ZHU: And not only that, it's possible for weld assembly, weld
4415 always have some micro corrosion, defect or inclusion inside. So
4416 we just pushed that, this is kind of assumption. To the
4417 research, to show the mechanism, how the crack can be stable if
4418 gross or not stable. In our case, in this case, all our crack
4419 are stable. So don't worry the possible crack failure mechanism.
4420 Thank you.

4421

4422 BALLINGER: Okay, I guess back to slide, your slide number, where
4423 am I at? Four. On the drying. The drying. Excuse me. Not that
4424 one. I don't know what ... I'm looking at four on my ... yeah, wait
4425 a minute, no, no, no, yeah.

4426

4427 D'ENTREMONT: That's too far.

4428

4429 BALLINGER: Drying test, the title of the slide is drying test.

4430

4431 D'ENTREMONT: There we go.

4432

4433 BALLINGER: Okay, if you don't dry it at all, and one of your
4434 backup slides shows the amount of water that could be there. If

4435 that was all converted to hydrogen and oxygen, what would the
4436 pressure be?

4437

4438 D'ENTREMONT: I don't have that number in my head right now. We
4439 did ... there was a bounding pressure analysis done by INL. That
4440 the HFIR was not the configuration they looked at. They looked
4441 at an ATR configuration that was deemed to be bounding in terms
4442 of the amount of surface area and oxide relative to the gas
4443 volume. I don't have the specific pressure in ... I'd have to go
4444 check it, but they found it was within the limits of ... that ...
4445 for a thick layer of boehmite, full release of that would be
4446 within the pressure capabilities of the canister.

4447

4448 BALLINGER: Yeah, that's what I was after. So, no matter what
4449 happens ...

4450

4451 D'ENTREMONT: Well, that was for boehmite. If it was a layer of
4452 bayerite, it would still be within the pressure up to, I think,
4453 was it 300 degree ... 300 something degrees Celsius. So it
4454 appeared that the only risky condition was if you had a very ... a
4455 thick layer of completely trihydroxide that completely

4456 decomposed in order to exceed the pressure rating of the
4457 canister.

4458

4459 BALLINGER: Okay, now on the next slide, the next slide. I guess
4460 I have a question about whether or not using cobalt-60 is the
4461 correct ... is the appropriate. Maybe the only one you can use.
4462 But that G value is different than it was ... if it was for
4463 electrons, which is likely to be the dose source from the
4464 surface of a cladding to the oxide. So is that non-conservative
4465 in some way using cobalt-60?

4466

4467 D'ENTREMONT: That is something I would have to check with my
4468 colleagues.

4469

4470 BALLINGER: That's what I'm saying. The dose that we're talking
4471 about that generates the gas is right at that interface between
4472 the metal and the oxide, right?

4473

4474 D'ENTREMONT: My understanding from the rest of my team was that
4475 they expected the radiation at the outer surface of the cladding
4476 to be primarily the gamma radiation.

4477

4478 BALLINGER: Okay, I'm just ...

4479

4480 D'ENTREMONT: Like I said, I'd have to verify that with someone
4481 else, because that's not my area specifically.

4482

4483 BALLINGER: And then on the graph, I was a little slow to pick
4484 that up. The hydrogen generated didn't depend on the drying
4485 temperature, did it?

4486

4487 D'ENTREMONT: That is what we are seeing for these samples. And
4488 that did surprise us because we anticipated ... we targeted the
4489 220 degrees intending to dehydrate some of that oxyhydroxide.
4490 And we had a characterization sample that was dried alongside
4491 the canister that did show some conversion to boehmite. I'm not
4492 sure why this keeps jumping around. But yes, in this test, what
4493 we were seeing is that it did not seem to be sensitive to the
4494 drying temperature between those two, just to the presence of a
4495 heated drying step.

4496

4497 BALLINGER: And then another question is, you've done the
4498 modeling on this, right?

4499

4500 D'ENTREMONT: INL has done the modeling.

4501

4502 BALLINGER: Well, okay, you meaning the generic you, okay?

4503

4504 D'ENTREMONT: Yes.

4505

4506 BALLINGER: And is there a point ... if you were to take the time
4507 out, like in your test that you're going to do, by the way, I'm
4508 a big fan of heat it and beat it and these kind of tests are
4509 good tests. But is there some point at which the production of
4510 gas and everything would level off and the pressure would be
4511 constant? In theory, there has to be ...

4512

4513 D'ENTREMONT: Yes.

4514

4515 BALLINGER: Because in theory, you get rid of all the water.

4516

4517 D'ENTREMONT: Yes, in theory ... so we do see, first of all, in our
4518 experiments, we consistently see that the highest generation
4519 rates are at the very beginning of the test. And over time, it ...
4520 the generation rate slows to at least some degree. So there's ...

4521

4522 BALLINGER: But you also have a consumption side, right? Because
4523 hydrogen diffuses through that stuff, right?

4524

4525 D'ENTREMONT: There will also be a consumption of the available
4526 hydrogen.

4527

4528 BALLINGER: Well, I mean a loss, not a consumption.

4529

4530 D'ENTREMONT: Okay. That is not something I think that we
4531 factored ... I ... that is not factored into the models, I'm fairly
4532 certain. Diffusion of hydrogen through the canister. But what we
4533 ... what does definitely show up in the models is over time, your
4534 dose rate will be decreasing continually due to the decay of the
4535 fuel. So both the rollover we see in the experimental radiolysis
4536 rates and also the decay of the fuel as the radiation source
4537 term will both tend to drive it to much slower generation over
4538 time.

4539

4540 BALLINGER: Because I still needed to think about the lower two
4541 curves. Because it really says it's not ... the hydrogen generator
4542 is not dependent on the drying technique, the drying
4543 temperature.

4544

4545 D'ENTREMONT: So ...

4546

4547 BALLINGER: which means it comes from ...where?

4548

4549 D'ENTREMONT: When we saw the relative insensitivity to the
4550 temperature here, what we think may be happening is that we
4551 think we may be getting a significant contribution from the
4552 physisorbed water, which is a much smaller amount ... as much
4553 smaller contribution to the water available. But we ... our data
4554 seems to indicate that it breaks down faster when you start
4555 irradiating this. So what we think is going on here is that
4556 unheated vacuum drying, at least at the durations that we've
4557 used, is just less effective at pulling that physisorbed water
4558 off than if you heat it up. But for example, in addition to
4559 these results, there's also been some work done where they
4560 irradiated ... where we irradiated coupons that did not have an
4561 oxyhydroxide film grown on them. So they would only have the
4562 very thin passivation film of alumina.

4563

4564 BALLINGER: Yeah.

4565

4566 D'ENTREMONT: And we still do see hydrogen generation from those,
4567 which we think has to be attributable to the physisorbed water.

4568

4569 BALLINGER: Last question, then I'll stop beating a dead horse.
4570 The HFIR fuel, is that the right fuel to start with? Because
4571 that's going to be very uniform oxide. It's coming right out of
4572 a ... everybody knows what the pH was. It's been at a uniform
4573 temperature. Is that way different than the stuff that's in the
4574 basin?

4575

4576 D'ENTREMONT: So, we have looked at some oxides from fuel that
4577 came out of L-Basin. INL has also looked at some from ATR fuel.
4578 The items we've looked at in terms of the oxide thickness, I
4579 don't ...I think were on par or lower than the oxides that have
4580 been reported for oxide thicknesses from HFIR fuel elements.

4581

4582 BALLINGER: I'm searching for something that would make your
4583 experiment invalid.

4584

4585 D'ENTREMONT: Yeah, I can see you're trying very hard.

4586

4587 BALLINGER: And I haven't found it. I mean, these experiments are
4588 really fantastic, but sometimes they cover.

4589

4590 D'ENTREMONT: So the ... part of the difficulty is the oxides we
4591 have characterized are primarily taken from things like this
4592 MURR cropping, because that is what is ...has been feasible to
4593 pull out of the basin and do characterization on for us. Stuff
4594 like this cropping is from the end of the fuel, and so it may
4595 not represent the highest oxide loadings. We did go back to ...We
4596 did a report doing a literature review looking specifically for
4597 oxide thickness data. And I tried to look for any data I could
4598 find that did basically profiles of the oxide thicknesses along
4599 elements to try and get better data for the distribution and the
4600 average. That is where the HFIR data that I'm working with came
4601 from. They do find that the oxide thicknesses tend to peak near
4602 the middle of the plates. From the data I found, it seemed like
4603 the HFIR was reasonably representative and one of the reasons we
4604 are interested in HFIR is fuel like ... like ATR fuel from INL is
4605 pre-filmed. They specifically target the boehmite. And we want
4606 to make sure we're testing with a fuel that has a significant
4607 trihydroxide loading, which HFIR seems to fit the bill for.

4608 Because we want to see the impact of things like this drying
4609 method on something that has significant trihydroxides.

4610

4611 BALLINGER: HFIR fuel is going to be shipped dry, right?

4612

4613 D'ENTREMONT: It is. It's a vacuum drying.

4614

4615 BALLINGER: And so it wouldn't ... vacuum dried, and so it would
4616 stay dry all the time. If you were going to put this in dry
4617 storage, you wouldn't go into the pool. You'd just go directly
4618 to dry storage.

4619

4620 D'ENTREMONT: Yeah, that's the intent here. So we do not expect
4621 the vacuum drying for the pilot. We expect to be ... we're
4622 eliminating any moisture that the canister was exposed in the ...
4623 to the ... the canister was exposed to during the loading process.
4624 We don't expect there to be a huge impact from the second round
4625 of vacuum drying. Where we do potentially expect to see impact
4626 is the forced helium dehydration.

4627

4628 BALLINGER: Okay. Thank you. By the way, you used API 579?

4629

4630 ZHU: Yes.

4631

4632 BALLINGER: Not FS1?

4633

4634 ZHU: No, this is same thing, 579 combined with ASME.

4635

4636 BALLINGER: Okay. So, it is the ASME code you're looking at.

4637 You're using the ASME code version.

4638

4639 ZHU: ASME.

4640

4641 BALLINGER: Okay.

4642

4643 ZHU: Yeah, API 579 and combined with the ASME FFS-1, you are

4644 right.

4645

4646 BALLINGER: I got you.

4647

4648 ZHU: Yeah, the same thing, one code combined.

4649

4650 BALLINGER: Thank you. Thank you.

4651

4652 SIU: Lee?

4653

4654 PEDDICORD: Lee Peddicord for the ... from the Board. Question to
4655 Steve Vitto. So first of all, I think what you're doing is
4656 really important in terms of looking out. You're looking a
4657 decade and beyond, and that's really good and something we
4658 probably don't do enough of. So what I wanted to ask, though,
4659 and you're looking at capabilities we might need in the US
4660 government and DOE after this nominal 2034 time frame. So as a
4661 background, we're ... we seem to be looking at this inflection
4662 point for nuclear in the United States, all the things that are
4663 coming along. When Paul Murray was here, we talked about the
4664 idea of SMRs coming along and stuff like that, a whole bunch of
4665 new applications, data centers, non-electric, and so on. You're,
4666 of course, looking at the government programs, DOE specifically.
4667 But what I want to do is encourage you to kind of open the
4668 aperture of the things you're thinking about for the following
4669 reason. Not all these utilizations are going to be in the
4670 private sector. So we have, for example, the Department of
4671 Defense looking at deploying micro-reactors, which are different
4672 kind of beasts. They're the heat pipe, cool reactors, and so on.
4673 And the Navy knows what to do with spent fuel. The Army and the

4674 Air Force, I think, doesn't. And I'm guessing they aren't
4675 thinking about it. So you, although you're leaving the job and
4676 going to NE, as I understand, and so your successor in the
4677 group, I think this would be a good time to think about how the
4678 government, DOE, or maybe in conjunction with DOD, because as I
4679 say, I don't think they probably have this capability.

4680 Certainly, Savannah River is well positioned. And I don't think
4681 it'd be worthwhile to task them to develop the ideas. And I
4682 would further speculate they aren't thinking about it yet. So in
4683 your group that you're doing this, this is why I would like to
4684 encourage you to take this wider look at things down the road,
4685 10 years, 20 years, and so on, and look at a whole variety of
4686 different kinds of technology that seems to be ... seem to be on
4687 the horizons. And how we're collectively, and collectively, I'm
4688 thinking US government, not the private sector, are going to
4689 deal with these. And it looks to me like your group is probably
4690 the only one that might be in a position to think about it. So
4691 think more broadly. Think more creatively, innovatively, and ...
4692 because I think we're going to need your thoughts in laying out
4693 a plan in a decade, in two decades, to respond to this. So I
4694 guess it's not a question, I'm a professor. I like to give
4695 homework assignments. And so your homework assignment, or your

4696 successor in your group, is to get busy on this now, because now
4697 is the time to start thinking about it.

4698

4699 VITTO: So just to address that, thank you for that comment. One
4700 of the recommendations of the Future Receipts Working Group was
4701 to directly towards what you're talking about. Right? It was a ...
4702 later on, it was more of the later stage, right? Implement
4703 something five to 10 years when we know what the outlook looks a
4704 little bit better, right? There's all these encouraging
4705 development of different technologies and things, but nothing's
4706 been licensed, nothing's been ... so once we hit that stage of,
4707 okay, now we see different things coming down the road, I know
4708 that might be not too late, but one of the recommendations was
4709 to look into advanced reactor fuel types and things like that,
4710 in addition to working with NE on the BEMAR group and things
4711 like that.

4712

4713 PEDDICORD: OK, wrong answer, because DOD has placed contracts
4714 with these vendors, BWXT and Oklo and so on. So it's not waiting
4715 for these things to get licensed. Let's get ahead of the game
4716 one time in our collective 70 years of using nuclear and think
4717 about it beforehand. So that's my admonition.

4718

4719 VITTO: Thank you.

4720

4721 SIU: Thank you, Lee. Bret.

4722

4723 LESLIE: I think we'll be bringing Brian Woods on.

4724

4725 WOODS: All right, thanks, Bret. Brian Woods, Board. My question
4726 is for Steve. Steve, you mentioned, you know, the future
4727 receipts working group. I guess one of the observations was that
4728 there's 25 to 30 year capacity for storage, I believe is what
4729 the number was. But you also discussed considering the needs of
4730 other DOE programs. When you're going to put your roadmap
4731 together, there's been discussion off and on. And I think even
4732 in your slides about potential state and local agreements when
4733 it comes to storage. So my question is, are there any external
4734 drivers? You have this long period of time where you have the
4735 storage capacity, but are there any external drivers setting
4736 maybe an earlier date for you all to kind of start, you know,
4737 the post-ABD processing or finishing the post-ABD process or is
4738 it truly really just limited by the ability to store going
4739 forward?

4740

4741 VITTO: So currently, I would say that for Savannah River Site,
4742 no, there's not any external drivers. We do ... we are confident
4743 in L-Basin's ability to maintain safe and secure storage. If
4744 you're looking at DOE-wide as a whole, there are some drivers
4745 with, let's say, Idaho with the current restriction on sending
4746 fuel. So the working group was a DOE program-wide effort. So NE
4747 had a recommendation for addressing some university reactor fuel
4748 needs that are destined to go to Idaho. So they're running into,
4749 I think it was mentioned earlier today, some NRC fissile content
4750 limits at certain TRIGA reactor sites that are destined to go to
4751 Idaho eventually if that, you know, pathway would open up. So
4752 we're trying to figure out as a whole, as a department, other
4753 avenues to address those issues at the specific universities. So
4754 that would be one driver that may not associate with Savannah
4755 River, but with Idaho.

4756

4757 WOODS: Okay. Thanks.

4758

4759 SIU: Nathan Siu, Board. this is also for you, Steve. And it's
4760 very prosaic. You mentioned the aging infrastructure. Could you
4761 just mention some of your top challenges there?

4762

4763 VITTO: So some top challenges. So when I'm talking about that,
4764 I'm not talking about maybe at the site level of, you know,
4765 specific day-to-day operations on more long-term efforts, right?
4766 So our plan for at least in the near-term is to have a tasking
4767 with the Savannah Fuel Working Group in order to establish a
4768 strategy for how we're going to DOE-wide take this on, a
4769 strategy for a plan, and then we're going to try and implement
4770 that plan at the sites going forward. So that would influence,
4771 you know, any potential ... if we have a need for any potential
4772 processing needs or anything like larger term projects, things
4773 like that, that holistically we can look at. And then we'd also
4774 go down to the site level on priorities in certain timeframes is
4775 the idea. So no, yeah, don't want to, you know, shortchange the
4776 site needs for addressing, you know, infrastructure needs and
4777 maintenance on a day-to-day basis, but it'd be a more long-term
4778 effort associated with that strategy planning for future.

4779

4780 SIU: Great, thank you. Dan.

4781

4782 OGG: Dan Ogg with the Board staff. Can we go to Steve's slide on
4783 mine it says 12, but the title is infrastructure strategy. Yeah.

4784 And Steve, I don't think you spent a lot of time on this, but
4785 the last main bullet and the sub-bullet underneath there is
4786 where the source of my question comes from.

4787

4788 VITTO: Okay.

4789

4790 OGG: And I'll summarize or even read the bottom sub-bullet just
4791 to get the context here. So this is your long-term strategic
4792 plan, if you will, for spent fuel. Applies to the spent fuel
4793 being packaged at Savannah River Site, at Idaho, at Hanford. And
4794 your goal or your strategy here is that the material is packaged
4795 in a form that can be readily be placed in configuration that's
4796 applicable for transportation requirements and applicable
4797 disposal requirements without the need to reopen or repackage.
4798 Can you talk about this a little bit more, especially the phrase
4799 applicable disposal requirements? Are you or the DOE
4800 headquarters, other DOE headquarters folks, looking at those
4801 requirements now and applying those to the Idaho packaging
4802 project and are you applying the Yucca Mountain disposal waste
4803 acceptance criteria or some other criteria or is there something
4804 new to be determined?

4805

4806 VITTO: Yeah, I'll do high level and then I think you're going to
4807 get it definitely in the next presentation they're going to talk
4808 about that, too. So if I don't answer it, or if they want to
4809 speak as well. But yeah, what we're referring to is applicable
4810 transportation requirements and things like that part 71, 10 CFR
4811 71, 72 for storage and transportation requirements. And then our
4812 current planning is we have to plan to something so we plan to
4813 what we currently have with the Yucca Mountain waste acceptance
4814 system requirements documentation for disposal requirements. And
4815 we have a MOU that was with ... that's currently with EM and NE
4816 when Office of Civilian Radioactive Waste was active, and they
4817 have since transitioned over so we have a planning document MOU
4818 that establishes that, that's what we will plan to until we have
4819 a different requirement too.

4820

4821 OGG: Okay. Maybe I'll save follow-up questions for the next
4822 presentation.

4823

4824 VITTO: Yeah, they'll go into it for the ... specific for the dry
4825 storage project.

4826

4827 OGG: Okay. Thank you.

4828

4829 VITTO: Or excuse me, the packaging demonstration project.

4830

4831 LESLIE: Bret Leslie, Board staff. And I've got two questions.

4832 I'll ...first one is for Steve and kind of having worked at NRC

4833 and kind of know how they license things that get older and

4834 older, you know, on the reactor side they have the license

4835 renewal and their aging management requirements and they license

4836 for a specific time window and then there's a subsequent renewal

4837 and then there are additional aging management requirements. Can

4838 you describe the process that DOE uses? Is it formalized as, you

4839 know, we're we think this facility is good for another 40 years

4840 because we've done the aging management and this is everything

4841 we'll need to do?

4842

4843 VITTO: Yes, that might be out of my wheelhouse but I know there

4844 are ... so specifically what I could talk to is I know there's

4845 been studies associated with structural integrity at L-Basin for

4846 the life, so we have estimates of when that's been deemed, you

4847 know, a safe environment for the structural elements of that, so

4848 we use that as a planning basis, things like that, but I'm not

4849 sure exactly.

4850

4851 LESLIE: So let me expand it a little bit more. I felt the
4852 uncomfortableness with talking about alternatives earlier on,
4853 you know, what's moving forward, but you also have to have it in
4854 terms of a timeline, okay? If we need the capability for 40
4855 years, you need to compare the technology development, the aging
4856 management, the actual facility cost for those and so that's
4857 kind of why I was asking this question is unless you guys at the
4858 staff level kind of know what am I supposed to be assessing to,
4859 right? As a geologist, we hear bring us another rock, right? You
4860 know, well, tell me what kind of rock you want and I'll bring it
4861 to you. So anyway, that's kind of what this question's about and
4862 I don't know whether the Spent Fuel Working Group has the
4863 necessary information, constraints to do the analysis to
4864 evaluate the alternatives. Maybe it's not a question, but it's
4865 an observation.

4866

4867 VITTO: Okay, thank you.

4868

4869 LESLIE: So I'll go back to Ron's question, which I'll make it a
4870 little broader and it's probably for Anna, which is he focused
4871 on the aluminum fuel. So if you look at our lovely report, it

4872 has some really nice stuff in it and in the sense that it
4873 describes all the fuel and these are grouped by how they were
4874 going to be disposed of at Yucca Mountain. They did all the
4875 criticality analysis. So if you look at their SRS heavy water
4876 components test reactor, which I think is non-aluminum spent
4877 fuel that's going to be hard to process, that's going to be if
4878 you were to package. It's not just that that goes into the
4879 package. It would also be the advanced neutron absorber plus
4880 supplemental shot. So that's what would be packaging. So kind of
4881 big picture, have you identified the technology development for
4882 all the fuel that would need to be packaged for ... if packaging
4883 was your strategy? Do you have the roadmap and identify for all
4884 the fuel? This is all the technology we would do. In a way, it's
4885 similar to what they have to do for the ABD.

4886

4887 D'ENTREMONT: That is not something that the work I'm involved
4888 with has looked at. The ... we've been focused on the aluminum
4889 clad. There has been some ... I mentioned in my talk that we're
4890 not planning to ... we're planning to match the geometry of the
4891 HFIR basket but not incorporating neutron absorbers. So in terms
4892 of like the develop ... the model development, incorporating
4893 something like a specific neutron absorber, we would need to

4894 know what neutron absorber we need to focus on. You heard
4895 earlier that they're still looking at neutron absorbers. And
4896 then the question from my perspective would be, we need to look
4897 at, what is that material? Do we have a reason to expect that it
4898 would affect the radiolysis of physisorbed water differently
4899 than the other components? So that we can know, do we need to
4900 run a test for that material in order to incorporate the model?
4901 Or do we just ... can we account for it using the data we already
4902 have? So from my perspective, that's how you would go about
4903 adding those materials. But I have not looked at stuff related
4904 to other fuels.

4905

4906 LESLIE: Okay.

4907

4908 VITTO: So we, I believe in 2012 there was also a dry packaging
4909 study that was done at Savannah River Site. So I'm not sure if
4910 the ... did it ... if it had that amount of detail because I'm not
4911 as familiar with it. But we definitely have to use that or that
4912 type of methodology to investigate if that's a viable path going
4913 forward, right? So addressing the failed fuel, how are you going
4914 to go down that path? Similar to what you just mentioned with
4915 ABD, what they're doing with having to isolate and things like

4916 that. If that's the decision made, yes, of course, that has to
4917 be done.

4918

4919 LESLIE: Well, let me test you on that. You said once a decision
4920 is made, and what ... did I hear that right? You would have to go
4921 down that path and figure things out after a decision is made?

4922

4923 VITTO: Well, I mean, if you're going to ... so right now we're in
4924 the process of determining the path forward. So yes, if that's a
4925 decision that's made that we're going to just dry store, then of
4926 course, yes, that's what we're going to do. But there's been
4927 analyses that have been done in order that we'd use to help our
4928 decisions.

4929

4930 LESLIE: We'll make sure we have that 2012 report. Thanks, Steve.

4931

4932 SIU: Do I have any other questions from the Board or staff?

4933

4934 JUNG: Well, I have two questions. The first one ...

4935

4936 SIU: Andy, could you introduce yourself, your name?

4937

4938 JUNG: Oh, I'm Andy Jung... Hundal Jung, the NWTRB staff. I have
4939 two questions. The first one is for drying. I think your
4940 experimental plan and also the pilot test concept could be very
4941 useful for the commercial spent nuclear fuel cladding to
4942 evaluate residual water, to estimate, also, the potential
4943 impact. Is it ... have you been collaborating with NE-8 or
4944 Zircaloy Cladding Group?

4945

4946 D'ENTREMONT: We do have some work that has been done for NE-8, a
4947 different project. We ... that started with ... we did in ... a
4948 theoretical evaluation for the high burnup demo cask, which they
4949 only had a few gas sample measurements very early on. But we
4950 were doing an analysis to figure out whether we thought
4951 radiolysis was a potential explanation for the hydrogen results
4952 they saw. And as a follow on from that, we have had a small
4953 scale project to test some zirconium samples in the mini-
4954 canister setup that I showed for the aluminum, or a very similar
4955 setup.

4956

4957 JUNG: So your pilot, the test facility or so can be utilized for
4958 the commercial, the Zircaloy cladding, too?

4959

4960 D'ENTREMONT: A similar monitored canister could potentially be
4961 done. I ... that's not something that I've been involved in any
4962 discussions for. But there's no reason that the same concept
4963 couldn't be applied. The high burnup demo cask already did
4964 temperature measurements for storage of a canister of fuel for
4965 the zirconium clad. So I don't know if there is an intent to
4966 carry out any future work with the gas sampling over the
4967 monitoring period.

4968

4969 JUNG: Yeah, it'll be very useful, very helpful, valuable data
4970 for the Zircaloy cladding, utilizing your ... the pilot test
4971 concept.

4972

4973 D'ENTREMONT: I think the concept would be equally applicable.

4974

4975 JUNG: Yeah.

4976

4977 D'ENTREMONT: I'm not aware of plans to do that at this point.

4978

4979 JUNG: For the fracture mechanics, do you also consider for
4980 dynamic the mechanical structural integrity during
4981 transportation can be experienced for some shock and vibration

4982 can be an effect to the spent fuel ... the canister, for standard
4983 canister, too? So not only for the storage condition, it's a
4984 transportation. It's also considered for future study.

4985

4986 ZHU: Thank you for this question. I could join in the ... do you
4987 support an integral assessment specific for the drop test
4988 company, the Idaho. They have done many different tests that
4989 show this integrity concern. It's not a problem for that
4990 dynamical impact. For our study, I did not show yet. I just show
4991 the normal loading condition and the combined with residual
4992 stress. I also have called accident, as you mentioned, potential
4993 drop or vibration caused the accident loading, and accident
4994 loading combined with residual stress. So both ... that's total
4995 cost of four situation, the loading condition. So all loading
4996 conditions, the postulated crack are stable, and the safety
4997 condition is not a problem for DOE standard canister. Thank you.

4998

4999 JUNG: Okay, thank you.

5000

5001 LESLIE: Bret Leslie, Board staff. One more for Anna. It's ...
5002 enjoyed and learned from the tour yesterday, but it's kind of a
5003 follow up question. And I know the Spent Fuel Working Group has

5004 done a really good job in terms of integrating across the
5005 complex, but I think maybe I'm not familiar enough with it. But
5006 is the condition of the non-aluminum SRS spent fuel, like the
5007 Hanford K Basin spent fuel, in a sense that they went through
5008 this drying process? And what lessons did they learn? And how
5009 can they be translated or transported, so to speak, to Savannah
5010 River? And inform ... and maybe it's to Steve too, inform kind of
5011 the decisions for packaging.

5012

5013 D'ENTREMONT: I think some of my colleagues are more familiar
5014 with the ... with that work than I am.

5015

5016 LESLIE: Please make sure you identify yourself.

5017

5018 CHUNG: Yes, this is Tam Chung, Savannah River National
5019 Laboratory. We are definitely utilizing that. So right now we
5020 are leveraging the Hanford characterization data for our grading
5021 scale model. So we're trying to use SRS records and the
5022 characterization of the K Basin uranium metal to be applied to
5023 our metallic uranium zirconium alloy. That is very relevant to
5024 us so that we can be able to develop models for the reactive
5025 surface areas and then project estimates for radiolysis,

5026 hydrogen generation for transportation, processing, and
5027 potential disposal through dry storage. Yes, definitely
5028 leveraging existing literature.

5029

5030 THERRELL: I just want to add from a ... James Therrell, EMO. Just
5031 want to add from a program standpoint, that technology is
5032 proven. We, you know, Hanford executed it. We know it's very
5033 costly. So we want to have alternatives, but we want to lean on
5034 that information like Tam just mentioned. But ...we could go out
5035 and spend a bunch of money and get that capability and do
5036 exactly what Hanford did. That technology is a high TRL. But we
5037 obviously want to optimize and maybe do it cheaper.

5038

5039 LESLIE: Here I thought we were going to have an early break.
5040 This is Bret Leslie, Board Staff. So also in Hanford there was
5041 one multi-canister over pack that was packed with aluminum clad
5042 metallic uranium. Is that information playing into your drying
5043 stuff?

5044

5045 D'ENTREMONT: I believe that is part of the information set that
5046 I've reviewed in the past. I don't recall any specifics that

5047 have been utilized in our current work, but I'd have to go back
5048 and look more at that.

5049

5050 SIU: Okay. Thanks for your patience. Despite our best efforts we
5051 didn't fill up all the time. Thanks to Kiran again for giving us
5052 the huge margin. So, we will break and reconvene at 3:15. Thank
5053 you.

5054

5055 [Break]

5056

5057 SIU: I have 3:15. So our next presentation is by Steve
5058 Wahnschaffe, Idaho.

5059

5060 WAHNSCHAFFE: Good morning, Board. I'm Steve Wahnschaffe. I'm the
5061 Spent Nuclear Fuel Manager for INTEC for Environmental
5062 Management Office. Nick Balsmeier, my boss, was supposed to be
5063 here with me, but he unfortunately had a family emergency,
5064 wasn't able to make it today.

5065

5066 So, I'm going to give a quick overview of the Idaho Spent Fuel.
5067 Basically, Idaho consists of three offices that manage fuel. The
5068 first one, the one I work for, the Office of Environmental

5069 Management, the manager for that is Mark Brown. The manager for
5070 the Idaho Cleanup Project. The next, Office of Nuclear Energy. I
5071 should say EM basically covers the Idaho Nuclear Technology and
5072 Engineering Center, which we call INTEC and which I will be
5073 calling INTEC because basically I'm used to it. So, the Office
5074 of Nuclear Energy, their main facility is the Materials and Fuel
5075 Complex. That's where they store fuel. And the last one is the
5076 Naval Nuclear Propulsion Program. And basically, their facility
5077 is in NRF.

5078

5079 So basically, what Idaho, this is basically a grouping of the
5080 fuels we store. Basically, we have about 287.4 metric tons heavy
5081 metal. Various categories that we store, 1 through 6. And I'm
5082 saying that the number does not include the amount at the Naval
5083 Nuclear Propulsion Program. They have about 41 metric tons heavy
5084 metal at this time. And, of course, they're always receiving
5085 more.

5086

5087 If we break up the non-Navy fuel this would be the number of
5088 canisters we have. Basically, we have various sizes. The sizes
5089 were when the repository first came along, we were going to co-

5090 mingle Department of Energy's fuel with the high-level waste
5091 glass. And that's where the different sizes came from.

5092

5093 So, the Office of Environmental Management, we basically have
5094 six facilities that we can talk about. The first one, CPP-603 -
5095 it's the one everyone shows. It's the second one from the left.
5096 That's the storage area for 603. So, it's dry storage. The next
5097 one's 2707. That's our cask pad. 749 would be the third one from
5098 the left. That's underground storage. Fort St. Vrain, the one at
5099 the top, that's where we're storing the fuel at the reactor
5100 area. The final one is TMI-2 where we're storing the core
5101 debris.

5102

5103 The Department of Nuclear Energy. They basically have three
5104 facilities that we're talking about: MFC-771, which is the
5105 Radioactive Scrap Waste Facility; MFC-785, which is the Hot Fuel
5106 Examination Facility; MFC-765, which is the Fuel Conditioning
5107 Facility.

5108

5109 Naval Nuclear Propulsion Facility has four facilities: the
5110 Expanded Core Facility; Spent Fuel Packaging Facility; Overpack
5111 Storage Building; and Cask Shipping and Receiving Facility.

5112

5113 We're in the - we call it the Spent Fuel Staging Facility. It's
5114 a new DOE 413 project. We had Critical Decision 0 approved May
5115 20, 2021. We're still working on Critical Decision 1. We're
5116 hoping to have that approved second quarter of fiscal year 25.
5117 Basically, this is where we want to place our fuel in road ready
5118 storage.

5119

5120 When we were doing CD-0 for the Idaho Staging Facility we were
5121 directed from both Congress and EM1 that we needed to have an
5122 integration spent fuel management plan that covered all the
5123 offices at Idaho, which I think that just makes sense, you know.
5124 So basically, the plan, I'll go to the second bullet is to
5125 strategize and establish a road-ready dry storage packaging
5126 configuration capability, integrate with expertise of federal
5127 and contract personnel from the three distinct SNF program
5128 offices. And the fourth one's the one that I think this makes
5129 sense, it says effectively use existing resources and
5130 facilities. So that's what we've been directed to do and that's
5131 what we're going forward with.

5132

5133 So, here's some of our big assumptions. People might disagree
5134 with these, but the first one is, you know, a repository. We
5135 don't foresee that within - probably not my lifetime. So, we
5136 have to look at decades from today's date. Now, Road Ready
5137 Packaging Strategy is being established. Our SNF can be packaged
5138 into DOE standard canisters. And then it says an over-canister
5139 using various basket designs. DOE SNF are assumed to not - so
5140 we're assuming not to begin shipping for 2055.

5141

5142 We're saying when DOE order 435 gets issued we're assuming that
5143 we can decrease our volume, may decrease our volume by about 53
5144 metric tons heavy metal. Most of that is the blanket material
5145 that we're storing as spent nuclear fuel. And basically, we have
5146 a small volume that we think will require conditioning. Most of
5147 that is epoxy, fuel that has epoxy and sodium fuel. And then the
5148 big one for TMI-2. We think that TMI-2 is in road-ready
5149 condition already so we will not be repackaging that.

5150

5151 Our proposed path forward. Identify potential funding needs and
5152 sources. Identify facilities and infrastructure upgrades and
5153 modifications needed to support the SNF packaging demonstration
5154 effort. Further assist integration opportunities among the three

5155 programs. Define what road-ready means. We all have our ... we all
5156 know what we think it means, but we want to put it out there. We
5157 want to actually define it. Develop proposed regulation
5158 compliance frameworks. Create disposition strategies for non-SNF
5159 materials. And evaluate staging facility to progress from CD-1
5160 for DOE-owned fuels.

5161

5162 Here's basically our ongoing activities. Routine maintenance,
5163 surveillance and materials of facilities at INTEC and at Fort
5164 St, Frain. Continue ATR receipt. We still receive the spent fuel
5165 from ATR and we're transferring some fuel from first generation
5166 to second generation vaults in CPP-749. It's Peach Bottom fuel.
5167 We've had it for about 50 years. We think it's time to move it
5168 to a better storage condition. Naval Nuclear Propulsion Program
5169 continues to package and store Navy SNF in its road-ready
5170 condition. And then DOE, EM and NE are on a road-ready
5171 demonstration program. Facility upgrades to CPP-603 to support
5172 the road ready demonstration. And then EM as I said has approved
5173 a capital storage at our staging facility. So, we want to
5174 progress on that.

5175

5176 And I'm saying this slide ... this slide is what the next
5177 presentation's basically going to talk about is a road-ready dry
5178 demonstration, packaging and storage. Basically, we're using the
5179 DOE standard canister. It's going to be done in CPP-603. The
5180 first fuel that we plan on packaging is the Fort St. Vrain fuel
5181 in CPP-603. A number of reasons for that. There's a bunch of it.
5182 It should keep us busy for at least 10 years after we
5183 demonstrate we can do that.

5184

5185 So, we're working with NE on basically fuel loading, fuel
5186 baskets and equipment. NE is working on the remote welding
5187 development for the canisters, and fuel conditioning to support
5188 the interim storage. And with that ... I'm quick, so ask me a lot
5189 of questions, please.

5190

5191 SIU: Thanks, Steve. Okay. Do we have questions? No?

5192

5193 WAHNSCHAFFE: I knew Bret had one.

5194

5195 LESLIE: Yes, Brian doesn't have any questions for this
5196 presentation. Bret Leslie, Board Staff, by the way. Thank you,
5197 Dean. So, if you back up to two slides, I guess. Right there.

5198 So, I don't think Steve Kamas joined us today. I thought he was
5199 going to. Talking about naval spent nuclear fuel. And I'm not
5200 sure I appreciate ...

5201

5202 WAHNSCHAFFE: I'm not going to answer any of those questions.

5203

5204 LESLIE: I know. But this goes to the heart of it. It's road
5205 ready or disposal ready? And so, the Navy has continued to
5206 package its fuel, according to the waste system acceptance
5207 criteria, so that it's disposal ready, in addition to being road
5208 ready for transportation off site. So, in your "road-ready" for
5209 the DOE-EM is it going to be disposal ready?

5210

5211 WAHNSCHAFFE: I would think that's what the definition is going
5212 to end up going to - disposal ready.

5213

5214 LESLIE: So, there are two aspects of the disposal-ready. One is
5215 how does it get transported from the site to a repository,
5216 because a repository had a certain design and assumed certain
5217 things.

5218

5219 WAHNSCHAFFE: Correct.

5220

5221 LESLIE: For instance, that DOE standard canisters would not be
5222 in welded canisters for storage or for transportation.

5223

5224 WAHNSCHAFFE: Correct.

5225

5226 LESLIE: Okay. So that's ...

5227

5228 WAHNSCHAFFE: So, yes. And I should say, you know, we have great
5229 Congressional people in Idaho and one of the first things they
5230 did is they said we want you to do what the Navy's doing. And we
5231 said, okay, we can do that. And then we have Congressional
5232 language that told us to go that direction too. So, we're
5233 supposed to use a multi-purpose canister, which we call the over
5234 pack for the DOE standard canisters. So that's what started this
5235 off. What we understand you know we were going to comingle with
5236 the high-level glass, there's going to be a packing facility at
5237 the repository. Right now there's not going to be a repository.
5238 From what NE-8 said today that they're looking at an interim
5239 storage facility. I don't think that's going to have a packaging
5240 - the ones that are trying to be licensed now they don't have a

5241 packaging capability there. So, we'd have to go someplace where
5242 there's not a packaging capability.

5243

5244 LESLIE: A follow up. Bret Leslie, Board staff. Do you recall
5245 where that guidance was? Was that in appropriation language?

5246

5247 WAHNSCHAFFE: Yes, it was.

5248

5249 LESLIE: Do you remember which year?

5250

5251 WAHNSCHAFFE: Yeah, it was 21.

5252

5253 LESLIE: Okay.

5254

5255 WAHNSCHAFFE: 2021.

5256

5257 Bret Leslie: And it was specific to package in an MPC?

5258

5259 WAHNSCHAFFE: Yes, it was. I can get that to you if you want?

5260

5261 LESLIE: Right. So, the DOE standard canister is an MPC.

5262

5263 WAHNSCHAFFE: No. The DOE standard canister is the DOE standard
5264 canister. A multi-purpose canister has things packaged inside.
5265 So, we'd say ... so that's where we're going with. A multi-purpose
5266 canister is basically what the commercial fuel does, is using,
5267 or what the Navy is using to package their fuel in. So, our
5268 multi-purpose canister will have ... right now in the next
5269 presentation we're planning on putting seven DOE standard
5270 canisters in a multi-purpose canister.

5271

5272 LESLIE: Nathan? Board question, online. Bret Leslie now asking a
5273 question on behalf of Board member Steven Becker. Thanks for a
5274 nice presentation. A lot of activities that you spoke about
5275 could be of interest to members of the public. What role do you
5276 see for public communication in relation to your activities? Who
5277 will be doing it and what challenges do you anticipate?

5278

5279 WAHNSCHAFFE: I'm not the person to answer that question. I'm
5280 more of a technical person. So, I mean, right now we do have a
5281 communications specialist, and we do keep our stakeholders
5282 involved in this. Outreach, we would go to Jomaries or Paul
5283 Murray for communicating what we're doing. I don't know if
5284 Jomaries wants to answer that for me.

5285

5286 OGG: Dan Ogg with the NWTRB staff. You mentioned the Idaho
5287 integrated spent nuclear fuel strategic plan or management plan.

5288

5289 WAHNSCHAFFE: Correct.

5290

5291 OGG: And that ties very much to the road-ready dry storage
5292 project. I assume it also needs to interface with or line up
5293 with the Idaho Settlement Agreement.

5294

5295 WAHNSCHAFFE: Correct.

5296

5297 OGG: So of course you have many, many stakeholders very
5298 interested in that plan. When do you expect that will be
5299 available for the stakeholders to see? When do you think it may
5300 be released?

5301

5302 WAHNSCHAFFE: I'm not going to go there. It's a long drawn-out
5303 process. So not only does my office have to concur, we have two
5304 other offices to concur on the plan. And then we have the
5305 lawyers involved. So, it's been a drawn out process.

5306

5307 OGG: Okay. Thank you.

5308

5309 LESLIE: Mike, can you bring Nick Balsmeier onto the stage? I
5310 think he wanted to help answer.

5311

5312 WAHNSCHAFFE: I'm glad he's there.

5313

5314 LESLIE: That was Bret Leslie, Board staff. We're bringing, Nick
5315 we're bringing you to the stage.

5316

5317 BALSMEIER: Alright. Good afternoon. Can you hear me now?

5318

5319 LESLIE: Yes, we can.

5320

5321 BALSMEIER: Okay. Yeah, to give Steve some assist. Again, like he
5322 said, sorry, I can't be there. My son had quite the dislocation
5323 of his shoulder Friday night in a football game. So, we've been
5324 spending the weekend, MRI booths and other doctors'
5325 appointments. But in regards to the spent fuel management plan
5326 EM and NR have both concurred on that. We're working through the
5327 process to get it released. And if Mr. Murray's there I'll let
5328 him speak on behalf of NE on the status for NE's concurrence.

5329

5330 LESLIE: Unfortunately, Paul's not here. Bret Leslie, Board
5331 staff.

5332

5333 BALSMEIER: Okay. So as of this time NE is non-concurred on that
5334 plan. We're working with them to get through some of the
5335 technical issues and get that released out to the public as soon
5336 as possible.

5337

5338 LESLIE: Thank you, Nick. That was very helpful.

5339

5340 LESLIE: Bret Leslie, Board staff. And again, too bad Paul's not
5341 here. But Bill Boyle is from his staff. Okay, you'll be in the
5342 record. So, under the generic repository R&D program basically
5343 they evaluated commercial spent nuclear fuel and the potential
5344 for post-closure disposal criticality. And so, there are three
5345 kind of main rock types. You could have a repository in salt,
5346 you could have a repository in argillite or shale, or you could
5347 have a repository in crystalline rock. And that could even be
5348 something like Yucca Mountain, because tuff is a crystalline
5349 rock. What Oak Ridge found was that the most limiting, in other
5350 words, the one that had the highest probability for criticality

5351 was Yucca Mountain, basically. And that's because it was
5352 unsaturated, low chloride content.

5353

5354 So, from a disposal standpoint if you package to meet what was
5355 in the waste system acceptance requirements document for Yucca
5356 Mountain. Then DOE spent fuel in its individual DOE standard
5357 canister would be from a criticality case standpoint okay for
5358 the other ones. If it met for Yucca Mountain, it would be okay
5359 for the other ones. So, I'm going to come back to you indicated
5360 that the DOE standard canister would be packaged with whatever
5361 is required for disposal. Is that correct, in terms of neutron,
5362 advanced neutron materials, gadolinium shot, lead shot or iron
5363 shot? Because there are like 214 canisters or DOE standard
5364 canisters at Idaho that would need that supplemental material. I
5365 guess my question is, is that still the plan?

5366

5367 WAHNSCHAFFE: Could be the plan. So basically, what the plan is
5368 is we're going to address each fuel type as they come up. So
5369 right now we have study packaging Fort St. Vrain fuel. And
5370 that's the only one I would even care to go further on.

5371

5372 LESLIE: Thanks.

5373

5374 BALSMEIER: So this is about ... the Fort Saint Vrain fuel that we
5375 have analyzed will allow us to package for about 10 years, maybe
5376 a little longer. So that will give us the time to further
5377 evaluate the additional fuels as we go forward.

5378

5379 LESLIE: So ... this is Bret Leslie, Board staff. Nick, you're the
5380 one who's probably going to have to answer this. So how long
5381 would it take ... well, two part question. How many canisters of
5382 the 2,000 that Steve showed would be the Fort Saint Vrain fuel?
5383 And then how long in total would it take you to package all
5384 2,000 packages that Steve showed? Uh oh, he's frozen.

5385

5386 BALSMEIER: I'm back.

5387

5388 LESLIE: Did you hear the question?

5389

5390 BALSMEIER: I think so. So, the first question was how many of
5391 the standard canisters would be for Fort Saint Vrain.

5392

5393 LESLIE: Correct.

5394

5395 BALSMEIER: I don't have that off the top of my head. Will, who's
5396 probably in the audience, or Bill Kirby may be able to give you
5397 an answer on that. But for the second part of the question how
5398 long would it take us to package all of the fuel in Idaho? I
5399 would say into my grandkids' lives. I think you're looking 50
5400 plus years minimum to package all of the fuel.

5401

5402 KIRBY: So I'll give a little bit more context for Fort Saint
5403 Vrain. Bill Kirby, Senior Director of Liquid Waste and Fuels for
5404 IEC at Idaho. We have about eight and a half metric tons of Fort
5405 Saint Vrain fuel in Building 603, so seven times eight, 25 or so
5406 DOE standard canisters. You know, what we've discussed, you
5407 know, based on budgets and where we think we'll be going is if
5408 we could do a few packages a year that would be, you know,
5409 something we could manage. We believe we could get it through
5410 the facility. Remember this is coming out of 603's the dry, dry
5411 storage area that you saw in some of the pictures, and Will will
5412 cover this and go through the whole process.

5413

5414 So there is a series of weldings that have to happen between the
5415 DOE SC's [standard canisters] and transfers of the cask and
5416 canister assemblies in and out of the fuel storage area or the

5417 fuel handling area. So, say something around there, about 25 DOE
5418 SC's and, you know, a few, a handful, towards 10 years. Like
5419 six, seven, probably seven to 10 years.

5420

5421 LESLIE: Thank you. Bret Leslie, Board staff.

5422

5423 SIU: Okay. I think we don't have any more questions. Thank you
5424 very much, Steve.

5425

5426 WAHNSCHAFFE: You're welcome.

5427

5428 SIU: And thanks also, Nick.

5429

5430 BALSMEIER: Thank you. And next time I'll try to be there in
5431 person. Appreciate you guys accommodating us.

5432

5433 SIU: Can't predict everything. Okay, last speaker today is Will
5434 Anderton, Idaho.

5435

5436 ANDERTON: Thank you. Yeah, as you just mentioned, my name's
5437 William Anderton. I work for the Idaho Environmental Coalition.
5438 I'll just start giving a brief introduction. Today on the agenda

5439 I'm going to be primarily focusing on infrastructure upgrades on
5440 our existing facility, and I can maybe briefly talk about other
5441 infrastructure needs and then I'll be providing some more detail
5442 on the packaging process and any other residual questions that
5443 haven't been answered thus far for this road-ready demonstration
5444 project.

5445

5446 So just for those of you who are not familiar who are
5447 participating in the meeting today, the INL site is located in
5448 eastern Idaho. Currently the site is divided into three
5449 different contracts. One of those is the Idaho Cleanup Project,
5450 which is managed by the Office of Environmental Management and
5451 Idaho Environmental Coalition is the contractor for that
5452 contract. And in the red box on the map, you'll see highlighted
5453 the Idaho Nuclear Technology and Engineering Center. Steve
5454 Wahnschaffe referred to that as INTEC. That is where the
5455 packaging demonstration will be taking place.

5456

5457 Specifically at INTEC there's a facility called CPP-603. I think
5458 I've failed to put this acronym in the acronym's list in the
5459 supplemental slides. So CPP stands for Chemical Processing Plant
5460 in the old times - I shouldn't call them the old times - but

5461 formerly it was called the Chem Plant. The purpose of INTEC was
5462 to recover uranium from aluminum clad spent fuel from all the
5463 various test reactors that were on the site. So, this building
5464 was built to be a storage facility, a wet storage facility in
5465 the 50s. There were three storage basins. They're no longer in
5466 use. They've been grouted over. And then a dry storage facility,
5467 known as the Irradiated Fuel Storage Facility, IFSF, was added
5468 between 1972 and 1974.

5469

5470 I don't have a laser pointer, but I'll just kind of describe.
5471 You can see the long truck bay going right in the middle of the
5472 picture. Everything to the left of that is the old facility for
5473 wet storage. And then the large white concrete structure to the
5474 right is the IFSF. And that was primarily built to facilitate
5475 storage of Fort Saint Vrain fuel and Peach Bottom fuels, which
5476 are high temperature gas reactor type fuels. And so this is
5477 where we're planning to do the packaging demonstration.

5478

5479 I know we've had a lot of discussions thus far about what does
5480 road-ready mean and is it disposal-ready? This is what the exact
5481 definition of that is still being determined and discussed
5482 between the Office of Environmental Management and NE. But this

5483 is where we conceptually would like this project to go and what
5484 we would like it to achieve. So, we'd have four Fort Saint Vrain
5485 elements per standard canister. Several of those packaged inside
5486 of the commercial multi-purpose canister. And then conceivably
5487 that will use a commercial transport cask in existence with some
5488 modification of course.

5489

5490 And then on the far right of the diagram is well beyond the
5491 scope of the demonstration project, but eventually that
5492 transportation package could be utilized for transporting the
5493 spent fuel to a consolidated staging facility or a repository
5494 when one opens up. So, the point of this slide is we want
5495 transportable and disposal ready. That's what we want.

5496

5497 So, the exact scope of the project. We're going to make our
5498 needed infrastructure and facility modifications to 603. We're
5499 going to develop, we're going to work with a commercial vendor
5500 to develop the transportation package. The INL, Battelle Energy
5501 Alliance is helping us out with the standard canister closure
5502 technology. So, they're developing the weld machines, the
5503 apparatuses for leak testing and conditioning and so forth. And
5504 then we will also be working on the development of a data

5505 package, which would support disposal efforts in the future.
5506 That data package will be based off of the Yucca Mountain WASRD
5507 requirements. And then physically at the end of the
5508 demonstration project we will have a single cask, a
5509 transportation cask with one MPC and seven DOE standard
5510 canisters. So that's the physical outcome of the project.

5511

5512 Then we move into a little bit of the facility modifications. I
5513 will have some pictures here in a minute. I apologize for all
5514 the bullet points. We have a new cask insert that we need to
5515 install. I'll explain what that is here in a minute. We have a
5516 west truck ramp in the facility that a few years back we did a
5517 project with BEA on a large cask adaptation capability to bring
5518 in large casks into the hot cell area of the facility. And that
5519 project determined that this truck ramp needed to be filled in
5520 to avoid some of the accident scenario for cask drops and so
5521 forth. So, we're working on that. We have a permanent
5522 containment structure, re-build to do. I'll have pictures of
5523 that here in a minute. We have a variety of different
5524 engineering analysis work in order to update our safety basis,
5525 to show that we are able to do these operations safely. We'll be
5526 upgrading our hot cell camera system to rad-hardened cameras.

5527 We've made it all this time without rad-hardened cameras. But I
5528 don't know if we'll be able to continue that for moving into
5529 these operations. And then there will be a development of other
5530 miscellaneous pieces of equipment to support the process, which
5531 I will not get into today. But that's kind of the overview.

5532

5533 So just a little more detail on some of the things we're working
5534 on right now. On the left here you're going to see a black and
5535 white depiction of the CPP-603 transfer car. The transfer car's
5536 purpose is to move large casks of fuel, shielded casks in and
5537 out of a hot cell. And so, what you're seeing on the right we
5538 call that the large cask insert. This is something that we're
5539 going to bolt on to the bottom of this transfer car that will be
5540 able to hold up to 128 tons. So, 128-ton capable cask. And it
5541 will be able to not interrupt the other missions that we have in
5542 the facility. So, we do have other FRR/DRR shipments. We still
5543 receive ATR direct shipments from ATR. And we want to make sure
5544 that this doesn't interrupt our ability to do that. So, we'll
5545 bolt onto the bottom and be able to allow us to bring those
5546 larger casks into the facility.

5547

5548 The permanent containment structure. On the left is a walk in
5549 type containment. It's hard walled. We've had this in the
5550 facility since about 1990. It provides contamination control
5551 when we bring the transfer car in and out of the cave. It has
5552 its own negative ventilation system in order to maintain
5553 contamination in those confines. So, it doesn't spread all over
5554 the building. Something we learned on that large cask adaptation
5555 project several years ago was that the hinges of the doors are
5556 located in a poor position. So, the picture on the right you're
5557 seeing they actually had to disassemble the panels, the roof
5558 panels, the doors on top that open up. We had to disassemble
5559 those in order to put a mockup of a large cask into this
5560 transfer car. And so, for ongoing operations we don't want to
5561 disassemble the entire permanent containment structure every
5562 time we move a cask in and out, so ... Do you want me to pause?
5563 I'm just going to keep going. Okay.

5564

5565 SIU: We're well ahead of time.

5566

5567 ANDERTON: I'm about to start dancing up here. So ...

5568

5569 SIU: Hang on a sec.

5570

5571 ANDERTON: Yeah.

5572

5573 SIU: But you may have to just speak loudly. I'm sorry.

5574

5575 ANDERTON: I'll move closer to the microphone. How about that?

5576

5577 SIU: Hang on, just a minute.

5578

5579 ANDERTON: Sure.

5580

5581 SIU: We're cheering for you.

5582

5583 ANDERTON: I like it.

5584

5585 SIU: They're extremely excited.

5586

5587 ANDERTON: I can't think of any better way to make this more

5588 exciting today. So ...

5589

5590 SIU: Finally.

5591

5592 ANDERTON: Do you want me to keep going?

5593

5594 SIU: Let's try.

5595

5596 ANDERTON: Okay.

5597

5598 SIU: Lift the mike just a little bit. Maybe that will help also.

5599

5600 ANDERTON: Sure. I'll lean in real close here. So, what we're

5601 going to do with this containment is we are going to redesign

5602 where the doors are located and then there's various utilities

5603 we need to add that will support closure activities of the

5604 standard canister. So, we need knife switches, disconnect

5605 switches for the welding machine so that we have adequate

5606 voltage. We may have to upgrade the ventilation systems to

5607 support the fumes and the safety of the welding operations. And

5608 then we may want to reevaluate the floor space to make it a more

5609 efficient process. So, this is something that we'll be moving

5610 into here in the next fiscal year is doing the upgrades to this.

5611

5612 Then we'll move on a little bit from the facility modifications

5613 to transportation. So far there hasn't been a transportation

5614 capability for the standard canister developed. And so our plan
5615 is to partner with a commercial vendor to hopefully minimally
5616 modify a multi-purpose canister and a transportation cask that
5617 is compliant with 10 CFR 71, 72.

5618

5619 And this is still up in the air a little bit, because of the
5620 definition of road-ready is still being finalized. But I can see
5621 it being amended to an existing certificate of compliance.

5622 Whatever the department decides is best, we'll go with it. But
5623 that would be one option. The timing of that I don't have an
5624 answer to yet when that engagement with the NRC would happen.

5625 Obviously, it would happen before we tried to ship anything. But
5626 ...

5627

5628 Let me give you now a little bit more detail on the facility.
5629 I'm going to show you the conceptual packaging process. So, this
5630 is a section view of the hot cell of CPP-603. On the left is the
5631 fuel storage area. This is where we have 636 positions for
5632 storage canisters in a rack. That is where all of the spent fuel
5633 is currently stored, including Fort Saint Vrain, Peach Bottom,
5634 ATR and numerous other types of miscellaneous DOE-owned spent
5635 fuel.

5636

5637 In the center on the right is the fuel handling cave. This is a
5638 hot cell where the transfer car moves in and out of and brings
5639 fuel into the cave. In this part of the facility is where we do
5640 our repackaging operation. So, if we need to take the fuel and
5641 put it in a storage canister or the reverse of that if we're
5642 going to put spent fuel into a standard canister it will happen
5643 in this cave. We also have a fuel conditioning station in this
5644 cave where, for example, ATR direct shipments coming in wet from
5645 ATR are vacuum dried before they're placed into the dry storage
5646 facility on the other side of the wall.

5647

5648 There's two different racks in the cave, north and a south rack
5649 that can hold various types of buckets, canisters. And then on
5650 the far right is a crane maintenance area where we can take the
5651 facility bridge cranes back into a more shielded secluded area
5652 from all the radiation where we can do maintenance. So, we'll
5653 see if this works. Sometimes it does, sometimes it doesn't. This
5654 is an animation. It's conceptual at this point. And it's going
5655 to show you the general process for how we're going to load the
5656 standard canisters and close them.

5657

5658 So, I press the play button. Here we go. Seems to be working.
5659 So, moving into the facility is conceptually the transportable
5660 cask. We have a couple of bridge cranes that can tandem up to
5661 perform the lift. So, we have a tandem lift bar that will come
5662 over and grab the cask. We'll go ahead and fly that over to the
5663 large cask insert, which is bolted to the bottom of the transfer
5664 car. And once we install that we'll go ahead and put in some
5665 internal components for that. The next thing to be installed is
5666 going to be the multi-purpose canister shell, just the lower
5667 part. It's not closed yet. It's still open.

5668

5669 And then after that we're going to have the commercial vendor
5670 help us develop a basket for the standard canisters. This is
5671 just a conceptual model. It has nothing to do with what's
5672 actually going to be developed. And then we'll go ahead and put
5673 seven lower assemblies. So, these are the standard canisters
5674 before they're welded shut. Just the lower assembly. And then,
5675 of course, we'll put the MPC lid on top, before we start moving
5676 into the process further. So the transfer car is going to go
5677 north into the fuel handling cave. Make the wall disappear
5678 really quickly. And we will stage that MPC lid in the cave until
5679 we're done with it. And I can explain this later if there's

5680 time. We have some limitations with the racks in our facility.
5681 We can't put seven standard canisters in the rack. So, we have
5682 to do some swapping around.

5683

5684 So right now what we're doing is we are putting a spacer into
5685 the bottom of the center port of the basket for the standard
5686 canisters. Its purpose you'll see here in a minute. We're going
5687 to put on a temporary MPC shield cover we call it. And now that
5688 that spacer's in there when we reinstall the lower assembly the
5689 closure weld is now up where you can access it, but the majority
5690 of the ... the fuel is down in the shielded portion of the cask.
5691 So we'll go ahead.

5692

5693 I don't really have a way to pause this, but just take my word
5694 for it, we're considering that we already have all the other
5695 internal devices for the standard canister already installed
5696 previously in the truck base, so we're just showing that we're
5697 going to put the internals and the fuel in there. And then just
5698 for the demonstration, not for future operations, we have a
5699 shield plug that goes on top. And the purpose of that shield
5700 plug is to give us the ability to have hands on access during

5701 closure operations. We did that to buy down some of the
5702 technical risks with this project.

5703

5704 So now we have the upper lid assembly on there that will bring
5705 it out into the PCS, which is not shown in the animation, but
5706 it's there. And now we perform the DOE SC closure. So that
5707 includes vacuum drying, backfilling, welding and leak testing.
5708 Backfilled with helium of course. And so these machines that are
5709 flying back and forth right now are being developed by the INL.
5710 They are pretty well, the designs are pretty well finalized.
5711 They're just working on some testing and coming up with some
5712 weld procedures for those. And once we have fully closed the
5713 standard canister we're ready to move on and grab the next one.

5714

5715 And so now we have to do another swap. So we'll take that loaded
5716 canister and put it back in the rack. We'll remove the MPC
5717 shield cover. And then we will swap out the next empty lower
5718 assembly with the loaded one. And again this is happening
5719 because our racks structurally were designed for 2,000 pound
5720 canisters and the standard canisters. I know there's a lot of
5721 canisters in that sentence, but the new ones, the standard
5722 canisters can weigh more than 2,000 pounds. And so we have some

5723 structural seismic limitations there. So that's why we have to
5724 do the swap out.

5725

5726 So now we'll put that MPC shield cover back on. The next lower
5727 assembly comes and the process repeats. I'm not going to make us
5728 watch all seven of these. We'd be here for a long time. So in
5729 just a second here you'll see that we're just going to magically
5730 wave our hand and say, okay, they're all loaded now. So, this is
5731 the last, this is the seventh standard canister now. So we'll
5732 take it back out, put it in the rack. And here in a minute
5733 you'll see all the lids will magically appear.

5734

5735 And then for the last one, that space we put in, we're not going
5736 to leave it in there. It comes out. And we'll go ahead and put
5737 the last seventh canister in the center port. And that's our
5738 full complement for the demonstration. We're not going to do
5739 another package. Just one seven DOE SCs with Fort Saint Vrain.

5740

5741 Now the MPC lid goes on and I don't have any models of all the
5742 closure equipment for that, but we are anticipating we're going
5743 to do the full closure process for a commercial MPC. So, it will
5744 be vacuum dried according to whatever vendor's process we

5745 select, backfilled with helium and leak tested with the
5746 redundant sealing that you typically would find on a commercial
5747 package like this.

5748

5749 And so now, this is the physical package for the project. We
5750 have a transportation cask with an MPC that's fully closed. The
5751 DOE standard of canisters are fully closed. And we will stage
5752 this somewhere at INTEC. That's to be determined. So that's the
5753 animation.

5754

5755 I think Mr. Wahnschaffe mentioned this just for a moment there
5756 is a staging facility project. It's a capital project. Currently
5757 it's CD-0. This is not a picture of it. This is a picture of
5758 some other ISFSI [independent spent fuel storage installation].
5759 But we envision this facility is going to be very similar to
5760 this in concept where we can continue to take spent nuclear fuel
5761 out of 603 and stage it until there is either a consolidated
5762 facility or a repository that we can ship it to.

5763

5764 And so, this is an advantage in several ways for the
5765 environment. I do want to throw that out there that conditioning
5766 the fuel for disposal is an improvement to its current

5767 condition. Not that the current condition is unsafe or
5768 unacceptable. But it is an improvement. And then it reduces the
5769 amount of inventory we have to maintain in our legacy
5770 facilities. We do have aging management programs at INTEC. But
5771 it's a little staggering to think that you have to maintain the
5772 facility for another, I don't even want to say 100 years,
5773 however long it ends up being.

5774

5775 And then it does speed up the process of disposal because we
5776 have a head start with, we call it the low hanging fruit for
5777 spent fuel. So, by getting a head start on the fuel that is well
5778 characterized gives us more time to finish the research, finish
5779 the work to prepare the load, you know, aluminum, spent fuel
5780 which we've been talking about today.

5781

5782 And then in the future. Additional infrastructure needed. If it
5783 hasn't been done yet we will need a rail spur, rail shipping
5784 capability. I don't know what that looks like, if it's provided
5785 by a commercial vendor or if it's provided by DOE in the Atlas
5786 car. Whatever that ends up being. And then if it hasn't happened
5787 yet, the NRC will have to license someone on this package. And

5788 so with that I'll be happy to start answering any questions you
5789 may have. Thank you.

5790

5791 SIU: Thanks, Will. And thanks for enduring the cheering next
5792 door. Okay. Do we have any Board questions? Bret?

5793

5794 LESLIE: Can you bring Brian on, please?

5795

5796 LESLIE: Brian Woods.

5797

5798 ANDERTON: He is in the room, sorry.

5799

5800 LESLIE: I am going to go ahead and ask Steve Becker's question.
5801 This is Bret Leslie, Board staff. Pretending to be Dr. Steven
5802 Becker. Thank you, Will, for a nice presentation. The road-ready
5803 demonstration project could eventually be important in terms of
5804 public trust and confidence. To what extent do engineers and
5805 other technical experts involved with this work, interface with
5806 or interact with staff who are involved in public communication
5807 and information efforts? Do you anticipate greater coordination
5808 in the future?

5809

5810 ANDERTON: So, thank you. That's a great question. Currently as
5811 an engineer we provide support to the Office of Environmental
5812 Management and their efforts for public communication. We
5813 currently work to DOE orders in 10 CFR 830 to ensure nuclear
5814 safety. So, I can see the involvement increasing with this
5815 project and going forward if we start to branch beyond what
5816 we're used to in terms of working with the NRC and preparing the
5817 fuel for disposal. But really I think the leadership for that
5818 would come from the Office of Environmental Management and we
5819 would support as needed. Someone's cheering for me out there.
5820

5821 SIU: You must be saying the right thing every time.

5822

5823 LESLIE: Go ahead.

5824

5825 OGG: Hi, Dan Ogg with the Board staff. So, I'm going to put Paul
5826 Murray on the spot. You talked, well, we heard in the previous
5827 presentation discussions about the Idaho Spent Fuel Management
5828 Plan and then it was ... and then the road ready dry storage was
5829 talked about here as well as some discussion about disposal. In
5830 the previous discussion regarding the Idaho Spent Fuel
5831 Management Plan they mentioned that there's some discussion

5832 between EM and NR and NE and I just wanted to know if there's
5833 anything you would like to say or are able to say about the NE
5834 review of the Idaho Spent Fuel Management Plan?

5835

5836 MURRAY: Paul Murray, DOE-NE. So, we're intimately involved with
5837 this package performance demonstration. I think we primarily
5838 funded most of it to date. I think we plan to put another four
5839 million dollars into it in 2025. So, we are having detailed
5840 discussions with DOE Idaho and have a plan of making sure we're
5841 integrated. As Idaho gets ready to, you know, package all its
5842 fuel by 2035 and we build an interim storage facility by 2038.
5843 We've got to be connected and really close to each other. I'm
5844 not saying the fuels go in there, but we've got to be
5845 coordinated and integrated.

5846

5847 Also R&D, just like our R&D program, has to be carefully ... DOE
5848 is in litigation. Anything to do with storage, R&D,
5849 transportation has to be carefully considered as we do that
5850 litigation. So, we are starting to talk more and more about
5851 that. And then things that other parts of EM are doing at other
5852 sites also will start to impact Idaho road-ready demonstration
5853 and work we potentially do on the commercial spent nuclear fuel

5854 as well. Remember here less than a year, we're trying to
5855 coordinate. We have a series of meetings set up. Had a meeting
5856 earlier this week. I'll be in Idaho the week of the 16th of
5857 September. I think I'm touring the facilities on the Tuesday.
5858 So, we are getting more. We are getting much, much closer
5859 together as an organization.

5860

5861 OGG: So thanks. A related question. They mentioned that they're
5862 still working, if you will, to define exactly what are the
5863 requirements for road ready dry storage, as well as what are the
5864 requirements for disposal. And what we understand is that their
5865 working assumption right now is to use the Yucca Mountain Waste
5866 Acceptance Criteria as a starting point for disposal criteria.
5867 So, my question for you on the NE side is, is that align with
5868 your expectations now or do you expect there may be some
5869 different kind of disposal requirements?

5870

5871 MURRAY: The Yucca Mountain is, the Nuclear Waste Policy Act is
5872 still the law of the land. And the nuclear waste acceptance
5873 criteria for Yucca Mountain is a very good basis for which to
5874 plan against.

5875

5876 OGG: Thank you.

5877

5878 LESLIE: Can we bring Brian Woods? Bret Leslie, staff.

5879

5880 WOODS: Yeah, this is Brian Woods, Board member. So, my question

5881 is for Will, the previous presentation we just had. I was

5882 curious, so when you go to the facility mods to 603, CPP-603,

5883 and then developing the road-ready kind of demonstration

5884 package. Are these going to be sequential in any or are they

5885 concurrently ... In other words, will you exercise the mods in

5886 CPP-603 when you basically develop the demonstration, the road-

5887 ready demonstration package? Or are they going to happen kind of

5888 separately?

5889

5890 ANDERTON: Good. Yeah, thank you. If I understand your question,

5891 I think you're asking if the facility modifications are going to

5892 wait?

5893

5894 WOODS: Yeah. Will they be done or are you going to wait on those

5895 until the demonstration's done?

5896

5897 ANDERTON: No. So, we are starting on those now. The facility
5898 modifications do not have a direct impact on the process itself,
5899 because we have a pretty well-founded understanding of what we
5900 need in terms of the size of the casks, the welding operations,
5901 closure operations that are going to be needed. So, we, in fact,
5902 we've already started on some of our facility modifications and
5903 we'll pursue those as quickly as we have funding and schedule to
5904 do.

5905

5906 WOODS: Okay. And just another question regarding then the
5907 facility modifications. I looked at the animation and I was ...
5908 and you talked about there's the welding technology that I know
5909 is developing. Is there any other technology that kind of needs
5910 to be developed? I think you may have already answered this in
5911 your previous answer where you said you kind of had a pretty
5912 good handle on how, you know, it works. But is there any other
5913 technology other than welding that still has to be developed to
5914 kind of get this process up and running?

5915

5916 ANDERTON: No. The only two that I didn't really talk about in my
5917 presentation, the INL is also working on internal devices.
5918 They're working on a spent fuel basket for Fort Saint Vrain. So

5919 that's being developed. But so far what we've seen in the
5920 conceptual design there's no real significant risks or
5921 challenging technologies there. And then we have not selected a
5922 commercial vendor. But we're planning to adopt their closure
5923 capabilities for their MPCs. So again, I don't know the answer
5924 for you in terms of that technology. But I assume that it's not
5925 going to be a new rodeo for them, if that makes any sense.

5926

5927 WOODS: Thank you.

5928

5929 LESLIE: Bret Leslie, Board staff. I'll ask an easy one first and
5930 then the next one we'll have to have Paul and you kind of
5931 coordinate. So, the easy one is I think Steve had a slide up of
5932 2000 DOE standardized canisters that Idaho would be packaged.
5933 When we did this back in 2017 we pulsed the existing spent fuel
5934 inventory database. So, at about 1,700. So, I'm wondering what's
5935 changed or is it a function of the database? Is it a function of
5936 different size baskets? I mean, I would have thought it actually
5937 would have gone down now that you're putting more ATR in the
5938 baskets and redesigning the baskets. So, I guess my question is
5939 what's the basis for the 2000 DOE standardized canisters?

5940

5941 ANDERTON: That's a really good question. Unfortunately, I am not
5942 privy to the details of why that number changed. I don't know if
5943 Mr. Wahnschaffe or Nick if you guys want to try and answer that.
5944 It's before my time. Sorry.

5945

5946 LESLIE: And it's okay if you don't have an answer.

5947

5948 ANDERTON: We can get you the answer. Yes, Steve.

5949

5950 WAHNSCHAFFE: This is Steve Wahnschaffe. Basically, that number
5951 has changed depending on which study has occurred and as we
5952 updated. I mean, I believe one of the studies we had nine
5953 standard canisters would go into package. Now with Fort Saint
5954 Vrain right now we would packaging or putting that spacer in it
5955 to lift it up. That takes I guess a sub assembly spot. Well,
5956 that's going to increase the number because now we can pack one
5957 less. So, it all depends on packaging. Basically, we have used
5958 the national program packaging capability. NE has done one
5959 recently too. So, we picked the slide and we said kind of like ...

5960

5961 LESLIE: Thank you. Bret Leslie, Board staff again. So, we'll go
5962 back to this question of road-ready and this is where the

5963 sensitivity is, you know, as Paul indicated that from a
5964 commercial standpoint there's a standard contract. I envision
5965 kind of the parallel of putting seven DOE standardized canisters
5966 in a welded MPC is the same thing as putting it in a DPC and
5967 shipping it to the repository and assuming Paul will accept it.
5968 And so, I guess the question is that's not really what was
5969 identified in the Yucca Mountain license application. So how
5970 does NE/EM, is this part of the definition of road-ready?

5971

5972 ANDERTON: Did you want to respond first, Paul? Or I'll see ... So
5973 I mean it's still an issue to be solved, the future repository,
5974 whatever that looks like. In terms of the demonstration trying
5975 to meet future requirements that are unknown, I think it
5976 actually gives the department more options. You can still have
5977 the capability to cut open an MPC and pull out the standard
5978 canisters if you want to, because we are closing them in the way
5979 that they were originally intended to be closed. They are vacuum
5980 dried. They are back filled and leak tested. They are fabricated
5981 and closed per code requirements.

5982

5983 So, you would still be able to do what you want to do at Yucca
5984 Mountain in terms of handling them individually and pursuing

5985 co-disposal. But if it was efficient and acceptable, if they are
5986 all in one MPC you could save a lot of handling operations at
5987 the future repository and find an efficiency gain if you just
5988 put the whole thing in the ground so to speak. But I'll ... that's
5989 my two cents.

5990

5991 MURRAY: It's a difficult question. It's a good question, but
5992 it's a difficult question to answer at this time. We don't have
5993 a repository at this moment in time. So, we don't know if any of
5994 the packages we're loading currently would actually fit into a
5995 future repository. So, we have to be ... we have to do the best we
5996 can recognizing that in the future if and when we do start a
5997 repository program going again there may be some rework. But
5998 that's a function of where we are, you know, 70 years, 60 years
5999 into a nuclear program. We're going to have issues when we do
6000 start a repository program again.

6001

6002 LESLIE: Thank you. And I think Nick wanted to come on and try to
6003 address it. So, can we bring him on, please?

6004

6005 BALSMEIER: I was actually just going to give you a response to
6006 the question on public outreach and engagement that Will

6007 referred to earlier. So, we do have a citizens advisory board in
6008 Idaho that meets quarterly for the Idaho cleanup project. Just
6009 like this we continually keep them updated, outreach to the
6010 public on all of the activities that are going on the Office of
6011 Environmental Management side of the house, the Idaho cleanup
6012 project. So, we are doing that. We are also working with the
6013 other laboratories on what they're doing and how we can use best
6014 practices as we go forward with spent fuel operations across the
6015 complex.

6016

6017 LESLIE: Thank you for that follow up answer.

6018

6019 KIRBY: So, Bret, Bill Kirby again. Like to add just a little bit
6020 more context to the packaging. The package that we will choose
6021 for an MPC would be very consistent with what commercial nuke
6022 has out there on ISFSIs all over the country, packages that
6023 exist all over the world, which almost all of them have some
6024 sort of a transport package design or shielded cask transport
6025 package design with impact limiter is to go railcar or I believe
6026 in some cases vehicle.

6027

6028 And we look at this package with a welded DOE, set of DOE
6029 standard canisters inside an MPC that's welded closed. It's one
6030 hell of a robust package. So, in terms of it qualifying to be
6031 transported we're minimizing our risk by the approach that're
6032 taking. And at some point, in time these very similar sized
6033 packages to what's up at NRF and at all of the nuclear power
6034 plants in the country are going to have to be dispositioned, so
6035 we think we're minimizing our risk of that type of package not
6036 being accepted.

6037

6038 SIU: Any more questions? Okay. Thank you very much. Okay. Just
6039 in-house. Okay, we have ... this is a public comment period. We
6040 have requests to make public comments from three people. And I
6041 guess even though we're ahead of schedule, I'll ask each person
6042 to limit their comment to five minutes if they could, please.
6043 So, we'll start with Ken Baer from Metatomic.

6044

6045 BAER: Ken Baer, Metatomic. I want to say thank you to the
6046 Nuclear Waste Technical Review Board for hosting this event and
6047 for allowing us to hear all of their discussions. It's been very
6048 interesting. And I want to tell you about the Metatomic. We were
6049 established eight to ten years ago. We are a basic fledgling

6050 start-up group. We have an idea about what we want to do with
6051 spent nuclear fuel; that is, commercial light water reactor
6052 spent fuel that would be pressurized water reactors and boiling
6053 water reactors.

6054

6055 Basically I have three patents so we're pursuing a fourth one at
6056 this time to convert uranium dioxide spent nuclear fuel to
6057 uranium chloride for a fast reactor, fast reactor fuel. That
6058 takes care of the spent fuel in a methodical way and allows us
6059 to provide it to reactor developers who would be interested in
6060 building a fast spectrum molten salt reactor. So Metatomic's job
6061 is to ... what we want to do is make the fuel for the reactor
6062 developers. We don't want to build a reactor ourselves. We'll
6063 provide the fuel.

6064

6065 So a little bit about spent fuel. I don't know how much all of
6066 you have, the people in the audience or on the Board even might
6067 understand about spent nuclear fuel light water reactor spent
6068 fuel. Of course, the industry has had various kinds of spent
6069 nuclear fuel from its, throughout its history, the commercial
6070 industry. And the earlier kinds were very different. Now spent
6071 nuclear fuel assemblies are expensive, as everything else is.

6072 So, a typical plant will take a spent nuclear fuel assembly, put
6073 it in a spent fuel pool and wait on a different arrangement for
6074 the next core load. And typically they'll put it in, back into
6075 the reactor again and run it in a second cycle in a different
6076 arrangement in order to get more burnup out of that spent
6077 nuclear fuel assembly.

6078

6079 This may occur five, six - I haven't heard of it going seven
6080 cycles, but I've heard it going six - until it gets so loaded up
6081 with poisons, fission products and actinides, it no longer wants
6082 to support criticality. But this is done in large part for
6083 several reasons. One of them is the fact that spent nuclear fuel
6084 that is depleted to a great extent performs a great service of
6085 depleting the flux in high flux areas and levelizes the flux
6086 across the core of a reactor. So, it's very beneficial.

6087

6088 Spent nuclear fuel can be processed. We're pretty sure it is. It
6089 can be done. And to chloride salt fuel. Right now we have the
6090 Savannah River National Lab is testing for us. We finished phase
6091 one tests wherein they used a little tube furnace, quartz tube
6092 furnace and passed anhydrous hydrogen chloride over uranium
6093 dioxide. It changed from the white color that it was to a dark

6094 green, which indicates a chloride salt production. So we're
6095 really pleased with that.

6096

6097 The next test that's coming up involves our test vessel, which
6098 we had custom made of stainless steel with C276 Hastelloy
6099 inserts. That will be our next phase and that's going to be
6100 starting in a couple weeks at the Savannah River. I'll be out
6101 there to observe some of it, I hope. No problem. And that way
6102 we'll be able to pull off some off gas off of this as well as
6103 insert the gases and stir the components as they're melted. So
6104 we're looking forward to phase two.

6105

6106 Phase three should be we get funded for it would involve actual
6107 using of vessels. As I described it's pretty much like an
6108 intermediate size of a thermos bottle, you know, thermos with
6109 the liner in there so the C276 liner. So, we're really looking
6110 forward to this. I can speak about it more, but I think I'm
6111 reaching my time limit. Thank you.

6112

6113 SIU: Thank you. Next is Mike Stake, also Metatomic.

6114

6115 STAKE: Mike Stake from Metatomic. And Ken did a really great job
6116 as far as describing the process. Thank you for the opportunity
6117 to speak to this Board. It's a very important topic for the
6118 United States. My name is Mike Stake, as I said, co-founder and
6119 Chairman of Metatomic. I'd like to speak on a perspective and
6120 paradigm shift regarding spent nuclear fuel or SNF. I also would
6121 like to refer to it as unused lightwater fuel or ULF. The focus
6122 is not on the approximately five percent spent, but the 95
6123 percent of unused energy, the fuel that currently resides in all
6124 nuclear facilities in the United States.

6125

6126 Changes in Federal policies and in reactor design and
6127 construction have evolved in two new important ways that are
6128 game changers. First, standard designs are now available to
6129 allow nuclear plants to be built more safely, more quickly and
6130 less expensively than even in the recent years. Second, the
6131 processing techniques and the use of molten salt reactors make
6132 it possible to recycle the spent fuel rods now stored at nuclear
6133 power plant sites. Spent uranium fuel rods previously considered
6134 to be radioactive waste have 95 percent of the uranium's nuclear
6135 energy still in them. It is now possible to process the spent

6136 fuel rods and use them as fuel for a molten salt reactor to
6137 extract the remaining energy.

6138

6139 The molten salt reactor is not a new technology. Oak Ridge ran a
6140 molten salt reactor from 1965 to 1969 for 13,000 hours. This
6141 breakthrough does two great things. First, an improved version
6142 essentially burns off the radioactive waste. Second, it extracts
6143 a tremendous amount of additional energy from the spent fuel.
6144 Furthermore, it manages the radioactive waste without having to
6145 transport it to a place like Yucca Mountain.

6146

6147 As Ken referred, Metatomic is engaged in confirmatory research
6148 for this process, converting unused light water fuel to a molten
6149 salt fuel currently underway at the Savannah River Site. The
6150 Metatomic solution is to co-locate to existing sites to create
6151 molten salt fuel for fast molten salt reactors. By doing this it
6152 requires no new land acquisition, no new security or safety
6153 measures, no transportation through communities, thus, has a
6154 lower cost for energy creation.

6155

6156 The 100 years of power that exists untapped should be motivation
6157 to continue searching for better, more responsible ways to

6158 reduce and use the approximate 92,000 metric tons of unused
6159 light water fuel. Metatomic would like to work with DOE to
6160 address the liability that you had talked about this morning and
6161 produce future revenue. I would enjoy a greater conversation on
6162 this paradigm shift and creating energy from a national resource
6163 such as unused light water fuel. Thank you. Thank you for your
6164 time.

6165

6166 SIU: Thank you. Our last commenter is Peter Briger.

6167

6168 BRIGER: Pleased to be here. And pleased to hear what drove me
6169 here was the announcement about a week ago by the Department of
6170 Energy that it was going to set up a new program for what to do
6171 with waste. And I'm pleased to hear all the good work that's
6172 been done by this group and by the DOE and the folks that are
6173 here. In listening to the programs it's clear to me that the key
6174 point was the question of storage. And just as some of the other
6175 speakers said there are fundamental ways of dealing with and
6176 transformation of nuclear fuel in a safe and efficient way that
6177 puts the plutonium under the full control of the government and
6178 that permits the work that can be done with these huge deposits

6179 not only in the U.S. but the 30, what is it, million tons of
6180 plutonium sitting in the U.K.

6181

6182 Our company, Hydromine Energy is going into a project with a
6183 Korean company that has developed these ideas and we're at a
6184 point that we can put them into demonstration. And some of the
6185 key points are really in terms of what to do about the future
6186 there's been so much interest in using yellow cake to produce
6187 uranium 250. And under the technologies that our group has put
6188 together we don't need to do that. We can go to uranium 280 and
6189 come up with 100 times more power than using this traditional.

6190

6191 So, we're confident that there are a series of things that can
6192 be done to make the SMR program safer, not only from the
6193 standpoint of delivering energy, but in almost every sector of
6194 climate control. So, I'm optimistic that we can make the world
6195 cleaner, safer and we have some interesting things to do. And it
6196 was a pleasure to be here. Thank you very much.

6197

6198 SIU: Okay. Thank you. I understand that we have some comments on
6199 the web, and we will post those on our meeting record. And with

6200 that, I think we'll call it a day. Thank you again. We really
6201 appreciate your time folks in the audience and our presenters.
6202